

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

BEFORE THE
UNITED STATES DEPARTMENT OF ENERGY

PUBLIC MEETING ON
TEST PROCEDURES FOR RESIDENTIAL
CENTRAL AIR CONDITIONERS AND HEAT PUMPS

TRANSCRIPT OF PROCEEDINGS

11 June 2010
Washington, D.C. USA



BUNN & ASSOCIATES
Registered Professional Reporters Worldwide
Post Office Box 297
310 South Main Street
Lusk, Wyoming 82225 USA
In USA 1-800-435-2468 Worldwide 001-307-334-2423
Worldwide Telefax 001-307-316-0388
E-mail: BUNNORLDWIDE@aol.com
Copyright 2010

1 ATTENDEES:
2 DOUGLAS BROOKMAN
 Moderator
3
4 KARIM AMRANE
 Vice President
 Regulatory and Research
5 Air-Conditioning, Heating and Refrigeration
 Institute
6 2111 Wilson Boulevard
 Suite 500
7 Arlington, Virginia 22201-3001
 USA
8 PH 703-600-0307
 FX 703-562-1942
9 kamrane@ahrinet.org
10 WES ANDERSON
 Technical Manager
11 Test Procedures for Central Air Conditioning and
 Heat Pumps
12 U.S. Department of Energy
 1000 Independence Avenue, SW
13 Washington, D.C.
 USA
14
15 TIMOTHY BALLO
 Associate Attorney
 EarthJustice
16 1625 Massachusetts Avenue NW
 Suite 702
17 Washington, D.C. 20036
 USA
18 PH 202-667-4500
 FX 202-667-2356
19 tballo@earthjustice.org
20 JAMES CRAWFORD
 Trane
21 3301 Pebblebrook Drive
 Tyler, Texas 75707
22 USA
 PH 903-509-7273
23

1 ATTENDEES (Continued):
2 BRIAN P. DOUGHERTY
 Mechanical Engineer
3 Building and Fire Research Laboratory
 U.S. Department of Commerce
4 National Institute of Standards and Technology
 100 Bureau Drive
5 MS 8632 Building 226 Room 304
 Gaithersburg, Maryland 20899-8632
6 USA
 PH 301-975-6396
7 FX 307-975-5433
 brian.dougherty@nist.gov
8
 PAUL L. DOPPEL
9 Director of Factory Liaison & Government Affairs
 Mitsubishi Electric & Electronics USA, Inc.
10 3400 Lawrenceville Suwanee Road
 Suwanee, Georgia 30024
11 USA
 PH 678-376-2900
12 pdoppel@hvac.me.com
13 KATE HOUREN
 Natural Resources Defense Council
14 1200 New York Avenue
 Suite 400
15 Washington, D.C. 20005
 USA
16 PH 202-5513-6267
 hourenk@gmail.com
17
 RICHARD KARNEY
18 U.S. Department of Energy
 Building Technologies Program
19 1000 Independence Avenue, SW
 Washington, D.C.
20 USA
21
22
23

1 ATTENDEES (Continued):
2 DAVID L. KOESTERER
3 Director of Engineering
4 Nordyne
5 8000 Phoenix Parkway
6 O'Fallon, Missouri 63368-3827
7 USA
8 PH 636-561-7482
9 FX 636-561-7393
10 koestererd@nordyne.com
11 JOANNA MAUER
12 Technical Advocacy Coordinator
13 Appliance Standards Awareness project
14 529 Fourteenth Street NW
15 Suite 600
16 Washington, D.C. 20045
17 USA
18 PH 202-507-4034
19 jmauer@standardsASAP.org
20 MOLLY TRUMBLEY-McCANN
21 Project Manager
22 Energy Solutions
23 1610 Harrison Street
24 Oakland, California 94612
25 USA
26 PH 510-482-4420 x 239
27 FX 510-482-4421
28 mmccann@energy-solution.com
29 JEFFREY N. NICHOLS
30 Director
31 Engineering & Advanced Technology
32 Heat Pump Products Building Efficiency
33 Johnson Controls
34 Post Office Box 19014
35 3110 North Mead
36 Wichita, Kansas 67204-9014
37 USA
38 PH 316-832-6577
39 FX 316-832-6598
40 jeffrey.n.nichols@jci.com
41

1 ATTENDEES (Continued):
2 GRAHAM B. PARKER
3 Senior Staff engineer
4 Technology Planning & Deployment
5 Pacific Northwest National Laboratory
6 902 Battelle Boulevard
7 Post Office Box 999
8 NSIN K6-05
9 Richland, Washington 99352
10 USA
11 PH 509-375-3805
12 FX 509-372-4370
13 graham.parker@pnl.gov
14
15 MICHAEL RAYMOND
16 U.S. Department of Energy
17 1000 Independence Avenue, SW
18 Washington, D.C.
19 USA
20 PH 202-586-9611
21 michael-raymond@ee.doe.gov
22
23 HARVEY SACHS
24 Senior Fellow
25 Buildings Program
26 American Council for an Energy Efficient Economy
27 529 Fourteenth Street, NW
28 Suite 600
29 Washington, D.C. 20045
30 USA
31 PH 202-507-4014
32 FX 202-429-2248
33 hsachs@aceee.org
34
35 JANE E. SIDEBOTTOM
36 President
37 Applied Marketing Knowledge, LLC
38 6404 Orchid Hill Place
39 Louisville, Kentucky 40207
40 USA
41 CL 502-759-9760
42 JSidebottom@amk-llc.com
43

1 ATTENDEES (Continued):

2 COLLIN WEBER

 Navigant Consulting

3 PH 202-973-2400

 collin.weber@navigantconsulting.com

4

 JENNIFER L. WILLIAMSON

5 Associate Engineer

 Technology Planning & Deployment

6 Pacific Northwest National Laboratory

 902 Battelle Boulevard

7 Post Office Box 999

 NSIN K6-05

8 Richland, Washington 99352

 USA

9 PH 509-372-4168

 FX 509-372-4370

10 jennifer.williamson@pnl.gov

11 MICHAEL WOODFORD

 Air-Conditioning, Heating, and Refrigeration

12 Institute

 2111 Wilson Boulevard

13 Suite 500

 Arlington, Virginia

14 USA

 PH 703-841-8331

15 FX 703-528-3816

 mwoodford@ahrinet.org

16

17

18

19

20

21

22

23

I N D E X

| | Page |
|----|------|
| 1 | |
| 2 | |
| 3 | |
| 4 | |
| 5 | |
| 6 | |
| 7 | |
| 8 | |
| 9 | |
| 10 | |
| 11 | |
| 12 | |
| 13 | |
| 14 | |
| 15 | |
| 16 | |
| 17 | |
| 18 | |
| 19 | |
| 20 | |
| 21 | |
| 22 | |
| 23 | |

| | Page |
|---|------|
| WELCOME, INTRODUCTIONS AND AGENDA REVIEW | 8 |
| By Doug Brookman | |
| INTERESTED PARTIES STATEMENTS | |
| By Doug Brookman | |
| TEST PROCEDURE HISTORY | 14 |
| By Wes Anderson | |
| SCOPE OF TEST PROCEDURE REVISIONS | 16 |
| By Brian Dougherty | |
| PROPOSED REVISIONS SET Nbr. 1 | 18 |
| By Brian Dougherty | |
| PROPOSED REVISIONS SET Nbr. 2 | 120 |
| By Brian Dougherty | |
| RULEMAKING SCHEDULE AND IMPACT ON MANUFACTURERS | 194 |
| By Jennifer Williamson | |
| SUMMARY AND NEXT STEPS | 207 |
| By Wes Anderson | |
| QUESTIONS & COMMENTS AND CLOSING REMARKS | 199 |
| By Doug Brookman | |
| ADJOURNMENT | 209 |

1 BEFORE THE
2 UNITED STATES DEPARTMENT OF ENERGY
3 PUBLIC MEETING ON
4 TEST PROCEDURES FOR RESIDENTIAL
5 CENTRAL AIR CONDITIONERS AND HEAT PUMPS
6 TRANSCRIPT OF PROCEEDINGS

7 Public Meeting was held pursuant to
8 Notice at the Conference Room 8E-089, U.S.
9 Department of Energy, 1000 Independence Avenue, SW,
10 Washington, D.C., 20585, USA, commencing on the
11 11th day of June, 2010, at 9:00 a.m. ET.

12 MR. BROOKMAN: Good morning, everyone,
13 and welcome. This is U. S. Department of Energy
14 Public Meeting on Test Procedures for Residential
15 Central Air Conditioners and Heat Pumps.

16 We're going to start off this morning
17 with welcoming remarks from Rich Karney.

18 MR. KARNEY: Thank you, Doug.

19 I know some of you. Some of you are new
20 acquaintances.

21 My name's Richard Karney. I'm with the
22 U.S. Department of Energy's Building Technologies
23 Program.

1 Those of you who know me in the past, I
2 used to run the ENERGY STAR Department for the
3 Department with the portions of the products we
4 managed. We no longer manage any products for
5 ENERGY STAR, so my duties have shifted to being in
6 charge of verification tests and, for ENERGY STAR,
7 and with the additional duties of also leading up
8 the Test Procedure Team out of the Regulatory
9 Branch of the Buildings Technology Program.

10 And I'm here to welcome you. I've gone
11 through the presentation.

12 Looks like it will be a very interesting
13 discussion this morning. And one thing I would
14 just like to, to put out is that the Consent Decree
15 will, will not be discussed today.

16 That's not part of the Agenda. We are
17 to be concentrating on the test procedure itself.

18 So, with that, I'd like to introduce Wes
19 Anderson, our Technical Manager for the Test
20 Procedures For Central Air Conditioning and Heat
21 Pumps.

22 MR. ANDERSON: Doug, if you want to go
23 ahead and start?

1 MR. BROOKMAN: Great.

2 I know Wes has some substantive
3 presentation, so we'll do the introductions first.

4 It's our tradition to provide each person an
5 opportunity to just introduce him- or herself.

6 Everyone, please state your name and
7 affiliation. I'll go around the room.

8 Those of you sitting at the table, this
9 will, will be recorded. And the little green LED
10 light's got to be on.

11 But, everybody else, we know you're
12 here. You registered, so there will be a record of
13 your presence here.

14 Name and organization.

15 (Whereupon, self-introductions were made
16 as are reflected on the Attendees Page, after which
17 the following occurred:)

18 MR. BROOKMAN: Thanks for, everyone, for
19 being here, giving us an opportunity to start on
20 time. Well, I'm going to do a very brief agenda
21 review, and you can, you can -- I think all of you
22 received a packet as you registered downstairs at
23 the Registration Desk.

1 In the packet is not only an Agenda, but
2 the PowerPoint slides which will be the focus of
3 both the presentation and an opportunity for
4 discussion and comment as the day goes on.

5 Immediately following this agenda review
6 there is an opportunity for anyone that wishes to
7 do so to make brief summary remarks, brief opening
8 remarks about the issues that may be of concern to
9 you and your interests.

10 Following that we're going to have some
11 test procedure history from Wes, and then going
12 straight on to scope of test procedure revisions,
13 and then proposed revisions, the first set, as
14 listed in the Agenda.

15 We'll take a break midmorning, around
16 about 11:00 or so, and then the proposed second set
17 of revisions after the midmorning break. And then
18 following that, rulemaking schedule and impact on
19 manufacturers, and a summary and description of
20 next steps.

21 There is another opportunity at the end
22 of the day for anybody to raise any additional
23 issues they don't think have been covered

1 sufficiently. So, that's the way we'll do it.

2 The way the Agenda reads, we intend to
3 be, to be out of here at 12:30. We'll see how well
4 that works.

5 Try our best to stay on time and, and be
6 efficient in the use of our time.

7 Questions and comments about the Agenda?

8 (Whereupon, no response was had.)

9 MR. BROOKMAN: I'd ask your
10 consideration, what has emerged as, I think, common
11 courtesy in these meetings. Please speak one at a
12 time.

13 Please say your name for the Reporter.
14 You don't need to say your organization,
15 affiliation each time; your name will be
16 sufficient.

17 We'll -- There will be a complete
18 Transcript of this meeting available and posted on
19 the web site. More information on that later.

20 I'm going to be calling people as best I
21 can by name to speak. Also, wish to encourage
22 follow-on comments.

23 Sometimes that's very useful for the

1 Department to hear the, the ebb and flow. And
2 please keep the focus here.

3 If you'd turn your cell phones on
4 "silent" mode and limit the sidebar conversations,
5 that will be helpful. And if you could, please be
6 concise.

7 Share the air time. There's a lot to be
8 said in this short span of time today.

9 Questions and comments before we
10 proceed?

11 (Whereupon, no response was had.)

12 MR. BROOKMAN: Great. Let's have --
13 Let's have opening remarks, issues that people wish
14 to raise here at the outset.

15 (Whereupon, no response was had.)

16 MR. BROOKMAN: No opening remarks? Is
17 everybody bored?

18 Okay, Harvey.

19 DR. SACHS: Okay. I want to welcome Jim
20 Crawford back to the group.

21 MR. BROOKMAN: Thank you.

22 MR. CRAWFORD: I won't rebut that. I
23 feel glad to be here.

1 MR. BROOKMAN: Okay. So, then let's
2 proceed.

3 Wes Anderson.

4 MR. ANDERSON: Morning again. My name
5 is Wes Anderson, and just some housekeeping points
6 I want to go over.

7 All correspondence should have these
8 three bulleted items in it so it can make sure we
9 get to see it: The regulatory identification,
10 Energy Conservation Test Procedure for Residential
11 Central Air Conditioners and Heat Pumps; the Docket
12 Number, EERE-2009-BT-TP-0004; and title, Regulatory
13 Identification Number, or RIN, 1904-AB94.

14 You can submit your comments also by
15 using the Federal Rulemaking Portal at
16 <http://www.regulations.gov>, or e-mail to the e-mail
17 address posted here, and post mailed through the
18 Mail Stop EE-2J. Or, for human courier, to 950
19 L'Enfant Plaza.

20 Please note that the comment period
21 closes August sixteenth, 2010. And this is the
22 reiteration of what Rich said earlier.

23 DOE is aware and, and evaluating the

1 Consensus Agreement. DOE is also aware of the
2 interested parties' desire to address issues
3 related to the Agreement, and we will make our
4 determination at a later time on that Agreement.

5 Therefore, please limit your comments
6 and questions today to the issues related to the
7 test procedure. You may submit further concerns
8 related to the Agreement and other relevant issues
9 in your written comments.

10 Okay, we did the, we did opening
11 remarks. After the test -- Now for the
12 test-procedure history.

13 The Final Rule for, was published in
14 October, 2007, and the purpose for that Final Rule
15 for the test procedure for central ACs, residential
16 central ACs was to expand coverage such as the
17 small-duct high-velocity, multi-split systems; to
18 address minor updates; and to improve the
19 complementary sections to, of the CFR for testing
20 requirements and rating options.

21 No changes that affected the SEER and
22 HSPF, and we've addressed some minimally compliant
23 units.

1 Expectation was to, for the test
2 procedure was to address all adequate, address
3 adequately all foreseeable future issues.

4 Unfortunately, -- Well, not
5 unfortunately, but fortunately, the EISA came out
6 and, in December, which required us to address up
7 to two regional standards, and to, on, on top of
8 the national standard, and to account for a standby
9 and off-mode energy consumption.

10 DOE concludes that a test procedure
11 rulemaking is merited to assume, to assure
12 compliance with EISA and to consider a few non-EISA
13 test procedure updates.

14 So, we'll take an opportunity to address
15 some of, additional concerns that came up after the
16 publication in October.

17 Now it's time for Brian Dougherty, from
18 NIST.

19 SCOPE OF TEST PROCEDURE REVISIONS

20 MR. DOUGHERTY: Thank you, Wes.

21 So, today we're going to look at the
22 scope of the test procedure revisions in two sets,
23 as was introduced earlier. The first set includes

1 the types of, of multi-splits.

2 We're also going to look into some
3 issues tied to laboratory installation provisions;
4 next, on the test tolerances and in-situ
5 calibration in two areas.

6 First one, test tolerances with regard
7 to the indoor air flow and with regard to the
8 calibration that impacts the cyclic degradation.
9 We also wish to address the two Waivers that came
10 in from that Final Rule that was completed in
11 October, 2007, one having to do with the
12 application of uses of multiple indoor blower
13 units; the second having to do with what is termed
14 here a triple-capacity northern-climate heat pump.

15 Offer a few other additional
16 miscellaneous items, and that will complete Set 1.
17 And then after our break, we'll, we'll resume with
18 Set 2.

19 And Set 2 will look at more of the
20 EISA-generated issues, the first one having to do
21 with addressing standby/off-mode measurement
22 requirements, and the measurement of that
23 reporting. Touch on how potentially should the

1 test procedure be affected by the need to
2 complement the regional Standards, and then finally
3 some related extras that come in part as, as, as a
4 result of these actions, and also some admitted
5 omissions that weren't in there that maybe we
6 should yet try to grab.

7 PROPOSED REVISIONS SET Nbr. 1:

8 MR. DOUGHERTY: Okay, so let's just
9 start with this Proposed Set Number 1. And they
10 are partitioned in a way that this, this first set
11 would be ones that would not affect the SDHV.

12 They could be introduced in the near
13 term, would not require retests, and we could just
14 move forward on them immediately.

15 The second set would be timed to occur
16 to become the same as Standards, so it would be out
17 into the future time, potentially 2016. And so it
18 would be timed to occur then, and so that's why
19 they're partitioned the way they are.

20 Okay, the first one, let's talk about
21 multi-splits.

22 MR. DEPPEL: Thank you.

23 MR. DOUGHERTY: The first one has to do

1 with the definition of "Tested Combination." This
2 occurs in the test procedure currently, and follows
3 the publication in 2007.

4 Industry noted that there are several
5 changes they would still like to see in that
6 definition; three, in particular. Two were, in
7 fact, proposed in this rulemaking.

8 The first had to do with the definition
9 of "capacity" to clearly delineate that any
10 recommendations to capacity mean the nominal value.
11 In matching indoor to outdoor, they'll slightly
12 broaden the indoor combinations that qualify.

13 Examples had to do with nominal values
14 not measured, and they were associated with cooling
15 performance, not heating.

16 So, there was an effort in there to be
17 clear that in trying to evaluate whether or not
18 your particular indoor combination meets the
19 definition that's needed for testing, to show that,
20 yes, we're talking about cooling; we're talking
21 about nominal values.

22 MR. BROOKMAN: Slow down just a little
23 bit. Just a little bit.

1 MR. DOUGHERTY: Okay. And any time
2 someone wants to --

3 MR. BROOKMAN: Yeah. You're covering a
4 lot of content here. I want it --

5 MR. DOUGHERTY: Okay. Sorry.

6 The second item had to do with the fact
7 that when you test minimum external statics for
8 multi-splits, there's a requirement there as to the
9 matching of the outdoor unit's capacity to the
10 cumulative capacity of the indoor unit.

11 And the, the criterion in there now was
12 that you had to be within a certain bracket. And
13 the thing that we failed to do with that bracket
14 was to cover more specific, the more typical cases
15 where it would end up with these whole numbers of
16 95 and 105 percent.

17 So, there's an effort there to clearly
18 say that you can hit those and it's acceptable
19 combination.

20 And there's also a stipulation, we
21 realize, for smaller-tonnage units. There's cases
22 where you may feel you didn't meet that bracket.

23 So, there's caveats that that can be

1 waived if, in fact, you cannot meet that because
2 you don't have combinations that will allow you to
3 do so.

4 The final item that was proposed but was
5 not, was, we received feedback on but was not
6 proposed in this NOPR was to address the case of
7 commercial systems, specifically allowing more
8 indoor units to be at the high end used to make up
9 this match.

10 Because this test procedure is limited
11 to residential, less than 65,000 BTUs per hour, the
12 DOE has chosen not to address that in this
13 rulemaking. We'll have to address that with some
14 other mechanism, but not use this as a means for
15 addressing commercial.

16 MR. BROOKMAN: Paul?

17 MR. DOPPEL: Paul Doppel, Mitsubishi.

18 One thing we've done with the HR&I 1230
19 Standard approved last year was to incorporate
20 multi-split systems, no matter what size, into that
21 1230 Standard. So, we're -- It's kind of
22 differentiating between HRI Standard 210, 240, to
23 bring all the multi-splits into one.

1 And I notice that has not been addressed
2 in this rulemaking, and just bring that up for
3 consideration. We're going to put that in our
4 comments, written comments later, but I just wanted
5 to make sure that that was noted.

6 And the Engineering Committee from the
7 Ductless Engineering Committee will be putting some
8 comments forth on that, also.

9 DR. AMRANE: I have a question for, for
10 Brian. Yes, I know it's to follow this, these
11 proceedings for the commercial products, but we
12 have not, as 90.1 has now a category for VRF and
13 represents HRI 1230 as the test procedure.

14 And I guess I'd like to urge DOE to, to
15 look at that and, and try to establish a better
16 test procedure for VRA system for commercial for
17 about 1,000 BTUs.

18 MR. BROOKMAN: Okay. Thank you.

19 Other comments at this point?

20 MR. DOUGHERTY: The next issue with
21 regard to multi-split systems was the comment that
22 they are ducted multi-split systems, although,
23 although the majority tend to be nonducted.

1 But, in ducted systems, as it came out
2 of the Final Rule, 2007, they would be subject to
3 the same minimal external static requirements that
4 are applied to conventionally ducted systems.

5 And the, the, the response there was
6 that typically these duct systems would be much
7 shorter in length, and often the systems wouldn't
8 be rated anywhere near these minimum statics that
9 would be applied to conventional systems.

10 So, the proposal that came forward was
11 to allow them to be tested at the rated external
12 static.

13 I'm going in the wrong direction. Get
14 me back.

15 MR. ANDERSON: The "up" arrow.

16 MR. DOUGHERTY: Oh, shoot. Start this
17 before.

18 MR. ANDERSON: Fifteen.

19 MR. DOUGHERTY: Fifteen? Thank you.

20 MR. ANDERSON: Fifteen.

21 MR. DOUGHERTY: Look here, just to make
22 sure. Okay.

23 Sorry about that. Okay.

1 And as far as the, the proposal that's
2 in the test procedure specific to multi-splits,
3 ducted multi-splits is an additional question that
4 came into the NOPR Preamble, is if it applied for
5 multi-splits, should it be considered for other
6 systems that potentially had a comparative?

7 And so the two that would come out of
8 here are in the case of a ducted mini-split, and
9 also potentially the furred-down ceiling-mounted
10 units that you would see in a space where you have,
11 the unit would tend to be, be in a joist space, and
12 so constrained as far as its size, but nevertheless
13 have a short duct to supply that indoor unit.

14 In the test procedure, what, the numbers
15 that are recommended, let's start with what's in
16 there now. What's in there now is a category for
17 small-duct high-velocity that was imposed last
18 rulemaking.

19 And as always, the ones for the others
20 have been there since the start of the procedure.
21 And the proposal here is, rather than to go with a
22 rated value that the manufacturer specifies, let's
23 do as we do with the conventional systems and

1 specify a hard number that you have to equal or
2 exceed in order to constitute a valid testing, a
3 valid setup.

4 And so the numbers there are ones that,
5 in trying to proportion things, given the fact that
6 the, the ducted systems are at these values, what
7 may be a ducted system associated with that, and
8 then compare that to the relative ratio:

9 Potentially, what will you see with the
10 multi-split to come up with these hard numbers?

11 So, these certainly are subject to change, but
12 there's an effort here to have things treated in a
13 similar fashion, but yet recognize the fact that
14 these systems would have less ductwork to overcome,
15 and so should be subject to lower minimal.

16 MR. BROOKMAN: Harvey Sachs.

17 DR. SACHS: Harvey Sachs, AC-triple-E.

18 I think a number of us would greatly
19 value an effort by the Department to give a
20 justification for the existing values for, quote,
21 "all other systems."

22 The empirical evidence from field
23 studies of both new and existing systems is neither

1 credence to having ESPs staged by capacity, nor for
2 values anywhere near this range. They tend to be
3 substantially higher.

4 I think this is an important issue as
5 you're getting into the revision of the test
6 procedure, and look forward to the revision
7 including a justification for these particular
8 values.

9 MR. BROOKMAN: Okay.

10 Yes, Paul.

11 MR. DOPPEL: Paul Doppel, Mitsubishi.

12 I think the proposal that we sent
13 forward for the ducted mini-splits was, did not
14 intend to include all the ducted mini-splits in
15 that lower category because there are, there are a
16 certain number of systems that have that short-run
17 capability, but there are other systems that have a
18 little bit longer. So, --

19 MR. DOUGHERTY: So, the, the, the -- As
20 I recall the comment, that was typically they would
21 be between .02 and .1, and that will --

22 MR. DOPPEL: Yeah. Yeah, there are
23 some, there are some ducted models that do not

1 produce a-tenth of external static pressure, so
2 there was no way that they could be tested.

3 And that was more the intent of, of our
4 comment, was more: Cover those special systems,
5 special ducted systems, rather than, you know, all
6 of the ducted multi-splits.

7 MR. DOUGHERTY: But, how do you
8 differentiate "special"? Isn't there a potential
9 there that everyone becomes special?

10 And then comes the rated values.

11 MR. DOPPEL: Well, it's within, it's
12 within the manufacturer's capability. The way, the
13 note we have that we put in the 1230, and also
14 what's in the 1230 Standard, I think covers, covers
15 that.

16 MR. DOUGHERTY: Okay.

17 MR. DOPPEL: We'll, we'll put some
18 further comments in there, but we just didn't want
19 to have -- I don't think we want to have the ducted
20 portions of the multi-splits categorized in this in
21 this way.

22 MR. BROOKMAN: Where are we in these
23 categories? I'm confused.

1 MR. DOUGHERTY: They are subject to the
2 red entries for external based on their nominal
3 capacities.

4 MR. DOPPEL: But, most of the ducted
5 indoors with the multi-split systems would comply
6 with the "all other systems." And then there are
7 just, there are some that would fall in this
8 "Other" category.

9 MR. BROOKMAN: Jim Crawford.

10 MR. CRAWFORD: Jim Crawford.

11 Just to make the observation that with
12 traditional systems, the flip side of what Harvey
13 Sachs pointed out is that there is a tremendous
14 diversity on the downside in terms of ducting.

15 And we've all stayed in, in hotels,
16 probably, that, that had the unit just above the
17 entry. And some of those are one-on-one, simple,
18 conventional systems with, you know, ducts that are
19 12 to 18 inches long.

20 So, there's -- For all these systems,
21 there's a tremendous variety.

22 MR. DOUGHERTY: Thank you.

23 Okay. And throughout this presentation

1 I'll reference questions with these yellow boxes,
2 and differentiate the two based on the fact that in
3 some cases at the end, well, in the case of the,
4 the first box up here, at the end of the, the, the,
5 the, the Notice of Proposed Rulemaking that was
6 published on June second, there were 11 questions
7 that were put together at the very end of it.

8 And so some of those will be repeated
9 here, but I'm, not in the same order that they
10 appear in the written document.

11 And then there's a separate set that we,
12 as we developed this presentation, we thought,
13 well, maybe we'll have people who want to ask those
14 as well. So, the first one actually appeared as
15 the, the 3.

16 And it asked the question: Is a
17 separate set of minimum external static pressures
18 an acceptable way to address the testing of ducted
19 multi-splits?

20 And that's setting a hard value for
21 them, as opposed to doing some other method,
22 particularly letting them be specified by the
23 manufacturer and testing at the rated value be the

1 way to go forward with testing these products?

2 That was the, the first question there.

3 And I think it sounds like we have kind of covered
4 that to a certain degree already.

5 The second question was: Should we
6 extend this coverage, whatever it might be, to
7 other systems that have a short duct besides ducted
8 multi-splits?

9 Should we apply it to, in the case of
10 ducted mini-splits or the furred-down
11 ceiling-mounted units Jim was mentioning?

12 MR. BROOKMAN: Jim Crawford.

13 MR. CRAWFORD: Yeah, Jim Crawford.

14 I'm a little bit confused here in that
15 when I look at the details that are on that page,
16 they weren't the same as what I've got in front of
17 me, and specifically, the first item you referred
18 to as Issue Number 3, and on the hard copy is
19 referred to as Issue Number 2.

20 And kind of wonder how many other
21 differences there are.

22 MR. BROOKMAN: It's the same question,
23 though.

1 MR. DOUGHERTY: Good point. And what
2 happened here is there was an edit that occurred
3 after the publication.

4 So, you're right.

5 MR. CRAWFORD: Where's Issue Number 2?

6 MR. DOUGHERTY: It's a little later.

7 Unfortunately, there were two Number 2s.

8 MR. ANDERSON: This is Wes, at DOE. We
9 made some changes at the last minute.

10 It takes about three or four days to get
11 the publication, get the publication of these
12 copies done, given our resources. Please bear with
13 us.

14 When we find changes, we try to make it
15 so that in the Public Meeting we address what we're
16 trying to say. And so -- And the orders in the
17 numbers for the NOPR issues are the numbers related
18 to, as they were written in the Federal Register,
19 but we chose to change the direction of the
20 presentation.

21 It seemed more logical to address it
22 that way, as we have it here. So, please don't get
23 confused by the numbers.

1 Just focus on the questions. Thank you.

2 MR. CRAWFORD: Assuming our comments
3 deal with this morning's efforts in one way or
4 another, how do we refer to that issue? Is it
5 Issue Number 2, or Issue Number 3?

6 MR. ANDERSON: This will drive the
7 conversation, so it's, it's Issue Number 3, or
8 Public Meeting Question Number 1.

9 MR. CRAWFORD: Then could I request that
10 we have a corrected copy?

11 MR. ANDERSON: You'll have a corrected
12 copy once it will go up on the web page. We'll put
13 this presentation up on the web page after the
14 public meeting.

15 MR. BROOKMAN: We'll try and have it so
16 our presenters call out the changes.

17 Paul?

18 MR. DOPPEL: Yeah. I just wanted to, to
19 read out the statement that we had in this 1230
20 procedure for these, the, the mini-splits.

21 If the manufacturers' rated external
22 static pressure is less than 0.1 inches water, then
23 the indoor unit should be tested at that rate at

1 external static pressure.

2 MR. DOUGHERTY: And I guess my concern
3 is: What would stop a manufacturer from saying
4 their rated value is always less than that value?
5 So, that's the concern.

6 MR. BROOKMAN: Paul, you've got a,
7 you've got a way to address that?

8 MR. DOPPEL: We were essentially relying
9 on the honesty and integrity of, of manufacturers
10 in order to do that, but it, that could be easily
11 said of the manufacturers in, in any, any of these
12 tests.

13 You know, manufacturer could provide any
14 kind of documentation to alter what was presented
15 in order to try to get around some of these test
16 procedures. But, in these cases the intent is that
17 these systems just do not have the cap- -- They,
18 there's no way they can run at .1 static pressure.

19 MR. BROOKMAN: Karim?

20 DR. AMRANE: I think I understand your
21 concern, Brian, and so that's the comments.

22 MR. BROOKMAN: Okay. Harvey, you want
23 in here? No?

1 DR. SACHS: Okay. I'm too confused.

2 MR. BROOKMAN: I'm glad I'm not the only
3 one.

4 DR. SACHS: Sorry. Harvey Sachs.

5 I'd like a clarification. In our
6 comments, rather than writing out each of the
7 questions, are, is the request, Wes, that we use
8 this numbering, the numbering in our handouts, or
9 some other numbering?

10 MR. ANDERSON: The numbering in this
11 presentation matches the numbering in the Federal
12 Register Notice, --

13 DR. SACHS: Okay.

14 MR. ANDERSON: -- so use the
15 presentation for, the Federal Register for the NOPR
16 issues.

17 MR. BROOKMAN: The stuff that's on the
18 screen, that's, --

19 MR. DOUGHERTY: Correct.

20 MR. BROOKMAN: -- that's the form --

21 MR. ANDERSON: That's the, the form;
22 correct.

23 MR. BROOKMAN: -- that you wish, that he

1 wishes for you to follow in your comments.

2 Molly?

3 MS. TROMBLEY-McCANN: I just wanted to
4 check in with the gentleman from Mitsubishi.

5 So, for this special subsection of
6 multi-splits that can't meet the Standard, are the
7 proposed levels something that they could meet?

8 MR. DOPPEL: Yeah. Those, those
9 shouldn't be a problem.

10 MS. TROMBLEY-McCANN: Okay. So, it's
11 just a question of which multi-splits are assigned
12 to those levels.

13 MR. DOPPEL: (Nodded yes.)

14 DR. SACHS: Number 3 is just a number.

15 MR. BROOKMAN: Did we address both the
16 questions?

17 MR. DOUGHERTY: Yeah.

18 Just to review, then, Question 1, that
19 was not in the published document. It was a
20 question whether or not we should apply, if, in
21 fact, whatever comes forward to cover ducted
22 multi-splits, should that be applied to ducted
23 mini-splits and also the furred-down

1 ceiling-mounted systems that we were talking about.

2 And the asterisk there is just to try
3 to -- The key thing here is always to try to define
4 this category so it's fairly well-defined, and not
5 something that can be potentially abused. And so
6 the definition here is to say that indoor units
7 that would fall in this furred-down category would
8 be ones that were no more than 11 inches high,
9 tall, no more than 24 inches deep.

10 So, it's meant to fit between the joist
11 space. And the single-split application, as far as
12 the coil perpendicular to the flow stream and the
13 rated capacity for the system doesn't exceed
14 39,000.

15 Now, maybe there is a split core, but I
16 haven't seen it. And also, a capacity of 39,000.

17 MR. DOPPEL: All of our coils would be
18 splits.

19 DR. SACHS: For furred-down?

20 MR. DOPPEL: For all the --

21 MR. DOUGHERTY: For multi-splits, that's
22 a different category.

23 DR. SACHS: Different category.

1 MR. BROOKMAN: Did you get that?

2 MR. DOUGHERTY: What I'm familiar with
3 as far as the furred-down, I've only seen a select
4 few manufacturers that offer those. So, maybe
5 they're more prevalent than I'm understanding.

6 But, I'm thinking at least two
7 manufacturers. I didn't know if it was a pervasive
8 product or not.

9 Can you answer that, Jim, as far as --

10 MR. BROOKMAN: The question I think was
11 directed towards manufacturers. Can you, can you
12 --

13 MR. DOPPEL: We don't, we don't
14 manufacture those kinds of products.

15 MR. BROOKMAN: Okay. Hang on just a
16 second, Harvey.

17 Is there -- State, state -- You -- Do
18 you want to restate your question, or do you think
19 you've gotten as much as you can get?

20 MR. DOUGHERTY: Well, they're not
21 particularly furred-down ceiling-mount units,
22 because I've looked at two manufacturers that I'm
23 familiar with that offer this product. Maybe I

1 should be looking at others, because I've got a
2 certain understanding of what the geometry is, but
3 maybe I haven't looked at enough.

4 So, I would be interested to know if
5 there's more than two manufacturers out there that
6 make this particular product.

7 MR. BROOKMAN: Jim Crawford.

8 MR. CRAWFORD: Jim Crawford.

9 Are you referring simply to --

10 MR. DOUGHERTY: The indoor unit.

11 MR. CRAWFORD: -- a cassette unit in
12 the, in the ceiling?

13 MR. DOUGHERTY: Usually sometimes has
14 two side-by-side blowers using the slab. It's just
15 a vertical slab, vertical --

16 MR. DOPPEL: He's talking a furred-down
17 hotel room-type unit.

18 MR. CRAWFORD: But, if I had a circular
19 coil, I think that meets your definition. I don't
20 think that's what you intend.

21 MR. DOUGHERTY: No, and that's not what
22 I intend.

23 MR. CRAWFORD: The single slab, and the

1 air flow is perpendicular to the air flow stream.

2 MR. DOUGHERTY: Okay. So, it needs to
3 be --

4 MR. CRAWFORD: And, you know, cassette
5 units are, I, I believe, made by numerous
6 manufacturers, and very common in Europe in
7 commercial applications.

8 MR. DOUGHERTY: Okay. Maybe I have to
9 look at that.

10 MR. BROOKMAN: Jim, would you suggest
11 how the definition would be altered to --

12 MR. CRAWFORD: I'd defer to AHRI to
13 define, to get together with, with Brian and come
14 up with a definition. And one of the things --
15 When I go home I'm going to have to look at and try
16 to figure out what the mini-split is as contrasted
17 to a small traditional system.

18 Where does it get "mini"?

19 MR. BROOKMAN: Harvey Sachs.

20 DR. SACHS: Harvey Sachs.

21 I'm, I'm, I'm now confused about
22 different issues.

23 MR. DOUGHERTY: Okay.

1 DR. SACHS: Are furred-down units as
2 described here sold in the residential market as
3 part of residential equipment?

4 MR. BROOKMAN: Do we have any pictures?

5 MR. DOUGHERTY: They were of capacity
6 range that would have them covered by this test
7 procedure. As far as a true residential system as
8 a detached home, maybe not.

9 But, I've certainly seen them in
10 multi-family applications.

11 DR. SACHS: Okay. Well, that's, that's
12 helpful, and I appreciate it.

13 And I certainly haven't done the
14 calculations, but under, with, with, with air
15 velocities characteristics of residential
16 applications, can I get 39,000 BTUs out of a single
17 unit that fits into an 11-by-24 perpendicular?

18 MR. DOUGHERTY: I'll go back and look.
19 I thought that was at the high end of what was
20 available.

21 DR. SACHS: It sounds very generous in
22 terms of residential, and it was, sounds very
23 generous in terms of the capacity that I would, in

1 terms of residential zone that might be served by
2 this equipment, which is basically an elaborate
3 room air conditioner.

4 So, I would think that we might all feel
5 more comfortable with a substantially more
6 restrictive definition if the furred-down units are
7 actually sold in the residential sector. Thank
8 you.

9 MR. BROOKMAN: Thank you. I just want
10 to check with the group.

11 Do you have a clear understanding of
12 what these units are and what the break points are,
13 or is, is that understood now?

14 (To Mr. Dougherty): Can you draw us a
15 picture on a flip chart?

16 MR. DOUGHERTY: I could try.

17 MR. BROOKMAN: I'll get a pen.

18 MR. ANDERSON: There's a --

19 MR. DOPPEL: Here.

20 MR. BROOKMAN: Here. Here, use this
21 one.

22 I'm, I'm seeing a lot of confused looks
23 around the room. That's the reason I, I'm doing

1 this.

2 MR. ANDERSON: This is Wes at DOE, Wes
3 Anderson.

4 Is the question about furred-down, or
5 confusing with furred-down, or, and mini-splits, or
6 is it just the furred-down units that you're
7 questioning?

8 DR. SACHS: Harvey Sachs.

9 Wes, I take that as addressed to me, and
10 I was thinking of it in terms of furred-down units
11 in residential applications, whether they would be
12 part of a multi-split system or single condensing
13 unit, single evaporating unit.

14 I'm just not familiar with the
15 application. That's, that's my fault.

16 MR. DOUGHERTY: So, I believe as far as
17 on the return side there could be a duct prior to
18 that before it gets to the blower, or the return
19 could actually be right at the unit. But,
20 basically the air is just brought in, and that,
21 that, to generate over the coil.

22 And maybe a short duct is to get it out
23 to your drywall drop-down, and then that is,

1 exhausts into the room.

2 MR. BROOKMAN: That helped me.

3 Karim, do you want --

4 DR. AMRANE: No. No. Fine.

5 MR. DOUGHERTY: You're fine? Okay.

6 MR. CRAWFORD: Relative to Harvey's --

7 MR. BROOKMAN: Jim Crawford.

8 MR. CRAWFORD: Jim Crawford. Sorry.

9 Relative to Harvey's question, certainly
10 you'd find this in hotels and residential, I
11 believe, in these Regulations is defined bin
12 capacity range, and by single-phase versus
13 three-phase.

14 And if we're talking about single-phase
15 equipment under 65,000 BTUs per hour for the
16 system, we're talking about residential, regardless
17 of how it's applied.

18 MR. DOUGHERTY: Good. Thank you.

19 MR. BROOKMAN: That -- Thank you, Jim.

20 Wes?

21 MR. ANDERSON: This is Wes at DOE. I'd
22 like to reiterate that about ten percent of the
23 residential market is considered a commercial

1 application, so it's --

2 MR. BROOKMAN: Okay. Thanks for drawing
3 that diagram. It's good.

4 Okay, are we all set? We're going to
5 move on now.

6 MR. DOUGHERTY: Okay, go to the
7 laboratory installation provisions. And the first
8 one here is a proposed adjustment in, as to how you
9 set up your system, and particularly your indoor,
10 indoor section, your indoor blower.

11 Considering here the condition of
12 fixed-speed motors and variable-speed constant
13 torque motors, whether or not the proposal was to
14 allow reducing the air volume rate by as much as
15 ten percent below the rated value, your target
16 value, if you're not at it, which we showed on the,
17 on the previous table or two, before having to
18 switch to the next-highest conversion, and
19 therefore a higher power draw conversion.

20 The second proposal was, was pointed out
21 to us in making sure that although the next
22 incremental change on particularly your dip
23 switches may, may be the next one in line, that may

1 actually be an alternative configuration as to your
2 fan delay.

3 So, just to, in addition there, whenever
4 you make these incremental changes and you're
5 forced to make these incremental changes in your
6 fan configuration, that you do not change the
7 blower delay. That is what, what is intended by
8 the manufacturers for the rating purpose.

9 So, the goal of this set-up test
10 procedure is to produce repeatable setups, and
11 ultimately, then, consistent ratings so if, if a
12 particular model is tested one day by the
13 manufacturer, and that same model's tested another
14 time by an independent test laboratory, what you
15 ultimately want to have is that configuration to be
16 the same.

17 You want the same dip-switch settings to
18 be in place so that the, the power and the blowing
19 characteristics of the unit are as similar as
20 possible.

21 Currently in the test procedure there is
22 an allowance to reduce this air volume if, in fact,
23 when you set up, you're not at the minimal static

1 by as much as five percent to get to that minimal
2 static.

3 And so the idea now is, particularly now
4 with the constant torques supporting the
5 variability, might be greater, such that the five
6 percent may be too slight.

7 So, in looking at this, it, if we went
8 from five percent to ten percent from a modeling,
9 the effect appeared to have been you had a maximum
10 on the high end as much as two percent degrees.

11 And the implication of that is that
12 although the DOE doesn't have a certification
13 requirement associated with capacity, the industry
14 certification process does.

15 So, if, in fact, this is allowed,
16 there's a chance of, more chance of a failure
17 occurring as a part of that third-party
18 certification process.

19 And maybe if you're giving up as much as
20 two percent from the get-go, and the tolerance is
21 five percent, you're getting closer and closer to
22 that, that borderline of potentially failing. So,
23 that would be one of the implications of allowing

1 this tolerance.

2 The second thing is more from a DOE
3 perspective, allowing us the seasonal descriptors
4 SEER.

5 Because that reduction in air volume
6 would also have the reduction in power, the effect
7 on SEER is less. It's more of four percent.

8 So, the effect there wouldn't be as
9 problematic as the effect on capacity is. So, --
10 But, ultimately the, the, the goal is to have the
11 consistent configuration.

12 And the concern, again, is that if you
13 don't have the same configuration, the
14 configuration at the next-highest speed would
15 attach to a better HSCR than even this effect.

16 So, the question then becomes, as
17 identified in the fourth entry in your June second
18 document, was: Will these proposed adjustments of
19 five percent to ten percent allow, provide a more
20 consistent setup, a more repeatable laboratory
21 installation, and then ultimately more consistent
22 rating guides of at least SEER and HSPF?

23 MR. BROOKMAN: I see a few heads

1 nodding, but we would like to make that verbal.

2 Karim?

3 DR. AMRANE: I guess the comments came
4 from us, so we do support that.

5 MR. BROOKMAN: Okay. Thank you.

6 That's good for the Record. Department
7 wants that.

8 Other comments on the, this, the, the,
9 identified as Issue Number 4?

10 (Whereupon, no response was had.)

11 MR. BROOKMAN: Okay.

12 MR. DOUGHERTY: Okay, now changing now
13 to the refrigerant charging procedure, I want to
14 improve a few things. The first thing that's in
15 the DOE test procedure, it doesn't cover certain
16 cases.

17 And one of the cases it does not cover
18 is to give more guidance in the vent installation
19 instruction, giving a range for a particular
20 parameter. And in that case, the idea is to give
21 more guidance in the mid-point as opposed to just
22 the, the range.

23 Another item that was pointed out

1 through the AHRI was the fact that, well, as right
2 now it's not explicitly covered, that you cannot
3 change the refrigerant charge during the testing
4 process.

5 In general, let's hope that that would
6 not happen, but to be definitive and explicit.
7 There's a proposal to state just that: You can't
8 have a certain charge for the cooling test and
9 another area that, for heat tests.

10 There's also a proposal to delete
11 language allowing for the published installation
12 and charging instructions to be, to be changed
13 during the testing process and then revised based
14 on whatever the manufacturer proposed to make a
15 change during the testing process.

16 This was something that came about in a
17 previous rulemaking in that the DOE test procedure
18 was seen as a potential vehicle for getting better
19 information out there as to how to charge a system.

20 Well, after further consideration by the
21 industry members and DOE, we feel like this isn't
22 the mechanism for doing that. You should test the
23 unit according to the, the published installation

1 instruction.

2 And that's a little -- It's not
3 something where this should be used as an
4 opportunity to reevaluate whether or not those
5 instructions are correct.

6 So, the expected outcome is to remove
7 potential loophole for adjusting the refrigerant
8 charge during the testing process once it's set for
9 that first test, stating that published
10 installation/charging instruction cannot be
11 overridden during DOE's testing.

12 So, the option of using the DOE test
13 mechanism as a mechanism for getting better
14 charging done is now not encouraged, and overall
15 it's just better alignment with the AHRI
16 certification testing program.

17 Before I go on to, would there be any
18 questions or comments regarding the
19 refrigerant-charging proposed changes?

20 MR. BROOKMAN: No comments? No, no
21 commitment? Or no --

22 DR. AMRANE: I guess as AHRI, we
23 support.

1 MR. BROOKMAN: Thank you, Karim.

2 MR. DOUGHERTY: Going on now,
3 installation, some clarifications with regard to
4 the system setup procedure. And, and in this
5 effort, it's mainly focused on the fact that the
6 DOE testing is testing for certification purposes,
7 at least comes at the very beginning of the
8 product, actually before it's even, it's
9 distributed for sale, as opposed to them saying
10 that occurred thereafter, as in terms of
11 certification or enforcement tests.

12 So, there's an effort in the test
13 procedure to better delineate these two cases. And
14 to that end, the first one is that a manufacturer,
15 if they choose to go to an outside entity and have
16 them do the testing for initial DOE testing, that,
17 in fact, they have the right in full for
18 interacting with that entity just as if they were
19 having it done in their own test facility.

20 So, in this case, the application
21 saying, no, it should be an interaction between the
22 testing facility and the manufacturer, is waived
23 because it's at the beginning and we wanted to

1 treat them fairly whether or not they had the
2 capability to go in-house or had to go outside to
3 do that testing, and trying specifically to
4 incorporate tests where DOE certification can be,
5 often be done on preproduction and before the
6 publication of the installation instructions.

7 And those are not published with the
8 units. They're actually not still finalized.

9 So, it's something -- That issue is
10 addressed. The obvious thing here is once they
11 were finalized, they need to be what was ultimately
12 used to do the test on that preproduction unit.

13 So, the expected outcome here is to
14 better differentiate between DOE initial
15 certification tests and testing that's conducted
16 thereafter, that there, in fact, there are
17 installation instructions packaged with the unit.

18 The unit is packaged. It's --
19 Everything -- It's a commercial entity that's being
20 sold.

21 It's not something that's still nearly
22 at the end of its design process.

23 Any questions or comments on these?

1 MR. BROOKMAN: Harvey Sachs.

2 DR. SACHS: Harvey Sachs.

3 I certainly understand the, the logic to
4 the proposed changes, but there's something
5 philosophically troubling as well, that the end of
6 the day these boxes are installed by human beings
7 who do not interact with the manufacturer.

8 At best, they will have been trained by
9 a distributor. And in that context, the
10 installation instructions, the set-up instructions
11 are a key component of the product itself.

12 And I'm not sure how to operationalize
13 this, but I want to point out that there's a loss
14 in the proposed change, as well. Thank you.

15 MR. BROOKMAN: Jeff.

16 MR. NICHOLS: The way I'd interpret
17 this, I -- If it's a private testing lab that the
18 manufacturer is using, it's, for all practical
19 purposes, it's an extension of what we're doing.

20 And the certification testing for DOE,
21 the final DOE testing is part of the development
22 process. And recat- is -- The literature's not
23 going to be finalized until you finalize those

1 tests.

2 So, so, it's, it's almost impossible to
3 have everything done. And when you're working to
4 do that DOE certification, you're going to be
5 pretty ruthless and make sure you have installation
6 done the way it's intended to be done, even though
7 it's in a third-party, private testing laboratory.

8 DR. SACHS: Thanks, Jim.

9 MR. BROOKMAN: Thank you. Okay.

10 Are there comments on these issues?

11 (Whereupon, no response was had.)

12 MR. BROOKMAN: Okay.

13 MR. DOUGHERTY: Changing now to test
14 op-, test operating tolerances that apply to the
15 air volume measurements, and also in-situ
16 calibration efforts with regards to degradation
17 tests, starting first on the air side.

18 The issue is airflow test operating
19 tolerances are usually exceeded if using electronic
20 pressure transducers that are, that are of the
21 higher sensitivity. Currently in the test
22 procedure, and these are longstanding values, there
23 was a test operating tolerance.

1 Now, test operating tolerances during
2 your test, a maximum minus the minimum value, that,
3 that range cannot exceed these values. Vis-à-vis,
4 in the case of the external static, that maximum
5 range cannot exceed .05 inches.

6 And as far as your pressure drop across
7 your nozzles, that cannot exceed two percent of
8 the, of the reading. These tolerances are, are,
9 are, predate the DOE test procedure.

10 They are something at least appear in
11 ASHRAE Standard 37-78, and I suspect they actually
12 precede that, that, that publication date.

13 These tolerances are relatively easy to,
14 to achieve when you use a liquid manometer to make
15 the measurement because of the liquid's inherent
16 damping characteristics.

17 It can become a different story,
18 however, with these high sensitive electronic
19 pressure transducers, and more noticeable where you
20 have a higher sample rate, and also where you have
21 a variable-speed CMF blower where it's regulating
22 during the tests.

23 So, those test operating tolerances go

1 in there in an effort to define a steady-state
2 window in which to collect the data.

3 So, as potential corrective actions that
4 were considered by DOE, the first one is to just
5 eliminate those two tolerances and use other
6 metrics as a means for defining steady-state
7 conditions.

8 The second option would be, consider
9 integrating the signal over time interval and, and
10 calculating an average for that subinterval and
11 using it for, as evaluating compliances with those
12 test operating tolerances.

13 The third option is to try to
14 mechanically dampen the pressure in an effort to
15 mimic a liquid manometer. And there are these
16 things called pressure snubbers that seem to do
17 that.

18 And then, finally, the option would be
19 to increase the magnitudes of these tolerances,
20 given that this is what's happening. And the, the,
21 the graph here shows a typical case of a system
22 where you can see the fluctuations occurring; in
23 this case are for the external static pressure.

1 And they do exceed the .05 tolerance
2 that exists currently. So, at this point in the,
3 in the test procedure, because we lacked sufficient
4 data to evaluate in particular the third option
5 there, we went with the idea:

6 Okay, let's, let's, let's consider the
7 idea of, of, of wide-opening these tolerances.
8 But, then, of course, the question becomes: At
9 what point do they become ineffective in the
10 practice of helping identifying a steady-state
11 period?

12 So, then the proposed numbers are going
13 from .05 up to .12 as far as that maximum/minimum/
14 maximum variation, going from 2 percent overall as
15 to that pressure difference across the nozzles, to
16 as much as eight percent.

17 And these are not plus or minus. These
18 are the total, absolute values for the ranges.

19 So, so, so, okay, so, so, so this item,
20 then, there's a question in the NOPR identified as,
21 as Number 5, and are greater tolerances the
22 solution in terms of using electronic pressure
23 transducers, because we certainly want to know that

1 we have pressure, not having someone having to read
2 that liquid manometer.

3 So, in this case DOE's seeking comments
4 on other actions as well as the one proposed.

5 MR. BROOKMAN: Jim Crawford.

6 MR. CRAWFORD: I didn't want to
7 interrupt. This is not a technical point, but it's
8 a, an, an important procedural point.

9 In the Federal Register Notice, this
10 actually, 37-78 is repeatedly referred to as, as an
11 industry Standard. It is not.

12 This is a consensus Standard of
13 professional associations. And I don't know what
14 the current composition of the committee is.

15 Industry is always represented in the
16 minority on an ASHRE Committee, and it's very
17 common that employees of the Federal Government
18 represent a significant percentage of the
19 composition of ASHRE committees.

20 So, that is an important distinction.
21 And its consequence, don't know at the moment.

22 But, I just -- It's something that needs
23 to be kept in mind.

1 MR. DOUGHERTY: Thank you, Jim.

2 MR. BROOKMAN: Despite the fact that
3 industry participates and it's considered a
4 consensus Standard?

5 MR. CRAWFORD: It is a consensus
6 Standard.

7 MR. BROOKMAN: And Industry
8 participates?

9 MR. CRAWFORD: And, and the participants
10 all represent themselves as professional
11 individuals. They do not represent their
12 employers, --

13 MR. BROOKMAN: Got 'cha.

14 MR. CRAWFORD: -- whether their
15 employer's industrial or federal.

16 MR. BROOKMAN: Harvey.

17 DR. SACHS: Harvey Sachs.

18 Indeed, they even let folks like me on
19 them committees. That's not what I wanted to
20 comment on, though.

21 Brian, I'm just not clear. When I look
22 at the graph on Slide 24 which shows a small number
23 of outliers, -- It's the preceding slide.

1 MR. DOUGHERTY: Yes. And I'm stuck
2 here.

3 DR. SACHS: Don't bother. I think we
4 can all see it.

5 But, it shows a reasonable distribution
6 and a small number of outliers.

7 Thank you.

8 Somehow it seems to me that those, in
9 this respect, not in others, wasn't broke. So, I'm
10 not sure why we're trying to fix it.

11 That -- Your Bullet Number 2, full
12 signal integration, just seems like an awful lot
13 cleaner way that allows for the evolution beyond
14 today's generation of sensors or anything else that
15 happens in terms of preserving the relationship
16 between the sensor and the test apparatus giving
17 maximum flexibility.

18 I need to understand why I would not
19 prefer Option 2, the integration to broadening them
20 to accommodate these few.

21 MR. BROOKMAN: Meg?

22 MS. WALTHNER: Meg Walthner, NRDC.

23 I just wanted to agree with Harvey's

1 comment.

2 MR. BROOKMAN: Thank you.

3 Karim?

4 DR. AMRANE: I guess, of course, we
5 checked with Intertek ourselves, but have you
6 talked to them and --

7 MR. DOUGHERTY: It's their data.

8 DR. AMRANE: It's their data.

9 MR. NICHOLS: But, no. Jeff Nichols,
10 Johnson Controls, wouldn't want to see the
11 tolerance change.

12 We would prefer something where you're
13 taking an average. If you couple this change with
14 the opening the air flow tolerance up, you're
15 opening yourself up to too much.

16 The variation gets too much.

17 DR. SACHS: Harvey Sachs again.

18 Just as a follow-up, I think there has
19 to be a bound on integration, period. Clearly
20 extreme.

21 It can't be longer than the test
22 interval.

23 MR. DOUGHERTY: Right. Right.

1 And, in fact, that's one of the keys,
2 Harvey, we looked at. Seemed like one minute in
3 some cases didn't get us back, and we took two
4 minutes.

5 Is there anything magical about two
6 minutes? So, that, that, that, that's a key point.

7 MR. BROOKMAN: Jeff, please.

8 MR. NICHOLS: I think whatever, if you
9 take an average, you want to maintain a -- Because
10 a manufacturer may sample the minimal or they may
11 sample a lot --

12 MR. DOUGHERTY: Correct.

13 MR. NICHOLS: -- more than that,
14 depending on their software and sampling rates.
15 So, you want to leave them the ability to average
16 it over and beyond what the minimal sample is.

17 MR. BROOKMAN: Okay. Thank you.

18 Are there comments on these test
19 tolerances and these four options?

20 (Whereupon, no response was had.)

21 MR. BROOKMAN: Okay.

22 MR. DOUGHERTY: Okay, now going to the
23 effort to have an in-situ calibration. Need to

1 reduce the measurement bias that's created when
2 using two different sets of air-side temperature
3 sensors between the steady-state test and the
4 cyclic tests that are used in tandem to come up
5 with your cyclic degradation coefficient.

6 So, just as a review, you have that,
7 these two companion tests. They come one right
8 after the other; you know, the steady-state and
9 cyclic.

10 And as far as that C-, CD value, it is
11 used in estimating a part load factor which is a
12 ratio of the EER when, when cycling to the EER at
13 steady state.

14 So, the EER at steady state would
15 reflect one set of temperature sensors used to get
16 its capacity element, and the EER for steady state
17 would be determined using the second set of
18 temperature sensors.

19 And why do you have this potential for
20 two different temperature sensors? Well, the test
21 procedure couple automatically to ASHRAE Standard
22 41.1 which covers the temperature requirements.

23 There's requirements associated with

1 steady-state tests, and also for transient tests,
2 and for steady-state tests there's more of a focus
3 on accuracy, whereas for the transient test, of
4 course, you have to also have lower time constants.

5 So, you have to have the faster
6 responding. So, there's some differing
7 differential equations that are needed to meet
8 those two different requirements, given end
9 application.

10 But, as applied here in the DOE test
11 procedure, especially because it's used in a ratio
12 form, it can have some impacts on the bias because
13 you have two sets of temperature sensors, and
14 ultimately you're never -- Well, not never, but
15 unlikely. I don't think you're going to get those
16 two just on their own to line up exactly when
17 they're making a temperature-difference
18 measurement.

19 So, the proposal in the DOE test
20 procedure is to offer a correction method where you
21 measure that temperature difference using both sets
22 of instrumentation during the steady-state test.

23 Then you apply whatever ratio is

1 determined from that steady, steady, steady-state
2 test to create the Delta-T that's measured during
3 the cyclic test that follows.

4 So, you're getting them correlated
5 during the steady-state test, and then you're using
6 that correlation for your capacity correlation
7 during your cyclic test.

8 As far as this proposed temperature
9 difference Delta-T correction process, it would be
10 one, again, that you would measure the Delta-T
11 during the steady-state test.

12 And the proposal is to actually require
13 that that measure be made at least every five
14 minutes during the steady-state test, and that is a
15 deviation from what's currently required.

16 Currently the, you can sample everything as much as
17 every ten minutes in the case of the Delta-T.

18 So, we're asking that to be reduced in
19 half so we get enough data at least during that
20 30-minute interval. If you only test, you only
21 tell us every five minutes, that will alter that
22 Delta-T ratio that you calculate.

23 And so from the measurements you make,

1 you calculate the Delta-T for the steady-state
2 sensors, a Delta-T for the cyclic sensors, and you
3 would calculate then this ratio of Delta-Ts, and
4 that would be used for the steady state.

5 That's what would be used to correct the
6 Delta-T measurement during the second test. And
7 now to, to at least avoid the case where there's
8 something terribly wrong with the system where you
9 have this great deviation in the Delta-T
10 measurements, placing a, a limit on how much they
11 can differ from one another before you're forced to
12 stop your test and figure out:

13 "Well, I have two different sets of
14 temperature sensors, and they're a degree, a degree
15 apart. That's not acceptable.

16 "There's something wrong somewhere. I
17 need to figure out where this, this error occurs,"
18 and potentially have to do a recalibration of one
19 or two sets of instrumentation.

20 So, the proposal is to put a six-percent
21 ratio on that that that can vary. So, the idea
22 would be between .94, that Delta-T could vary from
23 .94 and 1.06, and you could go forward.

1 But, if you find that that ratio is
2 beyond that range, you'd have to again stop and
3 reevaluate why the two sets are so different in
4 their measurement of the same temperature
5 differences.

6 And, and, and in an effort to avoid
7 having to run a complete 30-minute test, we were
8 trying to put limits on how short of interval could
9 you run before you make that evaluation.

10 "Am I good or not good?" just to save a
11 little time in the, in the laboratory on, per se.
12 And the idea is to say you have to have at least
13 seven data samples.

14 And that is if you make tests every five
15 minutes, you'll get seven samples. But, you can't
16 make seven samples in seven seconds.

17 You have to have some minimal value to
18 evaluate that, and we're putting a minimum of six
19 minutes. So, we're saying you have to have at
20 least seven samples, and you have to have checked
21 those seven samples at least over a six-minutes or
22 longer interval before you make this decision as to
23 whether or not I'm going to go forward or not.

1 So, at this point I'd welcome comments
2 on this particular proposed effort. And I might
3 point out here, although it is not part of the DOE
4 test procedure currently, it is something that,
5 that is being used as part of the AHRI series
6 certification to evaluate their tests of the cyclic
7 coefficient measurement.

8 MR. BROOKMAN: Jeff.

9 MR. NICHOLS: Brad, what's the maximum?
10 If it's seven data points, the maximum interval,
11 then I guess my mind is running short.

12 MR. DOUGHERTY: But, as far as if you
13 use six minutes, that would be the interval.

14 MR. NICHOLS: Thirty minutes?

15 MR. DOUGHERTY: The interval would be
16 six minutes. If you were taking more than seven
17 samples in six minutes, six minutes would be the
18 limiting factor that you have.

19 However many measurements you've made,
20 you use all of them, they would be spaced at
21 individual equal intervals. So, in most cases I
22 think it would be six minutes for most
23 manufacturers.

1 I think most of you sample at least
2 every minute, if not less, in this Delta-T measure.

3 MR. NICHOLS: Okay, during, during the
4 details, during the cyclical --

5 MR. DOUGHERTY: During the steady-state
6 test, these measurements would occur.

7 MR. NICHOLS: Okay. So, so, you're --
8 So, the current sampling rate required is, is what
9 interval?

10 MR. DOUGHERTY: Okay. Yeah.

11 The -- You could, you could sample every
12 five minutes, but you, as a program, then would
13 have to go to 30 minutes before you made your
14 evaluation of whether or not you met the six.

15 MR. NICHOLS: But, the current, current
16 sampling rate is what interval?

17 MR. DOUGHERTY: At least every five
18 minutes, if not more frequently.

19 MR. NICHOLS: Yeah. Okay.

20 MR. BROOKMAN: At least every five, if
21 not more frequent.

22 MR. DOUGHERTY: Right. If you prefer to
23 make them every 30 seconds, that's okay, but to get

1 seven measurements you have to go 30 minutes to get
2 seven measurements; one at the beginning and then
3 -- Well, it ends up being seven.

4 Thirty divide by five and six, you've
5 got the beginning and the end.

6 MR. BROOKMAN: So, there's a lot of, of
7 specificity here. What do you think?

8 The Department's requesting comment on
9 this proposed Delta-T correction.

10 Jim Crawford.

11 MR. CRAWFORD: Jim Crawford, Trane.

12 I think that although there's a lot of
13 specificity here, there are at least as many open
14 questions as there are specifics. And I think
15 people need to deliberate on this before coming
16 back.

17 MR. BROOKMAN: Okay. End with comments,
18 then?

19 Okay. Well, then there are additional
20 questions you want to put to Brian at this point,
21 or can we get some additional comments on what's
22 being proposed here?

23 Jeff, please.

1 MR. NICHOLS: Conceptually I think it's,
2 it's a good idea. I think we want to work through
3 the mechanics of how you, you, you, you correlate.

4 MR. BROOKMAN: Thank you.

5 Paul, anything for you?

6 MR. DOPPEL: (Nodded no.)

7 MR. BROOKMAN: Nothing. Okay.

8 Okay. Jim?

9 MR. CRAWFORD: Jim Crawford. It's
10 well-intentioned.

11 MR. BROOKMAN: Thank you. Okay.

12 MR. DOUGHERTY: Since the Final Rule of
13 October of 2007, the Department -- I'm sorry.

14 DR. SACHS: I'm -- It took me --

15 MR. BROOKMAN: Harvey?

16 DR. SACHS: Harvey Sachs.

17 It took me a while of how to think of a
18 way to respond to Doug's comment that there's a lot
19 of specificity here, and I want to phrase it in, as
20 a question to Brian.

21 My sense is that the intent of these is
22 to make the testing process, the certification
23 process more rational, more replicable, and it will

1 not bias the results either up or down.

2 If that's the, the sense of it, then I
3 think for those of us in the advocacy community, if
4 it's not going to lead to loop-holing and it's
5 going to achieve these results, we're all in favor
6 of them.

7 MR. DOUGHERTY: It's meant to improve
8 report repeatability.

9 MR. BROOKMAN: Okay, thanks.

10 Final comments on this?

11 MR. DOUGHERTY: Since the last Final
12 Rule in 2007, the Department of Energy has received
13 two Waiver Requests for products that are, have
14 features not currently covered as part of the test
15 procedure.

16 The first one that I'm referencing has
17 to do with the case where the indoor blower unit
18 has two cycles to the coil, but ultimately has
19 multiple blowers used with that coil. And in
20 August, 2008, DOE granted a waiver for a line of
21 these such products as applied to the specific
22 application as a single-speed heat pump outdoor
23 unit and one two-capacity heat pump outdoor unit,

1 and the case of where there's two separate
2 single-speed heat pumps applied with this specific
3 outdoor requirement.

4 Because of the utilization of those
5 commercially, the test procedure add-ons that are
6 proposed are similar to what was granted in the
7 Waiver. They're, they're basic, and it's minimum
8 until we see how this progresses to understand
9 whether or not this takes an industry and how it's
10 applied.

11 So, the scope and the waiver, as well as
12 the test procedure, is to cover products where the
13 indoor system has between two and eight indoor
14 blowers, and, as I mentioned, either the single- or
15 dual-circuited indoor, indoor coil.

16 As far as simplifications, just looking
17 at, at limited cases here. So, modelling on the
18 indoor side mainly is a two-capacity system in the
19 case of just looking at the, when half the blowers
20 are on and when all the blowers are on, and not to
21 look at other combinations that are possible there.

22 And for two-stage system, for those
23 cases where there's either a type of two

1 single-speed heat pumps or a single two-capacity
2 heat pump, in those cases we would define "minimum
3 capacity" as occurring when half the blowers were
4 on, and, and full capacity occurring when all
5 blowers are on.

6 So, at this, I, I, I'm going to package
7 them together and assess as a group, as opposed to
8 individually, if that's okay.

9 MR. DOPPEL: Can I make a comment?

10 MR. BROOKMAN: Paul?

11 MR. DOPPEL: Paul Doppel.

12 In a way, I'd like to sort of object to
13 this because this is like a multi-split if it has
14 two indoor coils, and multi-split systems are
15 required to turn one indoor unit off at low speed.

16 And so this is being treated
17 differently, because both coils are allowed to
18 remain active, unlike multi-splits. And that's one
19 of the things that we, we, that we have proposed,
20 change to the multi-split testing, which I was
21 going to bring up later anyway.

22 But, I just wanted to make that
23 association with that, that this, this, this type

1 of a system is being treated differently.

2 MR. BROOKMAN: Can you say -- Maybe I
3 missed it. How would you address -- How would --
4 what kind of fix that you would like to see?

5 MR. DOPPEL: I think the testing
6 procedure for the multi-split systems to allow all
7 systems to operate at all times, all the indoor
8 units to operate at all times.

9 MR. BROOKMAN: Thank you.
10 Do you want to follow on there, Brian?

11 MR. DOUGHERTY: I don't know that we can
12 mimic that same requirement for multi-split stuff
13 because in this case you can't turn off -- There's
14 only one indoor, one coil to turn off, and if you
15 turn off, there's no capacity, whereas a
16 multi-split, you can turn off one coil at a time.

17 MR. DOPPEL: But, from what I saw on
18 these systems, there should be a way to block
19 refrigerant to one, and certainly turn off the
20 blowers to one of the indoor sections.

21 MR. DOUGHERTY: Well, we are -- We're
22 turning off both blowers in some of, in some of
23 these.

1 MR. DOPPEL: But, both coils are
2 working.

3 MR. DOUGHERTY: The case of a dual-cycle
4 circuit maybe you could, but in the case of a
5 single circuit I don't know how you can do what you
6 describe.

7 MR. BROOKMAN: Well, operationally
8 what's the common case?

9 MR. DOPPEL: Well, for the multi-split
10 systems, again, the testing is intended to look at
11 operations at low conditions. But, in low
12 conditions you don't turn off one indoor unit,
13 because all areas would be calling for heating or
14 cooling.

15 So, -- But, the test requires one of the
16 indoor units to be turned off, which inactivates a
17 lot of the evaporator's surface, so you're losing
18 capacity.

19 MR. DOUGHERTY: With the multi-split
20 test procedure there is a need for test data to
21 evaluate the impacts of having, keeping, moderating
22 where you have all units remain on. But, now you
23 can modulate between maximum and minimum values.

1 But, you do, in fact, turn off certain
2 indoor units. So, in trying to capture those
3 different features, the current test procedure
4 does, at one test state you have to turn at least
5 one of the indoor units off.

6 But, there's, there's an opportunity
7 here soon to provide some test data that may help
8 you evaluate what is the best way for generating a
9 performance map for a multi-system, and that's been
10 lacking up to now.

11 MR. BROOKMAN: Harvey. Pardon me.

12 Jim Crawford.

13 MR. CRAWFORD: Do we look that much
14 alike? Yes.

15 DR. SACHS: I resemble that.

16 MR. CRAWFORD: The -- Are we talking
17 about you're going to continue to have refrigerant
18 flowing through the unit that is turned off?

19 MR. DOUGHERTY: Well, --

20 MR. CRAWFORD: If so, it's going to ice
21 up, is it not?

22 MR. DOUGHERTY: Correct. And so, yeah,
23 that's -- I don't see how to make the parallel

1 condition occur that's proposed for multi-splits in
2 this product.

3 MR. BROOKMAN: No additional comments?

4 Paul.

5 MR. DOPPEL: No, I was just turning that
6 mic off.

7 MR. CRAWFORD: Jim Crawford again.

8 I guess I would conclude from what you
9 just said that you weren't really proposing a
10 solution to the problem.

11 The problem remains. It changes
12 character.

13 MR. BROOKMAN: Can you propose a
14 solution to the problem?

15 MR. CRAWFORD: Not my product.

16 MR. DOUGHERTY: Well, I guess -- And,
17 again, this product, to my knowledge, has not
18 become a commercial entity at this point. In some
19 ways maybe the expectations for doing that were
20 overstated.

21 But, regardless, in trying to cover this
22 product, I don't know what the typical mode would
23 be to, in fact, turn off a circuit. The unit would

1 either have the refrigerant active, and if the
2 refrigerant's flowing, the fan's got to be on,
3 whereas when you have a multi-stage you can say,
4 "Okay, that fan's going to be off."

5 I don't think that's a capability for
6 shutting and taking it to zero. It's a different
7 base.

8 I don't see how they correlate.

9 DR. SACHS: Harvey Sachs.

10 Brian, I'm hearing that so much lately
11 that I'm wondering if it's premature to do a test
12 procedure if we don't have a performance map.

13 MR. DOUGHERTY: I think that's a
14 justified comment, and I guess the question, maybe
15 it's good to understand, too, in the waiver process
16 that at one point is that appropriate to occur?

17 Maybe in that case it's the, it's more
18 to be on the front end of things as opposed to test
19 procedures, to wait until you actually have an
20 established product to make decisions on how to
21 cover them.

22 DR. SACHS: But, Brian, I have -- If I
23 have a Waiver Request come in over the threshold,

1 that would be accompanied with data. You'd
2 certainly have the ability to ask for performance
3 map in these conditions.

4 MR. DOUGHERTY: Data's available on
5 prototype units, but I haven't seen a commercial
6 product offered. So, it's kind of vague.

7 Test procedure options only come around
8 every so often, so the timing's always: Should we
9 try to grab it, or, now, or not?

10 The Waiver goes in place and stays in
11 place until the next time we have an opportunity to
12 discuss it, and there is this, the next time the
13 test procedure is up for revision, that there be a
14 way to do away with that waiver so it's no longer
15 on the books.

16 MR. BOOKMAN: Karim?

17 DR. AMRANE: Karim Amrane, AHRI.

18 Maybe the best approach here, I don't
19 know if there's no units on the market. The
20 manufacturer has a Waiver.

21 Let's wait and see how it goes. And
22 maybe, yes, that would be, yes, sometime in the
23 future we'll assess whether that should be brought

1 into the test procedure or not.

2 MR. BROOKMAN: Okay. Thank you.

3 Yes, Jeff.

4 MR. NICHOLS: I'm not familiar with the
5 product, but is this, as opposed to having a
6 multi-speed fan motor that turns the blower speeds
7 down, is this several, just several blowers that's,
8 that's modulating the air flow in the same fashion?

9 MR. DOUGHERTY: Yes. And ultimately,
10 potentially something, what would be the zoning
11 feature that would be provided.

12 But, being able to, for example, we have
13 to switch. Four of the eight blowers would be on.

14 MR. NICHOLS: So, a correlation to how
15 multi-speed motors would be managed in this stage
16 now would be the way to cover this?

17 MR. DOUGHERTY: The current test covers
18 the case where you would have a modulating -- You'd
19 have a single with a modulating that may have two
20 stages or more of air-volume change. And so this
21 is modeled after that.

22 MR. NICHOLS: Okay.

23 MR. DOUGHERTY: Coverage of it is

1 modeled after that.

2 MR. BROOKMAN: Final comments of this
3 segment?

4 (Whereupon, no response was had.)

5 MR. BROOKMAN: Okay.

6 MR. DOUGHERTY: Okay. Another waiver
7 was granted that affected a line of, a term here,
8 triple-capacity northern-climate heat pumps.

9 And so from February of this year, DOE
10 granted an additional Waiver on a line of such
11 products that offer three stages of compressor
12 capacity modulation at heating, two stages when
13 cooling.

14 So, the, the features of this product
15 would require changes to the current coverage for
16 the heating seasonal performance factor, HSPF, but
17 not for the SEER determination.

18 The SEER test procedure currently covers
19 the case of having two stages of, of capacity
20 modulation and, and cooling.

21 As far as what's in the Notice of
22 Proposed Rulemaking, it is a little bit different
23 in one sense from what was granted as part of that

1 Decision and Order.

2 So, what's proposed in the, in the, in
3 the June second document is to additional testing
4 to characterize the performance at this, the
5 highest stage of heating capacity, this, this third
6 stage of heating capacity.

7 There is a new outdoor test condition
8 currently in the DOE test procedure on the heating
9 side. The test conditions as far as the dry bulb
10 conditions are 62, 37, 35, and 17.

11 The test procedures propose to use a 17
12 test, but in addition, require an additional
13 lower-temperature test. And in the NOPR what is
14 proposed is a dry bulb temperature of two degrees
15 Fahrenheit and a wet bulb temperature of 1 degrees
16 Fahrenheit.

17 And this does differ as far as the, the
18 offset as opposed to what is in the, in, in the
19 Waiver. In the Waiver, the manufacturer asks for 0
20 degrees and minus two.

21 The proposed change there is based on
22 some feedback from laboratory tests that says a
23 one-point depression is a whole lot easier to

1 achieve than a two-point, two-degree depression.

2 As far as the calculation side of
3 things, the proposal is to define the heating load
4 line based on the capacity at the second stage of
5 heating at 47 degrees outdoor temperature, and this
6 is consistent with their approach that's currently
7 used for available speed conditions that have the
8 capability of operating at a higher capacity during
9 heating as opposed to cooling.

10 So, if any of you dug into it, there's a
11 nominal test when testing variable heat pumps. So,
12 this would be similar to that in defining the
13 building load line that's used in calculating the
14 HSPF.

15 As far as the calculations themselves,
16 it's just an extension of what is in there now with
17 regard to coverage to two-capacity systems. You
18 just now have to consider a, a third step of
19 modulation, and the algorithm does attempt to
20 account for manufactured features that would say,
21 "Okay, at certain outdoor temperature ranges I'm
22 going to lock out certain capacity capabilities, as
23 at the lowest temperatures.

1 "For example, I may not let my system
2 operate at, at the, at my lowest capacity, and
3 likewise, at the more moderate temperatures I may
4 not let my system operate at this, this highest
5 capacity of, of, of operation."

6 So, the, the question that was
7 collective here on these Waiver-covered products
8 was Issue, Issue Number 10 in the, the June second
9 published document, and that's the question:

10 Is -- Are this -- Are these appropriate
11 ways to address these particular products, those
12 having multiple-blower indoor units and the
13 triple-capacity northern heat pumps as the, and are
14 these effective?

15 Are they sufficiently generic to cover?
16 Because, obviously, the waiver process would be
17 focused on that particular line of products.

18 And do we sufficiently make it generic,
19 and do we capture the, the features that are being
20 brought forward as part of it, these new product
21 lines?

22 MR. BROOKMAN: Harvey Sachs.

23 DR. SACHS: Harvey Sachs.

1 Brian, I guess the overarching question
2 to me is, given that heat pump sizing for Northern
3 heat pumps in particular is done to meet the load
4 at lower temperatures, was any consideration given
5 to moving the, the stipulated point from 47 for,
6 for capacity, down to a more appropriate
7 temperature, both for these and for all so-called
8 northern heat climate zones?

9 We've, we've had the problem that the,
10 the HSPFs are never reported for the, the northern
11 zones anyhow.

12 MR. DOUGHERTY: And that's an option.
13 There was an effort here to have a consistency so
14 there would be a better way to, of, of comparing
15 more conventional system.

16 So, what people tend to focus on is
17 Region IV, and minimal designed heating
18 requirement. So, to show the added effect of this
19 added capacity at the lowest temperatures, there
20 was a desire to have consistency to allow that
21 comparison.

22 But, it could be possible, as you
23 mentioned here, to do something, as stated, for

1 Region V, because it has a different bend
2 distribution, has a different design temperature,
3 had the calculation of the building load be
4 different.

5 So, that's an option. Again, this
6 should not be done in a way that dif-, dif-,
7 disadvantages these emerging units, but it is a
8 question of fair comparisons at the customer
9 beneficial conditions and the contractor-selecting
10 conditions.

11 DR. SACHS: Selecting a Wisconsin heat
12 pump on the basis of 47-degree temperature probably
13 is not going to make the Wisconsin utilities happy
14 anymore, either.

15 MR. DOUGHERTY: And without too much
16 time, you could, you could actually apply the, the
17 rating method, the bin calculations for a select
18 region application and follow those comparisons.

19 If you wanted to find the load in a
20 different fashion, you could do that and make the
21 comparisons. Now, it would be somewhat burdensome
22 then to have all the manufacturers to do that, but,
23 I mean, the calculation is possible.

1 It's just a question of, of can, can a,
2 can, can a DOE test procedure be used to that
3 extent? And I guess I'm not sure that it can meet
4 all needs, so to speak, in this case.

5 DR. SACHS: Thank you.

6 MR. BROOKMAN: Paul.

7 MR. DOPPEL: Paul Doppel, Mitsubishi.

8 Variable speeds have a, a similar
9 problem in that the requirement is to run the
10 compressors at the same speed at 47 and 17 degrees
11 for capacity for HSPF testing, when in actuality
12 the variable-speed systems, most of them can
13 generally rate more capacity at lower temperatures.

14 And it -- So, then they become like a
15 triple-capacity or a high-capacity northern unit.
16 And then some of the systems can even operate at
17 lower conditions, down to minus-18.

18 So, there's -- You know, that sort of
19 feature of these variable-speed systems is not
20 really adequately measured by the current setup,
21 the current testing.

22 MR. DOUGHERTY: Okay. I mean, there is
23 an effort, because everything -- You had the

1 performance-map-generation side.

2 MR. DOPPEL: Yeah.

3 MR. DOUGHERTY: So, the effort there is
4 to have con-, consistent operating occurring at the
5 47- and 17-degree test that you can interpolate for
6 the outdoor temperature.

7 So, if it's a maximum, you should be
8 able to get those two points and they should be
9 able to extrapolate down to those. And the same
10 way on the outdoor low side get that.

11 But, then you have to overlay that
12 building load line. So, that's what that
13 particular load, that once you had the performance
14 map generated, what load line do you put over the
15 top so they're related?

16 But, I'd be curious to see a little more
17 of the understanding as far as why the current
18 algorithm of the similar linear between the two
19 outdoor is not quite generating the outdoor needed
20 to cover these products.

21 MR. DOPPEL: Well, when you -- You know,
22 for the homeowner, what they're concerned about is
23 not whether the, really, the HSPF is at 17 degrees,

1 because with the variable-speed system they can get
2 higher capacities than the compressor running at
3 the same speed that it's, runs at 47.

4 So, what's important to the customer is:
5 How much heat can they get at 17 degrees? And then
6 that heat has a value to them.

7 And if it -- You know, it may cost them
8 a little bit more energy, but, you know, it's
9 still, the important factor is, and, you know, in
10 some cases, like in a 12,000 system, 12,000
11 available-speed system, the rated heating capacity
12 using the current test method would be 9,000,
13 roughly.

14 So, that would be misleading to the
15 consumer when they actually could get up to maybe
16 13,000 heating capacity.

17 MR. DOUGHERTY: But, the maximum is
18 maximum. So, if you're generating your performance
19 curve at whatever the maximum compressor capacity
20 is at 1, what are saying?

21 The maximum at 1 is not the same at 47
22 that will allow top rate? Is that what you're
23 saying?

1 MR. DOPPEL: That's what I'm saying.
2 It's supposed to run at the same speed at 47 as 1.

3 MR. DOUGHERTY: Right. So, the next
4 question is: Can you go to 1 and extrapolate it?

5 Because you're trying to create a
6 bracketing of the performance, and in between there
7 you're trying to get an intermittent point that
8 will give you some idea of the nonlinearities going
9 from minimum to maximum.

10 So, as long as maximum is maximum, we're
11 okay. But, if it's not, is --

12 MR. DOPPEL: It's not. Yeah.

13 MR. BROOKMAN: Paul, it's not -- I want
14 to make sure we fully hear what you've got to say.

15 MR. DOPPEL: Okay. Well, what -- The
16 issue is that the variable-speed systems have a lot
17 greater capabilities than the current testing.

18 MR. BROOKMAN: Uh-huh.

19 MR. DOPPEL: And, and that's -- There,
20 there's a comment on that in the first few pages of
21 the NOPR, and so we, we, in the letter that we sent
22 in before, we tried to identify some of those
23 inconsistencies with the current testing procedure.

1 MR. BROOKMAN: And what about --

2 MR. DOPPEL: And this just happens to be
3 one of those, that on a heating side you can
4 generate a lot greater capacity at lower
5 temperatures because the systems are not fixed by
6 compressor speeds like standard systems where
7 you're on or off or maybe one or two stages.

8 MR. BROOKMAN: So, would you suggest
9 additions to this proposed test procedure the way
10 he's, the way Brian's described it?

11 MR. DOUGHERTY: This doesn't -- This is
12 a separate issue.

13 MR. DOPPEL: Separate issue.

14 MR. BROOKMAN: Then, Jim Crawford.

15 MR. CRAWFORD: Jim Crawford.

16 I think, if I understand correct, this
17 is an incremental version of something that
18 supposedly was resolved about 25 years ago. There
19 was a variable-speed heat pump manufactured by a
20 company in the room, not my employer, that had a, a
21 restriction of 60 Hertz for the drive of the
22 compressor at, in the cooling mode, and 90 Hertz in
23 the heating mode.

1 And I suspect that the capacity,
2 assuming the load line was defined probably at 60
3 Hertz at 47, not at 90, and the heat pump, the
4 whole premise of the heat pump was the fact that it
5 could do as, as Paul is saying, and could operate
6 at the higher speed at lower RPM.

7 And I suggest that -- Excuse me. At
8 lower temperature.

9 I suggest that we need to revisit the
10 history on that. You're familiar with the product
11 of which I speak, are you not?

12 MR. DOUGHERTY: Yes. And the current
13 test procedure covers that case.

14 You're absolutely right.

15 MR. CRAWFORD: And, you know, it ought
16 to be fairly straight-forward, forward, forward.
17 If I understood Harvey correctly, he questioned
18 whether the utilities would like or not like this
19 type of system.

20 And this type of system should defer the
21 use of strip heat, so the electric utilities, if
22 they're winter peaking, ought to really like it.

23 MR. BROOKMAN: Harvey Sachs.

1 DR. SACHS: Thanks, Jim.

2 MR. CRAWFORD: That's what I was trying
3 to imply, that the rating method that does, does
4 not easily allow a utility to give credit for the
5 low-temperature performance is probably not sound
6 public policy over the next decade.

7 I really think that I see a complex
8 thing on the overlay on our present rating method,
9 but we certainly, I don't want to obscure the
10 performance at low temperatures of advanced systems
11 of whatever type they are that you speak well.

12 In fact, in keeping the building low
13 lined in a comparative basis would help, as opposed
14 to: Did we get the higher HPF?

15 Because the load line would be typical
16 of one not having that extra rating. So, the
17 balance point would be so the A resistance heating
18 that's going to be accounted for is going to be
19 less.

20 HSPF is going to go up. So, I don't
21 know how big of an impact, but it will have a
22 positive impact, all other things being equal.

23 DR. SACHS: Yeah. Harvey Sachs.

1 And I very much appreciate that. The
2 question is that if it's giving little bit of
3 difference at the time that the utility is under
4 maximum strain, it has much less value.

5 And I'm hammering on this because I'm
6 trying to advance a slightly different agenda in
7 terms of value of performance maps, and I apologize
8 for trapping you in that slime. Thank you.

9 MR. BROOKMAN: Okay. Thank you.

10 Do you have any additional follow-on
11 questions or anything here, Brian?

12 MR. DOUGHERTY: I did not.

13 MR. BROOKMAN: Any other comments on
14 this segment?

15 (Whereupon, no response was had.)

16 MR. BROOKMAN: I think that we should
17 take a break. This is rather dense material and
18 there is more of it to go through, and so let's
19 take a 15-minute break.

20 And we're going to -- The way I
21 understand it, the Department has in mind this
22 will, this will end around about 12:30. We may go
23 a little bit longer than 12:30, so if you need to

1 have a piece of fruit or muffin or something to
2 sustain you to 1:00 or, you should do it now,
3 please.

4 Wear your badge in the building.
5 There's a coffee shop on the ground floor straight
6 on down the elevator.

7 If you're going to go out for coffee, go
8 quickly, because it takes a while to get back in.
9 We'll resume at 10:55.

10 (Whereupon, those present took a brief
11 recess and returned, after which the following
12 occurred:)

13 MR. BROOKMAN: Let's take your seats and
14 start back up. In this morning's session I was
15 getting concerned that somehow all this information
16 was not landing in a comprehensible fashion, to be
17 frank.

18 I, I, I saw a lot of kind of glazed
19 looks as I cast my eyes around the room, so I put
20 the burden on all of you. If you're confused or if
21 you want further explanations, please speak up so
22 that -- This is the purpose of this, is to educate,
23 answer questions, and also deliver feedback to the

1 Department of Energy.

2 So, please weigh in that way.

3 Jim Crawford.

4 MR. CRAWFORD: Jim Crawford, who seldom
5 admits to being confused. But, the -- I think the
6 point is that the lead time here was very, very
7 short on this meeting --

8 MR. BROOKMAN: Got yeah.

9 MR. CRAWFORD: -- and most of us have
10 some deliberation on the issues that we need to do
11 between now and the time that the final comments
12 are due. And I think that explains perhaps some of
13 the blank stares occasionally.

14 MR. BROOKMAN: That's good. That's --
15 And I appreciate that.

16 So, we could make this more tending
17 toward a workshop format, where there was the
18 exchange of information that would then benefit you
19 in making your final comments.

20 Okay. That is to say, the exchange
21 could be different, slightly different.

22 Okay. So, then let's proceed.

23 As I understand it, we are on about 35.

1 MR. DOUGHERTY: Correct.

2 Okay, I'm going to go into the weeds
3 again; try to clarify inputs that are used in this
4 demand defrost credit equation. There's a demand
5 defrost, and the identified Fdef.

6 And it's a direct multiplier with the
7 calculation of the heating seasonal performance
8 factor. And historically that value ends up being
9 some value between 1 and 1.03.

10 So, as a maximum benefit of a
11 three-percent increase, if, in fact, you offered
12 demand defrost capability on your heat pump. And
13 that's to be positively verified during the frost
14 accumulation test at 35 degrees outdoor
15 temperature.

16 In the previous Final Rule in the
17 previous rulemaking process there was comments to
18 the effect that there, that there, this particular
19 frost, the frost accumulation test could be, be
20 extended, is allowed to extend as much as twelve
21 hours.

22 And that can become excessively
23 burdensome to conduct and to maintain the test

1 conditions and the tolerances over that long a
2 (sic) interval. And so the proposal was that that
3 needs to be shortened.

4 And that, in fact, was what was enacted.
5 It was reduced as the maximum test duration from
6 twelve hours to six hours, with the understanding
7 that if most systems haven't gone through a defrost
8 by six hours, they're either not going to go into
9 defrost, or they're beyond help.

10 So, it made a lot of sense to decrease
11 that interval, because the gain in extending it
12 wasn't there. So, it -- That, that change was made
13 on the testing side.

14 Full consideration on the calculation
15 side was not given. So, we're going to now see,
16 now that that test duration was changed, should we
17 reconsider a modification to the cal-, the cal-,
18 the equation of this demand defrost credit?

19 And two possible corrective actions were
20 considered. Just to bore you with the equation,
21 that appears in the test procedure.

22 This is what they used to come up with
23 that crediting. It's, again, can be as much as

1 three percent.

2 And the two key elements here are in the
3 enumerator. In one case, the Delta Tau def is the
4 time interval between frost determinations.

5 So, -- Or, 1.5. It has to be at least
6 1.5, whichever is greater.

7 And the second one is what the
8 manufacturer has as the maximum interval that
9 they'll allow the unit to operate before they
10 invoke a defrost; so, regardless of the demand side
11 of the feature that says, "Okay, there's, there's a
12 hard number that I'm not going to let it go beyond
13 before I put it through defrost to make sure
14 everything's good to go, or 12 hours."

15 So, right now that limit on Delta T-max
16 was set on 12 hours. And so in part, it could be,
17 to a certain degree, verified, though not in the
18 laboratory, because the laboratory tests would
19 allow you to go all the way to twelve hours.

20 But, now we're allowing that to only go
21 to six hours to -- So, the question is: Should we
22 make some adjustments here to the, to the, to the
23 equation?

1 So, as far as potential corrective
2 actions, -- I'm on Slide 37. -- one would be to
3 update that equation that we were just looking at
4 and change out that twelve-hour value with a
5 six-hour value for that Delta T-max.

6 As to if the manufacturer offers a
7 system that goes beyond twelve hours, we've gone
8 six hours. No, you've got, you've got to limit to
9 six hours.

10 Or, let's keep that current equation,
11 but clarify the inputs that are used for it such
12 that people still realize that the maximum time for
13 the test is, is, in fact, six hours.

14 So, here's a graph of that, how that
15 demand defrost would, credit factor would change
16 for -- So, first let's start with what's currently
17 on the books, what was part of the rule of 2007.

18 Well, actually, let's start pre-2007,
19 where, in fact, you were allowed to go 12 hours for
20 your test. For any defrost that would occur
21 between 0 time and 90 minutes, one and a-half
22 hours, you'd get the full three-percent benefit.

23 But, as far as after that time, if you

1 defrost at 100 minutes, two hours or beyond, you'd
2 be at some value less than that. And how you would
3 scale to 0 would depend on what the, the maximum
4 value that was assigned for the manufacturer for
5 that unit.

6 So, so, to the end point on the, the,
7 the, what would intersect the X axis would be the
8 hours associated with the maximum that, that the
9 unit is allowed by the manufacturer.

10 And in -- So, in the case of the
11 manufacturer allowed it to go up to 12 hours, it
12 would be that, that blue line. And so any time
13 defrost occurred at two hours, four hours, six
14 hours, what it, it would fall on that blue line and
15 that would be given at the, the credit.

16 Now, if we change from that twelve-hour
17 being the maximum to that six hours being the
18 maximum, you end up reverting back to the curve
19 designated by the green line, the green dotted line
20 there.

21 So, that's, that's the impact of saying
22 no, because we can't truly confirm to the extent
23 that we may want. Let's say we only can prove what

1 was the limit of six hours, and that will be our
2 new line.

3 But, in that case you're going to have a
4 unit, a system that's going to change its demand
5 defrost unit because of this limit that's put on
6 the test, not fail as to how the unit performs.
7 It's actually just an artifact of changing the
8 maximum test duration.

9 It may not be representative of, of, of
10 what really happens. So, the alternative there is
11 to stay with what is currently projection of that
12 line, allowing it to be at a number beyond what is
13 currently the green dotted line, but accepting the
14 fact that because the test ends at six hours, you
15 can only go vertically from your six-hour point.

16 So, any, any curve that would come down
17 here, you'd have to take the intercept here, even
18 though the unit defrosted beyond six hours. So,
19 there would be units, although very few, that would
20 take a defrost beyond six hours.

21 Now, I'm not familiar. That's the next
22 point.

23 So, the DOE proposal is to the second

1 option, with the expectation that it's not going to
2 change your HSPF if we go with this. It wouldn't
3 change the HSPF for those units that defrost after
4 an hour and a-half.

5 So, rather than do that, let's stay with
6 our current approach, but in some way benefit units
7 that would defrost beyond six hours. And there
8 aren't many units that would defrost beyond this 54
9 dry bulb, 33 wet bulb, and not go into defrost
10 within six hours.

11 And I think the majority of the units
12 would be, "No, we'll be going through our defrost
13 much earlier than that if we have a demand
14 defrost."

15 So, the impact, you're going to affect
16 units to one degree or another because of this
17 change in the test duration. And I think the
18 impact would be much less with the proposed
19 approach as opposed to implementing that dotted
20 line that's, that was shown on the previous graph
21 to, to say, "No, we're going to limit to only what
22 it correlates during the test of the maximum time
23 of six hours."

1 Hopefully that was somewhat discernible,
2 understandable. If not, let's talk about it more.

3 But, in, as part of the public meeting
4 questions here is whether or not interested parties
5 agree with this approach, or more or less leaving
6 that characteristic line alone, but potentially
7 having a slight benefit to units that would defrost
8 beyond six hours, even though, as the context here
9 is currently done, you stop the test.

10 MR. BROOKMAN: Jim Crawford.

11 MR. CRAWFORD: Jim Crawford.

12 The, the comment that I'd like to make
13 is that it, it appears that either option is going
14 to change the HSPF of the product. And if we make
15 a test procedure change that changes ratings, that
16 raises all kinds of issues about the whole rating
17 numbers, and whether, if they go down, that's going
18 to confuse the consumer considerably that a product
19 that, that on one day is, is X, and the next day is
20 something less than X with their performance.

21 So, we've got concerns about it which we
22 will elaborate in our formal comments.

23 MR. BROOKMAN: Would you imagine it's a

1 significant change?

2 MR. CRAWFORD: Any change --

3 MR. BROOKMAN: Got ya.

4 MR. CRAWFORD: -- is significant, --

5 MR. BROOKMAN: Okay.

6 MR. CRAWFORD: -- because -- Unless you
7 want to, unless DOE wants to open up the tolerance
8 band.

9 MR. BROOKMAN: Molly?

10 MS. TROMBLEY-McCANN: Molly
11 Trombley-McCann.

12 So, I just -- I'm not entirely clear.
13 When you also clarify equation input, what are you
14 clarifying, that, that you're adding the maximum
15 and minimum values in here where it can't be
16 greater than 1.5 or less than the 12, or --?

17 MR. DOUGHERTY: Right now, just to
18 explain to the fact in that equation that appears
19 here, there were some comments that came back,
20 "Hey, there's a 12-hour now," when, in fact, we
21 reduced it to six. "Should I put six, or stay with
22 the 12?"

23 In this case, no, just stay with the 12,

1 because it's something provided by the
2 manufacturer, and during the tests you don't want
3 that to vary; that unless you have to go all the
4 way to 12 hours in the defrost, there's nothing in
5 the, just to clarify, yes, just do a -- The
6 equation shows they'll be, don't be reading into
7 this, because the test only goes six hours, and
8 that fact that 12 should be a, a six.

9 MS. TROMBLEY-McCANN: Thank you.

10 MR. DOUGHERTY: And to Jim's comment, it
11 makes a lot of sense. And we have partitioned the
12 proposed changes into sets being one near-term and
13 a second set that would be timed to coordinate with
14 the Standards compliance date; that maybe this one
15 should be pulled out, the first set, and included
16 into the second set.

17 MR. BROOKMAN: Jim Crawford.

18 MR. CRAWFORD: Jim Crawford.

19 To the, the point raised about the
20 clarification, I read that as the goal of this
21 investigation rather than the effect of that chart.

22 MR. BROOKMAN: Karim?

23 DR. AMRANE: I guess question for Brian.

1 Have you, have you assessed the change on the HSPF
2 percentage-wise?

3 MR. DOUGHERTY: Yeah. So, as a, as a
4 worse-case, so you're always going to be coming
5 vertically here.

6 As to the intersection point for any
7 units, again, for the very small population of the
8 heat pumps out there that would defrost beyond six
9 hours, in, if we would go all the way to 12 hours,
10 in this case they would get a 1.0-percent higher
11 HSPF than they would in the worse case where they
12 went to 12 hours and didn't defrost over that
13 interval.

14 That's the biggest improvement they can
15 get. Anything lower would be, would be lower than
16 that.

17 So, if they defrosted down here, they
18 would only get this incremental improvement,
19 whereas they go further down this line --

20 MR. BROOKMAN: Karim, yes?

21 DR. AMRANE: Okay.

22 MR. BROOKMAN: Molly?

23 MS. TROMBLEY-McCANN: Molly

1 Trombley-McCann.

2 So, just to clarify, no HSPF is going to
3 go down under the proposal.

4 MR. DOUGHERTY: Correct.

5 MS. TROMBLEY-McCANN: They would only go
6 up.

7 MR. DOUGHERTY: Correct.

8 MR. BROOKMAN: Harvey?

9 DR. SACHS: Harvey Sachs.

10 And on those that defrost beyond six
11 hours.

12 DR. AMRANE: Brian, this is helpful, but
13 can you walk through that diagram for something
14 that defrosts after five hours? I'm having trouble
15 with that vertical axis.

16 MR. DOUGHERTY: Sure. Okay.

17 Okay. Okay.

18 Okay, you'll be coming in here then. As
19 additional thing, as a manufacturer, you'd have to
20 tell me what is the maximum that you would
21 otherwise defrost, okay?

22 If you would otherwise defrost at six
23 hours, you'd go to that line. So, your credit

1 would be 1., 1.01.

2 You'd have one percent. But, if you
3 say, "I wait 12 hours," then you'd have a 1.22, so,
4 a 2.2-percent improvement.

5 This is -- This equation was implemented
6 in 1988 as part of the rulemaking done then, and
7 had stood over time and there was no changes made
8 to it.

9 As part of it, this last Final Rule,
10 what was changed, it was maximum test duration of
11 that laboratory test, this frost accumulation test,
12 from a maximum of 12 hours to six hours.

13 MR. BROOKMAN: Jim.

14 MR. CRAWFORD: Jim Crawford.

15 Two points. One is you mentioned that
16 you, you're not aware of many of them that defrost
17 at longer intervals than six hours.

18 I, I'd point out that there are
19 varieties of technologies of coils in the industry,
20 and their frosting properties are not all uniform.

21 The second point is that the, the
22 reading that I have received thus far is that, in
23 fact, with units with longer defrost time, this is

1 a penalty.

2 MR. DAUGHERTY: I'd like -- Good. I
3 would like to receive more understanding on that,
4 if I could, part of the comments.

5 MR. BROOKMAN: Do you -- Can you
6 elaborate on that comment, Jim?

7 MR. CRAWFORD: That will be elaborated
8 upon in our formal comments.

9 MR. BROOKMAN: Okay. Okay, thank you.

10 MR. DAUGHERTY: Okay.

11 MR. BROOKMAN: So, final comments on --
12 Yeah, go back to the -- Go forward. Uh-huh.

13 You see the Public Meeting Question
14 Number 2 does, seeks comments on the NOPR proposal
15 to leave the equation for the demand defrost credit
16 unchanged.

17 Are there additional comments on that
18 one?

19 (Whereupon, no response was had.)

20 MR. BROOKMAN: Okay.

21 MR. DOUGHERTY: Changing now to
22 miscellaneous items, the first is to explicitly add
23 a calculation for something that is well-understood

1 in the industry, and that is: How do you calculate
2 sensible heat ratio?

3 And the particular element that's added
4 is with regard to the recommendation that it be
5 calculated with the B Test, which is conducted at
6 an outdoor temperature of 82 degrees dry-bulb
7 temperature.

8 As far as this proposed addition, it
9 would not increase the test burden, as these
10 measures of the sensible versus the total are
11 already made as part of the laboratory test. DOE
12 is not considering using the sensible heat ratio as
13 part of the SEER calculation, so SEER's unaffected
14 by this proposed change.

15 When humidity control is a concern,
16 consumers and their contractors may wish to know
17 this value. So, this is just an opportunity for
18 DOE to endorse its existence by adding it to the
19 test procedure.

20 And it's something -- Where it goes from
21 here, the potential next step would be if FTC so
22 chose, they could see, have a rulemaking to see
23 whether it should be added to the Energy Guide

1 label, for example.

2 But, we thought as a first step, to
3 endorse it, especially for those folks who are
4 proponents of hot, humid climate and don't have it.
5 At least it would be a test procedure for adding
6 endorsing that.

7 MR. BROOKMAN: Harvey Sachs.

8 DR. SACHS: Harvey Sachs.

9 Southern Company is not present today,
10 but in prior workshops has been a very strong
11 advocate of having that information available,
12 although they do not offer currently any rebate
13 programs.

14 This could be a very important input to
15 incentive programs in the Southeast. We would
16 strongly endorse your proposal.

17 MR. BROOKMAN: Thank you.

18 Yes, Molly.

19 MS. TROMBLEY-McCANN: Molly
20 Trombley-McCann.

21 Just to echo what Harvey has said, as a
22 utility we would very much like to see that, see
23 that on the energy guidelines.

1 MR. BROOKMAN: Okay.

2 Jim?

3 MR. CRAWFORD: As an informational
4 point, we concur with the motivation here. The
5 information is published by at least some
6 manufacturers today.

7 The -- There is a, a measure of concern.
8 As we talk about testing in different environments,
9 we need to be careful that we define the, the
10 environment and that set of conditions under which
11 we are going to specify HSR.

12 And we are taking it that you're talking
13 about an informational point here to be published
14 in literature or web sites or whatever, as
15 contrasted to another certified rating point.

16 MR. ANDERSON: Yeah, that's fine.

17 MR. BROOKMAN: Wes, you -- For the
18 Record, Wes Anderson.

19 MR. ANDERSON: Wes Anderson on DOE.

20 That's, that's fine. Thank you. We
21 don't have any comment on that.

22 MR. BROOKMAN: Okay. Thank you.

23 Karim?

1 DR. AMRANE: Karim Amrane, AHRI.

2 I guess what's being asked here is, is
3 for manufacturers to report that information? I
4 mean, okay, today, as you said, it's part of it,
5 the test procedure.

6 So, it can be captured. So, what is,
7 what would be the requirement of the manufacturer?

8 MR. DOUGHERTY: As far as the test
9 procedure, this was just a starting point because
10 it's not explicitly given in the test procedure
11 right now. So, this was just the first attempt to
12 get the very short list.

13 I'm not sure where this goes, Karim.
14 It's something that needs to be discussed maybe at
15 the Standards rulemaking.

16 But, as far as a test procedure is
17 offered by some manufacturers, DOE felt like they
18 wanted to endorse its use, so, so, to explicitly
19 spell it out in the test procedure.

20 MR. BROOKMAN: Are there other questions
21 or comments? Okay.

22 Yes, Jim Crawford.

23 MR. CRAWFORD: I -- Unless I've

1 misunderstood, when I say we publish the
2 information today, the information is not published
3 currently for most products probably in a format
4 that the average consumer would even begin to
5 comprehend.

6 There are performance tables that are
7 published that have a variety of parameters from
8 which one can derive the sensible heat ratio, but
9 it isn't a block that says "Sensible heat ratio
10 equals X."

11 MR. BROOKMAN: Okay. Any other comments
12 on this?

13 We're going to move on.

14 MR. DOUGHERTY: Okay, the next one is
15 just to clarify that if a manufacturer would choose
16 in some cases to run optional frost accumulation
17 tests and take on the extra test burden by doing
18 so, then they would, then they would still have the
19 option of using whatever gets the better results.

20 So, it's an attempt to clarify this and
21 to encourage testing. And such a clarify-, such a
22 clear statement as to if you run the optional test
23 in the case of the cyclic degradation coefficient,

1 it says in there that if you run those tests and
2 you still find that the default is the better
3 option, which is unlikely, but if it was, you still
4 have the option of using that default.

5 You have not forfeited it by running the
6 test. So, it's the same as the frost accumulation
7 type test.

8 And as far as making that decision of
9 which one gives me the better value, because you
10 can do it for different regions, there is a
11 statement that says, "Okay, you use the one that
12 gives you the better performance with regard to
13 HSPF for Region IV."

14 And design heat, minimal heat design
15 heating is a requirement. So, that would be the
16 basis, as opposed to, "Should I use the Region V
17 number? Should I use the Region III?"

18 No, let's use the ones that are used for
19 Region IV minimal design.

20 Any question with offering this, making
21 this clarification within the test procedure?

22 MR. ANDERSON: This is Wes with DOE,
23 directed to Jim Crawford.

1 Do you -- Would this address your
2 environmental --

3 MR. CRAWFORD: I'm sorry?

4 MR. ANDERSON: You said -- Your previous
5 comment was, "I'm saying the HSPF was the
6 environment."

7 The -- I'm -- I assume the environment
8 can affect that number. Does this Region IV
9 satisfy that concern?

10 MR. BROOKMAN: You mean being specified
11 as a default?

12 MR. ANDERSON: As a default.

13 MR. BROOKMAN: Yeah.

14 MR. CRAWFORD: I, I, I can't answer that
15 question at this time, Wes.

16 MR. BROOKMAN: Okay. Well, the intent
17 is clear.

18 MR. DOUGHERTY: Yes.

19 MR. BROOKMAN: Okay. Quick comments on
20 this?

21 (Whereupon, no remarks were made.)

22 MR. BROOKMAN: Okay.

23 MR. DOUGHERTY: Okay. Finally, as far

1 as proposed miscellaneous items, one is to
2 reference within the Consensus Statement actual
3 ASHRAE 116 to have a little bit more resolution on
4 their equation steps as to when you're going
5 through the calculations for a variable-speed
6 system, how you, in fact, do those interpolations
7 for SEER.

8 So, it's proposed to reference those
9 more, more resolution equations. So, rather than
10 repeat them in the DOE document, refer to the
11 ASHRAE document.

12 And then while we have the opportunity,
13 we may have to add to these lists because there's
14 always new Standards coming out, revisions and
15 reaffirmations, to try to keep up with things. So,
16 to reference the things as far as consensus, the
17 ASHRAE and 210/240, we reference each other.

18 So, we're always catching up, and
19 probably need to figure out a way to both be
20 referencing our most current document also.

21 But, we'll reference the 2008, and then
22 you'll revise yours and we'll be trying to
23 reference it. So, this, this is kind of norming,

1 kind of trying to keep up with the Standards that
2 are available.

3 MR. BROOKMAN: Paul first.

4 MR. DOPPEL: Please add HRI Standard
5 1230.

6 MR. DOUGHERTY: Right.

7 MR. BROOKMAN: Jim.

8 MR. CRAWFORD: I'm going to step back
9 to, to Wes Anderson's question. I can't answer it
10 now.

11 MR. ANDERSON: What was my question,
12 again?

13 MR. CRAWFORD: The question dealt -- The
14 question dealt with whether or not the choice
15 between default or testing on CD would resolve the
16 issue I raised earlier.

17 And the answer is, no, because the, I
18 believe that, that the situation we were discussing
19 earlier relates to tested, testing of, of cycling,
20 and so the use of the default would not resolve
21 that.

22 The whole purpose of testing is to
23 hopefully demonstrate that your product delivers a

1 CD less than the default, a more favorable CD. And
2 so anything that would adversely affect that is
3 adversely affecting the, the rating of the product.

4 MR. BROOKMAN: Okay. I think we're
5 about to move on to another section, --

6 MR. DOUGHERTY: Yes.

7 MR. BROOKMAN: -- which would be the
8 Proposed Revision Set 2.

9 Before we leave Set 1, effective with
10 the test procedure rule, that's, that's the
11 differentiation point that the Department's making
12 here. There -- Before we move on, any final
13 comments on this entire section?

14 (Whereupon, no response was had.)

15 MR. BROOKMAN: There was a lot of
16 content here. Okay.

17 So, -- And if anything additional
18 occurs, we can back up --

19 MR. DOUGHERTY: Absolutely.

20 MR. BROOKMAN: -- to accommodate.

21 So, it -- Now we're going to proceed
22 with Brian.

23 PROPOSED REVISIONS SET Nbr. 2:

1 MR. DOUGHERTY: So, the second set, as
2 we discussed earlier, is dominated primarily to the
3 EISA that came into play in December, 2007, and
4 with regard to the demand defrost credit would be
5 timed to occur at the same time as the compliance
6 date for the Standards.

7 So, projected, maybe 2016. Okay.

8 One of the two things that were in, was
9 in the EISA legislation had to do with --

10 DR. SACHS: I have a question.

11 MR. BROOKMAN: Yeah, sure.

12 DR. SACHS: Can we go back to the, the
13 chart with the ASHRAE Standards?

14 MR. DOUGHERTY: Yes.

15 DR. SACHS: I'm going to ask a really
16 stupid question, and I had to check with that. I
17 -- It really is stupid.

18 MR. BROOKMAN: No, we have no stupid
19 questions here. Really.

20 And I do my best to set a low bar.

21 DR. SACHS: What does "RA" stand for?

22 MR. DOUGHERTY: "Reaffirmed" in that
23 year, 2009. Two-thousand-nine.

1 So, it's the '06 version.

2 MR. BROOKMAN: Okay. So, we'll proceed.

3 MR. DOUGHERTY: Okay. So, within EISA
4 there was a requirement that products have to
5 account for all modes of energy consumption.

6 They termed it "standby." And then
7 there was "everything other."

8 And so its all-inclusive. And so the
9 question is: Well, is standby accounted for in --
10 And, yes, SEER accounts for all modes of energy
11 consumption that occur during the cooling season,
12 including times when the air conditioner or heat
13 pump is cycled off.

14 And same for HS-, HSPF. It does, also.

15 So, we're good in there as far as the
16 heating and cooling season, but then why did, do I
17 have another slide?

18 Well, it's because the cooling seasons
19 and heating seasons in all cases, well, in all
20 cases don't account for an annual basis. So, some
21 energy consumption is being missed.

22 And in this case in particular, the main
23 culprit is air conditioner, the air conditioner

1 sitting there idling. It uses some minimal amount
2 of parasitic power, and that's not accounted for
3 currently within the existing metric of SEER.

4 And, also, energy consumed by an air
5 conditioner or a heat pump during the shoulder
6 season. And where does that shoulder season come
7 from?

8 If you take the current basis that is
9 used for coming up with the energy consumption
10 which converts to operations costs to cooling
11 seasons and heating seasons, it used these maps
12 that are called cooling load and heating load maps.

13 And if you look at any particular
14 combination of any generalized region or particular
15 location, those two can be converted to individual
16 numbers of hours associated.

17 And if you sum those two, they were less
18 than 8,760, which would constitute a full year.
19 So, this is something that was, needed an ASHRAE
20 Standard for compliance as ASHRAE 137.

21 And so it's a Standard here for moving
22 forward with a standby/off-mode element for air
23 conditions and heat pumps. So, DOE proposes to

1 account for this out-of-seasons energy consumption.

2 And as part of that proposal, they, they
3 propose to define off-mode to, to define the
4 seasons in terms of mode, and that was off-mode.

5 And so they were redefining a generic
6 definition that applied to all products, to a
7 definition that is specific to products covered by
8 this test procedure of air conditioners and heat
9 pumps.

10 So, for air conditioners, the off-mode
11 is defined as when the units are off but powered
12 during the heating season. And the shoulder off
13 mode for heat pumps, that would be the same as air
14 conditioners, except only apply to the shoulder
15 seasons because it's actively performing a function
16 during the heating season.

17 In addition to adding the, the
18 definitions, to also look at adding additional
19 laboratory testing to help quantify this parasitic
20 power use, and then taking that laboratory data and
21 adding calculations that could be used for
22 representing the, the performance.

23 And so there's a proposal in there to

1 add two new parameters generically designated as P1
2 and P2.

3 P1 would be representative of the
4 off-mode power consumption for shoulder seasons.
5 So, that would be applicable to both an air
6 conditioner and a heat pump.

7 So, whether or not it's 12 watts, 20
8 watts, whatever that representative value would be
9 during a period, that would be representative of
10 the outdoor temperature during a shoulder season
11 period to so quantify that.

12 P2 applies to air conditioners only, and
13 it assumes the same type identifier, a
14 representative power consumption or rate quantity
15 associated with the air conditioner sitting there
16 during a, a, a representative heating season.

17 So, in this case we're doing away with
18 the, with reference to "standby," because we've
19 defined "off-mode" as such as covering this
20 out-of-season period. We'll just stick to that
21 terminology here for --.

22 Okay. With regard to the laboratory
23 testing that's proposed for the off-mode

1 characterization, the testing -- I'm sorry.

2 MR. BROOKMAN: Harvey Sachs.

3 DR. SACHS: Harvey Sachs.

4 MR. BROOKMAN: You're not on, Harvey.

5 DR. SACHS: I'm definitely not on.

6 MR. BROOKMAN: That was the microphone I
7 was referring to.

8 DR. SACHS: You have defined P1 and P2
9 in terms of power consumption.

10 MR. DOUGHERTY: Yes, sir.

11 DR. SACHS: Am I to infer that the units
12 are watts?

13 MR. DOUGHERTY: Yes, sir.

14 DR. SACHS: Okay. The legislation
15 speaks of "energy consumption," so this will be fed
16 in --

17 MR. DOUGHERTY: To an hourly value to
18 get watt hours; yes, sir.

19 DR. SACHS: Okay. So, I still have the
20 opportunity to get confused.

21 Okay, thanks.

22 MR. DOUGHERTY: Okay. Yes, Harvey.

23 DR. SACHS: This is a rate quantity,

1 power quantity. The legislation talks in terms of
2 energy.

3 So, we'll have to multiply the hours
4 associated by these particular, which will depend
5 on the region. Maybe I'm jumping ahead of myself,
6 but the DOE divides the country up into six
7 climatic regions.

8 So, they'll be multiplied by these rate
9 quantities to give up watt hours.

10 MR. BROOKMAN: Paul.

11 DR. SACHS: Brian?

12 MR. DOUGHERTY: Yes, sir. It --

13 DR. SACHS: Harvey Sachs.

14 A generic question that maybe shouldn't
15 be addressed to you, but to industry. How
16 prevalent are crankcase heaters in today's market?

17 MR. BROOKMAN: You said crankcase
18 heaters?

19 DR. SACHS: Right.

20 MR. BROOKMAN: Do any of you wish to
21 address that?

22 DR. SACHS: Are there any crankcases,
23 crankcase heaters around?

1 MR. BROOKMAN: Jim Crawford wants to
2 respond.

3 MR. CRAWFORD: The answer to the last
4 question is yes, there are crankcase heaters
5 around.

6 MR. BROOKMAN: You made it easy for him
7 after I -- The earlier question was more
8 open-ended, but do you want to respond to this one,
9 Paul?

10 MR. DOPPEL: Not on crankcase heaters.

11 MR. BROOKMAN: No on crankcase.

12 MR. NICHOLS: I just affirm Jim's
13 comment.

14 MR. BROOKMAN: Okay. We want -- I
15 don't, I don't know where we go with that.

16 Do you want to follow on with that,
17 Harvey?

18 DR. SACHS: No.

19 MR. BROOKMAN: Okay. Okay, so then
20 we're going to take it back then.

21 You had another comment, Paul, yes?

22 MR. DOPPEL: Right. For the off-mode
23 consideration, did you look at the various types of

1 single-speed, two-speed, variable-speed in
2 determining this impact on this?

3 MR. DOUGHERTY: Take me a little
4 further. As far as -- ?

5 MR. DOPPEL: Well, variable-speed
6 systems would operate more, at more these times and
7 not be in an off mode, as opposed to single-speed.

8 MR. DOUGHERTY: So, they should be
9 covered under the calculation of seasons
10 calculations. So, this is outside of what's
11 covered by those seasons.

12 MR. BROOKMAN: Yeah, Jeff.

13 MR. NICHOLS: I think Paul's question
14 is, you're saying variable speed's more likely to
15 run during the shoulder seasons because it's
16 providing some small measure of, of comfort
17 different than what a single-stage is.

18 Is that -- That's the point you were
19 trying to make?

20 MR. DOPPEL: Correct.

21 MR. BROOKMAN: Molly?

22 MS. TROMBLEY-McCANN: Molly
23 Trombley-McCann.

1 So, the shoulder season hours are
2 different for a single-speed as opposed to a
3 variable-speed; is that what you were saying?

4 MR. DOUGHERTY: Actually, as calculated,
5 they are not, because in coming up with the, the,
6 the, the annual operating, the, the, the operating
7 costs for the cooling season, you get that by
8 defining a, a load.

9 And you define that load in part by, by,
10 by designating the number of cooling load hours.
11 And that is -- Cooling load hours can be converted
12 into actual hours, which, if you would plug those
13 into the original -- I'm getting too much of the
14 bin calculations. -- you'd come up with the
15 original energy.

16 So, you get the credit during the C and
17 HF gift numbers. But, this is outside.

18 Everybody would be sitting there idle
19 during this peak period. So, whether that should
20 be reevaluated, we would have to go back and try to
21 make things consistent then in this calculation.

22 So, that's a little more tricky. But,
23 we could.

1 Right now the credit would occur with
2 CHSWF.

3 MR. ANDERSON: Could I --

4 MR. BROOKMAN: Yes, Wes.

5 MR. ANDERSON: This is Wes at DOE. This
6 also was addressed at the preannounced, this
7 meeting.

8 DOE is also seeking comment, seeking
9 data on the shoulder and off-season energy usage.
10 So, if you could provide that information, that
11 would be helpful in this analysis so we can get a
12 more accurate reading, understanding of the, the
13 hours that the sump, pump heater's being, that's on
14 during that, during the year.

15 MR. BROOKMAN: Okay.

16 Karim?

17 DR. AMRANE: Well, a following question
18 on Wes. Karim Amrane, AHRI.

19 How -- Did you cut labels out of 137?

20 MR. DOUGHERTY: Correct. Correct.

21 MR. BROOKMAN: Okay, Jim Crawford.

22 MR. CRAWFORD: Jim Crawford. I think
23 perhaps we need to clarify a point here about

1 variable-speed versus single-speed systems.

2 During the cooling season,
3 variable-speed should be expected to run more
4 hours. During the shoulder season, when there's
5 not a demand for cooling, responsible management at
6 variable speeds says it's not running, and
7 therefore there should be no difference in the
8 shoulder season hours between variable-speed and
9 single-speed, given that the shoulder-season hours
10 are properly determined.

11 MR. BROOKMAN: Molly?

12 MS. TROMBLEY-McCANN: Molly
13 Trombley-McCann.

14 So, this is a divergent question on the
15 same topic.

16 MR. BROOKMAN: Please.

17 MS. TROMBLEY-McCANN: So, there are six
18 regions that DOE defined. So, that's -- I'm
19 interpreting that there will be six different
20 off-season energy consumption values for each
21 model.

22 MR. DOUGHERTY: You could go to that
23 level, level of rigor, but the idea was to try to

1 get a representative value, because the likelihood
2 is that, you know, the, the, depending upon heating
3 season, it's not going to be that big of a
4 difference as far as the power planning.

5 What's going to be the big effect is the
6 hourly quantity because they differ so much from
7 the southern to the northern climates. So, you're
8 going to have much more.

9 If you had a heat pump, excuse me, an
10 air conditioner in a northern climate, there's
11 going to be a lot of off-load energy consumption,
12 whereas if that same air conditioner was in the
13 South, it would have a longer cooling season.

14 MS. TROMBLEY-McCANN: I thought that's
15 what I was saying, not the hours, because you had
16 the overall energy consumption.

17 MR. DOUGHERTY: Correct.

18 MS. TROMBLEY-McCANN: So, there are
19 going to be six off-mode energy consumption values
20 for each model.

21 MR. DOUGHERTY: There could be as many
22 as up to multiple. But, once you have them, you
23 can apply them to different application cases.

1 So, I look at it as more of an
2 application issue as opposed to a rating issue. We
3 have to pick one, one, one condition to rate them
4 by, and I would assume it's probably going to be
5 Region IV.

6 MS. TROMBLEY-McCANN: That was my
7 question.

8 MR. DOUGHERTY: Yes.

9 MR. BROOKMAN: Okay. Other --

10 Jim Crawford.

11 MR. CRAWFORD: Jim Crawford.

12 Brian just used the word "rating." I'm
13 assuming that it is not the intent that there, that
14 there will be a standard minimum, a maximum
15 standard set for P1 and P2 to which a given product
16 will be held; that it's, it's a matter of the data
17 to be provided for the information of the, the
18 consumer and other parties, but it is not a rating
19 in the usual sense.

20 MR. ANDERSON: This is Wes of DOE. We
21 would probably defer that conversation for the
22 Standards meeting, not the test procedure.

23 MR. BROOKMAN: Thank you. Okay.

1 So, Brian.

2 MR. DOUGHERTY: Yes.

3 MR. BROOKMAN: Yes.

4 MR. DOUGHERTY: As far as the test
5 burden added because of the proposed testing,
6 trying to keep it as short as possible, and it
7 would be of a shorter duration.

8 In the case of an air conditioner, the
9 testing is proposed to occur after you've finished
10 all your cooling mode tests; in the case of the
11 heat pump, to do it between the heating and cooling
12 tests if, if we didn't sort of characterize
13 crankcase heater.

14 So, if it didn't have a crankcase
15 heater, it should be relatively simple to let it
16 sit there and know that you have confidence in the
17 average value that's generated. It can be
18 relatively short duration for a crankcase heater
19 that's on continuously, because, again, you'd need
20 to characterize its function as amps.

21 The duration of the testing becomes a
22 little more if, in fact, you have a crankcase
23 heater that's thermostatically controlled, which

1 would be often the case here, though.

2 Because a heat pump is only being
3 evaluated for its shoulder seasons, we were going
4 to limit the, the temperature range that we're
5 going to consider. And, in fact, the proposal is
6 just look at, try to keep the dry-bulb temperature
7 or pressure, and see whether or not, before 64 and
8 66, and see whether or not it cycles on and off,
9 and do it for an interval to see, and make that the
10 basis for the P1 value.

11 Now, for air conditioners, because we're
12 looking at the heating season, heating season side
13 of things, if it has a thermostatically controlled
14 crankcase heater we have to look at other
15 temperatures other than this nominal 65.

16 We may have to have it in a test room
17 where we absolutely regulate the room temperature
18 and see how that crankcase heater responds based on
19 the fact of having to dissipate the heat in a
20 colder environment.

21 And here it talks about once you'd have
22 that laboratory value, what would be the
23 calculation step? On Slide 47, to convert these

1 power values, you'd be multiplying them by, in the
2 case of the P1, by the shoulder season hours.

3 So, if we just start at the columns to
4 the left of the vertical green break, currently in
5 the DOE test procedure it recognizes six
6 generalized climatic temperature regions. In
7 addition, it has rating values that are typically
8 associated with HSPS that come out of the Region
9 IV.

10 So, you can see how they varied, Region
11 V being southern; Region V being a northern
12 climate; Region VI being a Pacific Coast. And you
13 can see how the heating hours and cooling load
14 hours varied based on the location in the country.

15 And, if you want to see a map, I have a
16 map I can probably bring forward later to show you
17 how the country is partitioned. And so then
18 looking at the right-hand side, using a logarithm,
19 you can convert load hours into actual hours.

20 And that's done here to show what the
21 corresponding actual hours are for these different,
22 could be these different cases. And so if you look
23 at the cooling season hours and heating season

1 hours, and the sum of those two, and they are less
2 than 8,760, and the difference is what appears in
3 the far right column of shoulder season hours.

4 So, the P1 value would be, would be
5 calculated by quantity in the far right column to
6 get the number associated with off-mode during the
7 shoulder seasons.

8 And so for purposes of a value to, a
9 single value to report that people could use for
10 comparison basis, the idea would be -- Well, let's
11 just use the same approach that's used now, and
12 base it on the Region IV, but tie it to these
13 ratings values of 1,000 and 2080 load hours.

14 And so the number would be 739 in this
15 case. And then for air conditioners, that P2 value
16 would be multiplied by the column that's two in
17 from the right, the season, Heating Season's Hours,
18 to come up with the energy that's representative of
19 the system when it's sitting there idle during the
20 heating season.

21 Is there interest to discuss any table
22 and this proposed algorithm of going from power to
23 energy quantities?

1 MR. DOPPEL: Can you go over the math on
2 that one more time? Because it's --

3 MR. DOUGHERTY: Oh, you're funny. The,
4 the watt values, and then you add them to times to
5 get the watt hours.

6 MR. BROOKMAN: Go to the screen and walk
7 them through it one more time.

8 MR. DOUGHERTY: Okay. I'm sorry.

9 So, so, P1 and P2 are, are watt
10 quantities. They're watts.

11 So, to get watt hours, you have to
12 multiply it by the hours that it's sitting there
13 generating that, consuming that, that, that rate of
14 energy. So, it's just watts times hours to give
15 you watt hours.

16 So, P1, watts, shoulder season hours,
17 watt hours. Same with P2 is a watt quantity, and
18 so times here is a -- So, watt hours.

19 So, so -- And, and energy is -- Watt
20 hours is a, is a, is a unit of energy.

21 MR. DOPPEL: I was looking at, more at
22 how you came up with shoulder season hours.

23 MR. DOUGHERTY: Okay. As far as that is

1 concerned, you can take these combinations of
2 cooling load hours and heating load hours and
3 convert them to hours associated with actual watt
4 hours of heating season and cooling season to
5 where, for example, if you were doing your bin
6 calculations, and rather than use those fractional
7 bin hours that summed to one, if you actually used
8 these numbers, you'd get the same using the
9 fractional.

10 And you would get, you'd get the same
11 HSPF of Region IV. So, finally, if you add these
12 together, they end up being less than 7,606 of
13 9,760, and that is the difference between 8,760 and
14 the sum of these two.

15 MR. BROOKMAN: Jim.

16 That was good.

17 Jim.

18 MR. CRAWFORD: Yeah, Brian. Jim
19 Crawford.

20 What is the relationship between the two
21 columns, "Cooling Load Hours" and "Cooling Season
22 Hours"? And I'll have a follow-up.

23 MR. DOUGHERTY: Okay. So, the cooling

1 load hours are full load hours that the compressor
2 would run during that season.

3 And it was developed when the, the test
4 was originally in place. And that number is used
5 to multiply by the capacity of the unit at its full
6 load condition.

7 So, if you take this number and multiply
8 it by the capacity of 95 from the A Test, that
9 gives you your building load. And you divide that
10 building load by your SEER value to come up with
11 the watt hours that you consume.

12 So, these were used as part of the
13 calculation algorithm to come up with energy
14 consumed, and then ultimately the operating costs
15 during the cooling seasons, and to operate the air
16 conditioner or the heat pump during the cooling
17 season.

18 So, these are full-load compressor
19 numbers that were generated and, again, multiplied
20 by 95 to come up with your season load. And divide
21 that by efficiency SEER to come up with your energy
22 consumption.

23 MR. BROOKMAN: Jim.

1 MR. CRAWFORD: Okay, thank you. I'm
2 sorry.

3 So, if you would go -- If you would plug
4 and use this to define the load, -- And in the
5 calculation of SEER they use fractional bin hours
6 for each bin. So, there's a percentage of time
7 that you're operating between 65 and 70; a
8 percentage of time that you're operating between 70
9 and 75, all the way up to between 100 and 105.

10 If you would change out those fractional
11 bin hours and multiply them by the total numbers,
12 -- Well, lets go to Region IV. -- by this number,
13 you'd end up with the number of hours in each of
14 those bins that, once you did the calculations,
15 you'd come up with the same SEER value that you got
16 using fractional bin hours.

17 MR. BROOKMAN: Jim.

18 MR. CRAWFORD: All right. The, the
19 reason I asked the question is that cooling load
20 hours don't correlate real well with compressor
21 running hours, and compressor running hours is, you
22 shouldn't be counting the time when the compressor
23 is, is running as off-time.

1 So, you're, you're in danger of doing
2 that. I, I think is that, that -- I'll stop there.

3 MR. BROOKMAN: Well, what would you
4 suggest the Department do to remedy that?

5 MR. CRAWFORD: Well, I, I think that,
6 that I, I'm not going to try to solve that, that
7 problem extemporaneously.

8 MR. BROOKMAN: Could be --

9 MR. CRAWFORD: It's a nontrivial issue
10 that I've raised.

11 MR. DOUGHERTY: Yeah. I'm starting --
12 That exists now, and so if I'm starting with
13 something now not quite right, I'm making it worse.

14 I should go back one more step, because
15 currently the test procedure that has those numbers
16 in it for use in coming up with operating costs --
17 So, if, if they're wrong here, they're also wrong
18 as applied.

19 MR. BROOKMAN: I'm wondering, Karim, for
20 example, do they -- Are the manufacturers, are they
21 able to say, to, to, to, to document the kind of
22 the difference that Harvey's, pardon me, that Jim
23 is describing there?

1 DR. AMRANE: Again, we've been -- I
2 mean, this, those hours have been used, like
3 Brian's saying, from, since the beginning. So,
4 again, I mean, we haven't looked at that.

5 Maybe it's time to go back and look at
6 it. I don't know.

7 I mean, it's something that, you know,
8 if Jim has some concerns about it, we need probably
9 to dig into it a little more, I feel.

10 MR. CRAWFORD: If you listened carefully
11 to what Brian said, those are the hours equivalent
12 to running at the rated performance of the unit.

13 MR. DOUGHERTY: That's right.

14 MR. CRAWFORD: Load at the rated
15 conditions is much higher than the, than the load
16 during most of the system. They do not represent
17 the running hours, the compressor running hours.

18 And, you know, industry is in no better
19 position to address that question than is NIST.
20 And as long as the chart's up there and I've got
21 the microphone, if I am not mistaken, Region I is
22 kind of like Key West, and not much, not much more
23 than that.

1 MR. DOUGHERTY: Yes.

2 MR. CRAWFORD: The tiny tip of southern
3 Florida.

4 DR. AMRANE: It, it doesn't come up to
5 Tyler.

6 MR. CRAWFORD: And Region VI is what? I
7 believe Alaska.

8 MR. DOUGHERTY: Region VI is in
9 California. But, yeah, Canada often uses VI.

10 MR. CRAWFORD: Point being that of those
11 having heating and cooling ranges is somewhere
12 between -- It's not a huge spread.

13 And speaking of huge spreads, I would
14 speak to the test conditions under which you
15 suggested one might test the thermostat for pump
16 heater control.

17 MR. DOUGHERTY: Okay.

18 MR. CRAWFORD: I think you said 65 plus
19 or minus two degrees.

20 MR. DOUGHERTY: I did.

21 MR. CRAWFORD: I think it, it's probably
22 unrealistic to anticipate that the thermostat used
23 for that function would be accurate to that kind of

1 precision.

2 MR. DOUGHERTY: And there's an effort in
3 the test procedure to actually ask the manufacturer
4 first what the values would be, and to agree if, to
5 verify those. If they're in the bracket, use what
6 was given to you and say, "Okay, that's what," so
7 we have repeatable numbers.

8 MR. BROOKMAN: Paul, you want to comment
9 here?

10 MR. DOPPEL: Yeah. Paul Doppel.
11 Just another point that variable-speed
12 systems, again, would be operating, unlike
13 single-speed, which would be operating on and off
14 in the cooling seasons, and variable-speed
15 operating systems would be operating probably more
16 at the time, but at a probably much reduced energy
17 consumption. So, --

18 MR. DOUGHERTY: Right. And I think the
19 test was to confirm that, so I think in some
20 degrees, hopefully would capture that.

21 MR. BROOKMAN: Karim?

22 DR. AMRANE: I guess I have another
23 question for Brian. Have you done some tests?

1 Have you measured that, that off-mode
2 energy consumption? No.

3 MR. DOUGHERTY: No, I have not. There's
4 a Petition to try to get some testing done.

5 In fact, we met this week with our
6 counterparts here to, to discuss having that
7 opportunity before the Final Rule is, is issued.

8 MR. BROOKMAN: Are we ready to move on
9 now? I think so. Okay.

10 Oh, Harvey, go ahead.

11 DR. SACHS: Harvey Sachs. Brian, this
12 may be an area you're going to get to, but it keeps
13 coming back and haunting me, that the objective I
14 believe from EISA was to bring off-mode power out
15 of the shadows.

16 And it's very important to set up a
17 rating or reporting method that will encourage
18 methods, technologies that minimize that. A, a
19 thermostatically controlled heater that kicks in at
20 40 degrees instead of 65 would be an example.

21 I hope that you all are paying attention
22 to that as you're developing a rating method.

23 MR. DOUGHERTY: The test procedure seeks

1 to, to generate a representative value for the
2 power consumption value of the unit during the
3 shoulder seasons and during the heater seasons.
4 How it's used thereafter, I defer. So, --

5 MR. CRAWFORD: What would Justice
6 Roberts say?

7 MR. BROOKMAN: Karim?

8 DR. AMRANE: Yes. Karim Amrane from
9 AHRI.

10 For example, you're proposing some
11 additional tests.

12 MR. DOUGHERTY: Yes.

13 DR. AMRANE: But, you haven't done any
14 tests so far?

15 MR. DOUGHERTY: I've had limited
16 communications with folks, so we will be better
17 informed about this. Go ahead, please.

18 DR. AMRANE: So, you're expecting
19 industries to try what you're proposing here to see
20 if it works in a lab? Or, how -- I mean, are
21 you -- I mean, because these are -- I mean, again,
22 before going forward with this we should learn, as
23 an industry, that this is going to work.

1 And I'm not sure finalizing -- When are
2 you expecting to have a Final Rule on this?

3 MR. BROOKMAN: Graham, can you comment
4 on that?

5 Graham Parker.

6 MR. PARKER: Graham Parker, Pacific
7 Northwest National Lab.

8 That's a good question. And we do have
9 a slide on that.

10 I believe the slide says 2011.

11 DR. AMRANE: That doesn't give us a lot
12 of time here to, to test, make sure that, that we
13 can get to billable numbers and things like that.

14 MR. BROOKMAN: Okay, thanks for raising
15 it.

16 Jeff?

17 MR. NICHOLS: Could we go back to the
18 testing requirements and walk through that, I mean,
19 a little bit in more, more depth?

20 MR. DOUGHERTY: Sure. Unfortunately, I
21 don't have a slide prepared, but, but, yes.

22 So, the idea would be, is to have this
23 test occur after the cooling tests are conducted,

1 whether it be heat pump or air conditioners.

2 In terms of heat pumps, you do it before
3 you start your heating tests. So, it would be in
4 that transition period from your outdoor chamber,
5 from cooling to heating outdoor conditions.

6 So, so, that's the -- If your, if your
7 system that has either, does not have a crankcase
8 heater or has a crankcase heater that's on all the
9 time, you would operate for at least -- I can't
10 remember if it's 20 minutes, but will collect data
11 over a five-minute period where you would integrate
12 the power.

13 And that would be used at your average
14 value for your off-load energy consumption in all
15 cases. That would be your P1.

16 And P2, because you do not have a
17 crankcase, or it's on all times, it's not affected
18 by outdoor temperature.

19 MR. NICHOLS: And that was within a
20 range?

21 MR. DOUGHERTY: I'm trying to keep these
22 in a range, and maybe these bracketings, but trying
23 to stay close to your dry bulb. But, now I think

1 we're allowing, as you work towards that 70 degrees
2 on the indoor, allowing that to occur so you're not
3 holding up the testing.

4 So, there's a bracket on the indoor
5 saved to where it would naturally go in extended
6 idle condition. And then, so, yes.

7 So, then 656 is, is the target value for
8 -- Excuse me. Sixty-five is only the target value
9 if it's a thermostatically controlled unit.

10 If it's not thermostatically controlled,
11 it should not be affected by outdoor temperature,
12 so you should be able to make that while it's
13 sitting idle. Nothing's working long.

14 Now, it will get where you can get
15 representative energy, where you can get an average
16 value. So, that's the first, where it doesn't have
17 a crankcase heater; where that's well-understood.

18 I'll -- It's on all the time. The next
19 time would be if you have a thermostatically
20 controlled crankcase heater and where it's allied
21 on a heat pump.

22 And in that case, where it's only, it's,
23 the purpose is to test at an outdoor temperature of

1 65 and see what the parasitic power is in that
2 condition. Now, if that crankcase heater is on,
3 it's going to be reflected as being on all the
4 time.

5 If that heater takes off, we're going to
6 say it's off the time, not wanting to add too much
7 test burden. So, that's the next.

8 The final case is if it's, is actually
9 to start at a temperature in this outdoor to start
10 before it's cycling. All these are off, and we're
11 asking the manufacturer to tell us:

12 What is the temperature, outdoor
13 temperature is going to be representative of coming
14 on, and what's the representative temperature where
15 it could stay on continuously, and then do a linear
16 interpolation of those numbers based on that amount
17 of time associated with operating at the different
18 outdoor temperatures that are used as part of the
19 HSPF calculation.

20 But, as far as the tests, it's to start
21 with your chambers at a warm enough outdoor
22 condition where your crankcase is not operating,
23 and then decrease that temperature to where it does

1 start to cycle on.

2 At that point, see if that's within two
3 and a-half degrees of what the manufacturer said.
4 If it is, use the manufacturer's numbers as to that
5 for your calculations.

6 Then you're supposed to decrease the
7 outdoor temperature between ten and 15 degrees
8 further on the outdoor side, and then monitor again
9 how much, for an interval, how much is that cycling
10 on, and versus off.

11 So, you get a two point on your linear
12 point as far as percentage time on. And then you
13 can extrapolate that to see if that correlates with
14 what the manufacturer says, whether to be a hundred
15 percent on time --

16 Sorry. We're in the weeds here.

17 -- to see if that's a good number.

18 If it is, you use the manufacturer's
19 numbers to say, "Okay, 65 is first time it's going
20 to cycle on, and going to off-cycle once it gets to
21 ten degrees outdoor."

22 And so you would adjust linearly refer
23 to periods of specific operation. I'm not sure if

1 that quite made sense, but at, it's a long type of
2 a process.

3 But, that's, that's the idea behind it,
4 is trying to some degree ask the manufacturer what
5 would be the characteristic response of this
6 crankcase heater, and to the degree possible,
7 verify those numbers before using them in a
8 calculation.

9 MR. BROOKMAN: Jim, go ahead.

10 MR. CRAWFORD: Jim Crawford.

11 I would urge that NIST communicate with
12 AHRI Small Unit Engineering Committee on this and
13 come up with something that represents both the
14 rigor sought by NIST, as well as the feasibility
15 sought by the manufacturers of the equipment.

16 I suspect that there's more variability
17 than you may have, --

18 MR. DOUGHERTY: Okay.

19 MR. CRAWFORD: -- than you may be taking
20 into account.

21 MR. BROOKMAN: Okay.

22 Harvey.

23 DR. SACHS: Harvey Sachs.

1 Brian, this seems to be a very hard
2 problem, and I don't know much about thermostatic
3 controllers, but, one, I know of two end members.

4 One would be -- One is that you will
5 attach sitting somewhere in the sheet metal. The
6 other extreme, some premium manufacturer of
7 compressors says, "I'm going to put that inside the
8 can."

9 MR. DOUGHERTY: Right.

10 DR. SACHS: "I'm going to put that
11 inside the, inside the compressor can."

12 And at that point the time constant for
13 changing the temperature of the test chamber
14 becomes a very different animal in terms of
15 response to that system.

16 MR. DOUGHERTY: Well, it would have an
17 affect as far as: How long do you think you should
18 sit and wait until it's gone?

19 But, because we're going to maintain
20 fixed temperatures during these times, even though
21 we're going to two different values. So, it's not
22 as though the thermostatic is going to respond
23 differently in, based on the rate of change in the

1 outdoor temperature.

2 DR. SACHS: Sure, if, if I'm dropping
3 that rate quickly. But, will I have a low response
4 time because it's mounted well inside the can?

5 Then I might well have gotten down to an
6 outside temperature of 35 before the inside of the
7 can has gotten to 65.

8 MR. DOUGHERTY: Yeah. Okay.

9 So, if it's going to be, the outdoor
10 condition's going to be steady-state for these
11 tests.

12 DR. SACHS: I understand. But,
13 depending with what I'm suggesting, --

14 MR. DOUGHERTY: How long we wait before
15 we'll start seeing --

16 DR. SACHS: Is that -- If you're trying
17 to get hours out of this, you have to control for
18 the rate at which you're changing the chamber, I
19 think.

20 MR. DOUGHERTY: Well, I think once you
21 got to the steady-state conditions in the chamber,
22 the question is: How long do you have to wait
23 until you can get repeatable responses from your

1 system?

2 DR. SACHS: Right. Right. Right.

3 Thank you.

4 MR. BROOKMAN: Jeff.

5 MR. NICHOLS: Harvey's got a very good
6 point, because you have, as you require, you soak
7 the system. And if someone gets innovative and
8 puts something inside the compressor, that soak
9 time is substantially higher than a thermostat out
10 in the air.

11 I mean, you're talking in terms of
12 several hours for soaking.

13 MR. DOUGHERTY: Okay.

14 MR. NICHOLS: In my opinion it's a very
15 burdensome test for the minuscule value that is
16 being received. It's not worth the pay.

17 The payback's not there for that, that
18 burden.

19 DR. SACHS: But, the, the flip side of
20 that, --

21 Harvey Sachs again. Yes.

22 -- is the -- I'm trying to think in
23 terms of strapping that, minimize the use of this

1 off-cycle power, and something which has a longer
2 integration constant. Something which does require
3 the heater to come up during the shoulder seasons
4 which has a high dial usually actually has an
5 advantage in terms of energy use.

6 So, I'm just asking you that you set up
7 your writing nod in the way that, urging managers
8 to design in ways that reduce this off-load power.
9 Thank you.

10 MR. BROOKMAN: Okay.

11 Other comments on, on this?

12 (Whereupon, no response was had.)

13 MR. BROOKMAN: Let's move on.

14 MR. DOUGHERTY: Before I leave this, a
15 couple of key points here is that the off-mode
16 internal consumption will not be used to adjust the
17 existing metrics of CNF. Doing so would have the
18 following impacts:

19 You'd change the cooling season
20 descriptor of SEER to an annual descriptor in the
21 case of air conditioners, and into a part-year
22 descriptor in the case of heat pumps.

23 And, you would change SEER from being a

1 regionally independent quantity that applies
2 regardless of latitude or longitude, to one that
3 would be specific to a particular combination of
4 cooling season hours, heating season hours, and
5 shoulder season hours.

6 So, I want -- I -- So, I just want to
7 maybe head something off at the pass. So, we'll
8 require in the test procedure when the Energy
9 Conservation Standards become effective that the
10 measuring of P1 and P2 be conducted if this goes
11 forward.

12 And so it's, it's not something in the
13 near term, but, in fact, it's something that will
14 be proposed for additional test burden five years
15 out or so if it, if it's enacted.

16 So, the questions that are in the, the
17 written document, the published document is we seek
18 comments on this definition of "off-mode." And, as
19 far as generally the algorithm that we've been just
20 going over, which appears in this Section 3.13 of
21 the regulatory language part of the Notice of
22 Proposed Rule as to this algorithm of going through
23 and coming up with a representative character,

1 characterization of how this, if it is a
2 thermostatically controlled crankcase, operates.

3 MR. BROOKMAN: So, why don't you back up
4 one slide?

5 Comments on these key points with
6 respect to off-mode?

7 Karim.

8 DR. AMRANE: I think we agree with,
9 with, with DOE on, on having this off-mode being
10 totally separated.

11 MR. BROOKMAN: Harvey?

12 DR. SACHS: We do, too.

13 MR. BROOKMAN: Okay. Concurrent.

14 DR. SACHS: Harvey Sachs.

15 MR. BROOKMAN: Thank you. We're going
16 to move on.

17 MR. DOUGHERTY: Okay.

18 MR. BROOKMAN: Jeff's got a comment.

19 MR. NICHOLS: And perhaps this isn't the
20 proper meeting, but I guess, assuming if, if that
21 gets enacted for testing, we, is to say I guess
22 I'm, I don't know what the Standard is to know what
23 the test procedure is, so am I going to be subject

1 to multiple samples like I am for my, my SEER and
2 HSPF requirements, or is this one item, since it,
3 it's only being baked into the annual energy
4 concepts, or what's the conceptual framework?

5 MR. ANDERSON: This is Wes at DOE. That
6 is a Standards question and it will be addressed in
7 the NOPR or, or, or at the NOPR meeting for
8 Standards of CAC.

9 It's -- We are setting measures now.

10 MR. NICHOLS: Okay.

11 MR. BROOKMAN: Karim?

12 DR. AMRANE: That begs another question.
13 I mean, we are talking about -- What? -- less than
14 a year.

15 Okay, you going to come -- You going to
16 finalize this test procedure at the same time
17 you're finalizing rulemaking on central AC and
18 furnaces, and at the same time you're going to get
19 the manufacturers to come up with a, you know, with
20 a binding off-mode.

21 And where there's been no test done on
22 the equipment, we don't even know if the test
23 procedures will work or not. I mean, I've -- Those

1 issues are very important for us, and I think that,
2 I hope that DOE is taking those into account,
3 because we are running out of time here.

4 MR. ANDERSON: Wes Anderson, DOE. Yes,
5 we are. Thank you.

6 MR. BROOKMAN: Harvey Sachs.

7 DR. SACHS: Harvey Sachs. And it's
8 perhaps foreshadowing Standard-setting, but we do
9 have a difference here between P, P1 and P2 on the
10 one hand, which are measurable numbers, the, the
11 power consumed during off-mode, presumably, with
12 the heater at once present and in operation.

13 It's relatively easy to do that as a
14 certified number. It's extremely difficult, I
15 think, from this conversation, to do the, the
16 hours.

17 And I wonder if DOE would meet many of
18 its objectives by restricting the certification to
19 the P1/P2 class, and then it's much less important
20 how we do the computation of the annual energy as
21 simply an arbitrary algorithm.

22 MR. ANDERSON: This is Wes Anderson of
23 DOE.

1 Could you put that also in your --

2 DR. SACHS: I promise to try if I

3 remember it.

4 MR. ANDERSON: Okay.

5 MR. BROOKMAN: Thank you.

6 So, we ready to move on?

7 (Whereupon, no response was had.)

8 MR. BROOKMAN: Okay.

9 MR. DOUGHERTY: The second aspect
10 brought forward in the energies legislation of 2007
11 was the idea of where, for air conditioners and
12 heat pumps, as well as furnaces, in addition to a
13 national Standard which we have now, that they
14 could investigate the possibility of implementing
15 regional Standards, in the case of air conditioners
16 and heat pumps up to a maximum of two regional
17 Standards, and overlay to the national Standard.

18 And so the question then becomes to, to
19 allow, though, consideration: Is there a need for
20 changes in the test procedure?

21 And so we'll, we'll go through some of
22 that right now as far as the influencing factors,
23 then, are constraints on the test procedure, given

1 the framework that exists. Out of this came the
2 idea that, "Well, there's a leading interest to the
3 Standards rulemaking to these regions that would be
4 defined as hot humid and hot dry.

5 Because of that focus, then, the
6 necessary parameter of choice and the operating
7 mode of choice is therefore cooling.

8 One of the requirements of EISA that
9 also influenced the, the, the test procedure here
10 is the fact that when you define a region, it must
11 be composed of contiguous States.

12 So, in the case of a calculation that
13 has weather data, it will depend on what States are
14 selected for that region as to what the, the
15 temperature distribution that will be considered in
16 coming up with that rating if seasonal rating is
17 pursued.

18 And it's dependent, then, ultimately, on
19 these regions, what States make up these regions.
20 And that, in turn, depends on these established in
21 Standards rulemaking that are going on for central
22 air conditioners, and also furnaces and boilers.

23 And ultimately, then, too, given the

1 current structure of the test procedure, how can,
2 can we go about addressing a regional issue? And
3 given that current, the current approach of using
4 seasonal representation through the SEER
5 descriptor, can that be used in a way to allow an
6 evaluation for a regional metric?

7 So, as far as the test is concerned, the
8 options before it were: Let's make no changes to
9 the test procedure, not with regard to the
10 laboratory testing or the calculations.

11 We will use the existing metrics, the
12 national metrics of SEER on this case because it's
13 the cooling-dominated focus as the regulating
14 focus. So, if it was to be used, if a regional
15 Standard was found to be feasible, we would use a
16 SEER value that would be higher than what is
17 required at the national level.

18 So, to, to sell in that particular
19 region you'd have to have a SEER value that's
20 otherwise higher than what was specified for the
21 region, for, for the nation, excuse me. See, so
22 that's one option: Don't change the test procedure
23 at all.

1 The second is: Don't add test burden.
2 So, in that case, you don't add to the testing in
3 the laboratory, but you look to think that could be
4 done on, on paper, and one would be coming up with
5 SEER data that is more aligned with the weather
6 conditions in the area you're considering.

7 And the third option there is: Add to
8 the test burden. Add both laboratory tests and
9 alternative calculation algorithms that would allow
10 you to come up with a region-specific regulate-,
11 metric.

12 And you could come up with SEER hot dry,
13 or hot humid, or some other within the bound
14 allowed you by, by, by legislation.

15 So, we chose to go the all-encompassing
16 route with the, with the, the understanding that
17 the going from a proposal to the fodder rule, it's
18 easier to go more expansive and curtail it back, as
19 opposed to coming up with something more focused
20 and expand it.

21 So, we chose in the Notice of Proposed
22 Rule to, to go the route of saying: Let's see the
23 option of adding testing burden, and along with

1 calculations that are new, and, and focus those,
2 though, on the, to, on the dry region and see what
3 kind of reception that gets.

4 And it's kind of taking a step back here
5 in part on Slide 52. Let's maybe discuss what we
6 seek with regard to a regional regulating metric.

7 Certainly from the DOE's standpoint it
8 would be one that would allow better, that would
9 promote better use of our natural resource, our
10 energy resources.

11 From the standpoint of the consumer,
12 they would like information that would help them
13 determine their, their energy bill. And part of it
14 that is -- Most of that is usually associated with
15 seasonal operation: how much energy you consume
16 over a season; how many kilowatt hours you consume.

17 So, SEER has done, has attempted to do a
18 job and providing more information. But, as more
19 utilities also go to split-meters and have, and are
20 capable of handling a charge and demand to that,
21 maybe that metric falls short.

22 So, maybe there's a need to transition
23 to some degree because of the evolution of the

1 metering and charge practices.

2 As far as another thing, utilities often
3 seek information that helps them toward their
4 avoidance of peak-demand situations. So, they
5 would be most likely interested in full loads
6 conditions, and so regulating Regulations that
7 would help them in understanding those full-load
8 characteristics.

9 And finally, this can be used by
10 manufacturers to help differentiate the products
11 from one another.

12 So, at this point I'll throw out the
13 question that's, appears as Number 9 in the, in the
14 published Federal Register Notice. DOE seeks
15 comments on the usage and effectiveness of the SEER
16 hot dry metrics and its advantages and
17 disadvantages.

18 There has been some feedback provided
19 because of the timing from the Standards Rulemaking
20 public meeting that occurred, and comments that
21 have occurred and come into this, to this meeting.
22 And so we would like to see if those comments would
23 like to be reiterated here, or otherwise new

1 comments as to whether or not SEER hot dry is the
2 way to go, and if not, potentially how to proceed,
3 to proceed.

4 MR. BROOKMAN: Yes, Molly.

5 MS. TROMBLEY-McCANN: Molly
6 Trombley-McCann.

7 First of all I just want to note that
8 the NOPR Issue Number 9 is phrased differently in
9 the printout, and I like the way it's phrased in
10 the printout better --

11 MR. DOUGHERTY: Okay.

12 MS. TROMBLEY-McCANN: -- because in the
13 printout it specifically calls out the use of EER
14 as opposed to SEER hot dry. And that is definitely
15 the priority of the California utilities.

16 Also, the way SEER has been designed
17 with regard to NOPR, it does not adequately
18 represent conditions at full load. It doesn't give
19 the manufacturer the opportunity to differentiate
20 products that will perform very well at high
21 temperatures, and EER, at 95, is going to do a much
22 better job of that.

23 We in the past said, and I would say

1 again that we would prefer an EER at 115, but I
2 think we're not going to push our luck at this
3 point. But, I do believe an EER is a much more
4 appropriate metric for this region and for the
5 goals that you've listed on that slide.

6 MR. BROOKMAN: Karim?

7 DR. AMRANE: Karim Amrane, AHRI.

8 I believe that the first slides here
9 don't talk about the Consensus Agreement, but I
10 think we'll have to talk the, the Agreement,
11 because we specifically agreed to EER in those
12 regions to address the concerns that, that Molly
13 raises.

14 So, we would like to abandon this idea
15 of SEER dry, and dump the Agreement, and I believe
16 we'll resolve these issues.

17 MR. BROOKMAN: Okay. Thank you.

18 Harvey.

19 DR. SACHS: Harvey Sachs.

20 I'd like to turn attention in this
21 context to the top paragraph on Page 32-, 31240,
22 Column 1.

23 MR. BROOKMAN: Of the Federal Register?

1 DR. SACHS: Yes. The last sentence
2 says, "EER and COP, for example, cannot be used."

3 MR. BROOKMAN: Wait a second. Let us
4 get there.

5 Thirty-one- --

6 DR. SACHS: Two-forty.

7 MR. BROOKMAN: -- 240. Thank you.

8 DR. SACHS: After the section that, "...
9 SEER and HSPF" Well, let me go up one.

10 "Notably, DOE does not have authority to
11 use a performance metric other than SEER and
12 HSPF...." And continues.

13 "EER and COP, for example, cannot be
14 used."

15 MS. KOHL: Sir, this is Betsy Kohl.
16 Just to cut off this discussion, we're still
17 considering that issue.

18 DR. SACHS: Thank you, Betsy, but I feel
19 it's very important to make two points. I
20 appreciate that you all have had a filing and some
21 discussions that may be helpful on this.

22 First point is that I'm a simple man,
23 but I've tried my best to understand the rating

1 method, and SEER for single-stage equipment is
2 nothing except a coefficient multiplied by EER at
3 82.

4 We would assemble to say that we cannot
5 use EER because we've been using the EER at 82
6 since 1979.

7 The second point I want to make is with
8 respect to the defined SEER hot dry. And again, I
9 may have misunderstood it, but this proposes to use
10 an adjustment of the bin hours, but still to base
11 that for simple equipment on the measured
12 performance at 82.

13 This absolutely confounds the
14 engineering decisions that would be made in design
15 as I understand it of a unit optimized for
16 high-temperature performance. This is the most
17 clever, ingenious proposal I've seen for defeating
18 the intent of a hot-dry SEER.

19 It must be based on a temperature at 95,
20 for which the measurements are already required in
21 the rating method, instead of being based on a, a
22 steady state at 82. Thank you.

23 And I'm -- I hope I'm wrong in my

1 inference, but --

2 MR. DOUGHERTY: I believe you are,

3 Harvey, because --

4 DR. SACHS: Please explain it to me.

5 MR. DOUGHERTY: Two steps here. As far

6 as the shortcut method that's in place now, the

7 reason the shortcut method came in place was it

8 gave you the same SEER as you did if you used the

9 bin.

10 And to capture the effect of the

11 regional performance, you, in fact, are forced to

12 go to the bin calculations for the single source

13 for hot-dry system if you want to go that.

14 So, maybe we missed the boat. So,

15 that's what the intent was to be in there.

16 And I hope that's in there. It's used a

17 different bin distribution as far as a weather

18 data, and ended up with a load because of the,

19 because of it.

20 You actually end up with a, an outdoor

21 temperature that is exactly what we have now, 95

22 degrees. So, you're hot now.

23 The SEER hot-dry as proposed now does

1 not do it as far as identifying performance at the
2 more extreme conditions.

3 DR. SACHS: And, thank you, Brian.
4 Again, this is Harvey Sachs, and at that point I
5 found myself somewhat surprised as I tried to
6 understand Table 3.2 on the following page, 31241,
7 where we still have a situation in which we are
8 basing our calculations on a system in which 69
9 percent of the bin hours are at temperatures, as I
10 recall, less than 79 degrees.

11 But, I'll support that in my statement
12 so that, again, in terms of the, the goal here of
13 reflecting society's interest in high-temperature
14 performance. Even though I think I may have been
15 early in proposing this approach, I'd like to
16 formally renounce it.

17 Thank you.

18 MR. DOUGHERTY: You're right, Harvey, as
19 far as the, the, the -- Because of the way the
20 legislation is written, and that you have to have
21 full States included, and contiguous States, and
22 you have to partition up for a four-State region
23 that ultimately was proposed here, we did look at

1 the two-State region, too, to get into calculations
2 of hot and dry.

3 But, because of the population along the
4 coast, and because you have California, it really
5 pushes things to a much more moderate condition.
6 So, it, it drives this thing to a large degree, and
7 it really starts to separate what we can even call
8 close to hot-dry.

9 MR. BROOKMAN: Molly?

10 MS. TROMBLEY-McCANN: I want to
11 reiterate the vague NRC -- I just -- Molly
12 Trombley-McCann.

13 I wanted to follow on Harvey's statement
14 and note that we also submitted comments in support
15 of the SEER. We would also like to backtrack and
16 renounce our support for, for SEER hot dry in favor
17 of EER, based on, you know, subsequent
18 conversations with Industry and the Consensus
19 Agreement.

20 We feel that that is something that the
21 Department can do and should do as the best option.
22 I also did want to note that, you know, we don't
23 support SEER hot-dry.

1 We support EER, and there are a host of
2 questions about how long SEER is supposed to be
3 tested in this NOPR. But, not only do we not
4 support SEER hot-dry, but in particular, we have a
5 lawsuit concerning how it's to be.

6 MR. BROOKMAN: So, you reflect that in
7 your detailed --

8 MR. DOPPEL: Mitsubishi would oppose
9 SEER hot-dry because it would increase testing
10 burden on manufacturers, and we're not in favor of
11 that. And, we would support a Consensus Agreement.

12 MR. BROOKMAN: Thank you.

13 Harvey? You want --

14 Jim, you want in here?

15 MR. CRAWFORD: Harvey?

16 DR. SACHS: Jim, go ahead.

17 MR. CRAWFORD: Age before beauty.

18 DR. SACHS: I know. That's what I said.

19 MR. BROOKMAN: Jim Crawford.

20 MR. CRAWFORD: Jim Crawford.

21 The, the interesting thing about this
22 table that Harvey points out is that is, it
23 suggests that the hot dry climate is very, very

1 cool --

2 MR. DOUGHERTY: Right.

3 MR. CRAWFORD: -- and temperate, to
4 which Brian alluded.

5 If you look, for example, at the bins
6 that represent 90 to 100 degrees, there are less
7 hours, excuse me, a smaller number of the seasonal
8 hours in that bin in the hot dry climate than there
9 are in the standard climate.

10 And if you look at the coolest bin, you
11 have double the number of hours in the coolest bin
12 in the hot dry climate than you do in the national
13 calculations. And the significance of this is that
14 if, if that's all you changed, the SEER in the hot
15 dry climate would be higher than, than the national
16 calculations.

17 The reason I believe, and I've not
18 gotten into all the details, but, but the reason
19 that isn't is, at least to some degree, a function
20 of two things, one of which is the indoor
21 conditions have been changed, and indoor conditions
22 have a significant effect on the performance of a
23 system.

1 And the second is that the load line has
2 been changed. And I'm going to have to look more
3 at the load line, because it looks like, again, the
4 climate shown is a milder climate than the national
5 figures.

6 MR. BROOKMAN: Okay. Thank you.

7 Harvey.

8 DR. SACHS: Harvey Sachs.

9 I'd like to ask a question about the
10 last two columns, the right-most columns in Table 3
11 dash-2. I'm inferring on no particular data, that
12 the resulting cooling load profile reflects the,
13 the building and does not include the effects of
14 degraded performance of the equipment.

15 As the lift becomes higher, the lowered
16 performance -- I don't say "degraded." That's
17 value-laden.

18 MR. BROOKMAN: He was searching for it.
19 You might need to restate that.

20 DR. SACHS: Sure. My inference --
21 Repeating, Harvey Sachs. -- on the last two
22 columns of Table 3 dash-2, Resulting Cooling Load
23 Profile, that this refers to the load line and to

1 the change in load of the building, but does not
2 affect the change in performance of the equipment.

3 It seems that the equipment operates at
4 a constant EER throughout these bins.

5 MR. DOUGHERTY: I believe that was how
6 that was calculated. These -- This work in
7 particular was done by PNNL, and so they were
8 providing me with the, the bin distributions to, to
9 add to the testing.

10 So, unfortunately, I believe you're
11 correct, Harvey, but I'd have to check with the,
12 the, the individual who worked that to, to -- I'll
13 check. I'll confirm it.

14 DR. SACHS: Please do, --

15 MR. DOUGHERTY: Yeah.

16 DR. SACHS: -- because with all due
17 respect to Paul's magic equipment, it would seem to
18 me that I'm missing the point, and my operating
19 hours will go, will be greatly impacted if the
20 equipment is running at the lower EER than we would
21 expect, as I believe would be reflected in this
22 profile.

23 MR. DOUGHERTY: I'll check.

1 DR. SACHS: Thank you.

2 MR. BROOKMAN: Okay.

3 Jim Crawford.

4 MR. CRAWFORD: Dr. Sacks, your
5 arithmetic is better than that. Your running hours
6 are determined by the capacity, not by the EER.

7 The power consumption is determined by
8 the EER and the running hours.

9 DR. SACHS: Thank you, sir.

10 MR. BROOKMAN: Okay. Okay, let's keep
11 moving along.

12 MR. DOUGHERTY: Okay. Because of the
13 expectation that we would get the response that we
14 received this morning, -- And, and thank you for
15 following up, because we, as I had mentioned, we,
16 we had the opportunity to sit in at the, the
17 Standards public meeting and see the comments. --
18 at this point, to save your time, potentially, and,
19 and all our time, I wasn't going to go into the
20 detail any further of SEER hot dry unless someone
21 wants to do that.

22 MR. BROOKMAN: I don't, I don't see
23 anyone -- I'm casting my eyes about.

1 MR. DOUGHERTY: Thank you.

2 MR. CRAWFORD: Off-line.

3 MR. DOUGHERTY: Yes. Okay, agreed.

4 Okay, changing now to some -- In fact,
5 one of the things that Harvey brought up earlier,
6 some related extras that are proposed, and some
7 admissions, at least some admissions, and probably
8 certainly others.

9 One extra is in, in bringing to the
10 forefront this off-load energy consumption when you
11 test a coil-only system. So, this is a system
12 where it, it comes without its, its blower.

13 It's, it, it would have to typically get
14 its power from the, the furnace to which it is
15 retro, with which it is applied within field.

16 There's no stipulation to your test
17 currently that you have to have a certain size
18 transformer, and also whether or not you need to --
19 There's no specific statement whether or not you
20 would need to meter the power consumed, albeit
21 small, by that transformer.

22 So, in the spirit of trying to cover
23 everything as EISA is pointing us to, there's a

1 proposal in there for such coil-only systems to say
2 you have to use either a 40- or 50-volt/amp
3 transformer to power your indoor site controls to
4 allow the units to be tested and to actually have
5 that power system into the overall metering of the
6 system, the second bullet there.

7 Question?

8 MR. BROOKMAN: Harvey Sachs.

9 MR. DOUGHERTY: Okay. Sorry.

10 DR. SACHS: Thank you, Brian. This is
11 Harvey Sachs.

12 You have used the term "transformer"
13 rather than the more general term "power supply."

14 MR. DOUGHERTY: Okay.

15 DR. SACHS: And given what's happened in
16 other industries, it would certainly seem to be in
17 the public interest to consider using some default
18 in allowing the manufacturer to show that the unit
19 is to be installed with a better unit.

20 This would be comparable to the way we
21 treat fan power in the air-conditioner test.

22 MR. DOUGHERTY: So, you wanted a default
23 that --

1 DR. SACHS: Well, you're requiring a 40-
2 and 50-amp power. What happens if Jeff comes in
3 with a unit that's using a very low-level power
4 supply to drive his forward?

5 Should he not get some credit?

6 MR. DOUGHERTY: Well, if it, it's
7 provided in the unit, certainly they'll get that.

8 DR. SACHS: But, if this is a coil-only,
9 would it not be provided with it?

10 MR. DOUGHERTY: Correct.

11 DR. SACHS: So, now, given the potential
12 for it, maybe that will be captured when Jeff does
13 his with coil units, or when he does his furnaces,
14 because now he will get credit on the, the front
15 side.

16 But, I hate to say "standard setup" with
17 a, in a way that will distance, discourages
18 innovation that would save energy.

19 MR. BROOKMAN: Jim Crawford.

20 MR. CRAWFORD: Well, if I may, let me
21 address Harvey's point first. I, I understand the
22 point that he's making, and I think it deserves
23 consideration.

1 However, we need to keep in mind that
2 the overwhelming majority of systems in North
3 America in the foreseeable future will probably not
4 be variable-speed, and that means that they will be
5 using contractors, and "transformer's" the correct
6 term.

7 "Power supply" carries a, a bit of an
8 implication of also conversion from AC to DC, which
9 would not be the case for most systems.

10 The second point is addressing the
11 substance of the issue, and, and that is that if
12 these coils are currently tested without
13 transformer power being accounted for, reasons for
14 wanting to account for it is, are, are fairly
15 clear.

16 But, it's also fairly clear that the
17 effect of that will be to reduce the SEER ratings
18 of existing rated equipment. And I was rather
19 under the impression that that was not the intent
20 of the current rulemaking process.

21 MR. DOUGHERTY: You bring up a good
22 point, Jim. At least it wouldn't affect it in the
23 near term, but you're right.

1 In five years out, or whenever the, the
2 Conservation Standards were enacted, you'd have an
3 effect on that rating against an existing piece of
4 equipment.

5 MR. BROOKMAN: Go ahead.

6 MR. DOUGHERTY: Okay. Going on to the
7 second bullet, then, as we mentioned earlier when
8 we were talking about the additional measurements
9 that would be made to try to affect this
10 correlation during the cyclic degradation tests
11 during the steady-state cycle, we talked about
12 reducing the sampling interval from five minutes to
13 ten minutes.

14 So, there's a new recommendation in
15 there. Since we're going to do it for that test,
16 maybe we should just, you know, bite the bullet and
17 put five minutes in as the, as the maximum planning
18 interval in all cases, because we've come a long
19 ways since the, the test procedures was originally
20 put in place.

21 And ten minutes really was not, doesn't
22 give you much resolution. It would be nice to have
23 more measurements; rather than having four

1 measurements, having seven measurements for
2 calculations of your EER.

3 And so that's gone into. Given the
4 progression to automation in the laboratories over
5 the years, there's no reason they couldn't achieve
6 that.

7 The last one gets back to Harvey's point
8 earlier in that there's a shortcut system for
9 calculating SEER, and it is a very simple one of
10 the EER during the B Test of two times the
11 part-load factor evaluated at a load factor of .5.

12 And so it's just EER B times 1, minus
13 the CC B over 2. And it's a very simple
14 calculation, but yet that calculation was generated
15 because when they first came up with the algorithm,
16 they found that, in fact, they correlated well.

17 So, if you do the full-blown, full-blown
18 bin analysis versus the shortcut method, you get
19 very close to the same SEER value. And I don't
20 know more than that, but that's why it came into
21 being.

22 But, maybe it's time to revert back.
23 Maybe it's time to revert back so we can avoid that

1 kind of confusion, and also get some benefits.

2 Because it is tied to EER B, maybe it
3 emphasizes A to B. So, if we go for the bin
4 calculation, it would give more rating to the A
5 Test, and it would avoid the confusion we have as
6 to: Where did this method come from?

7 And ultimately, if we -- It would
8 promote consistency because two, they're based on a
9 bin. Maybe in five years from now we should
10 implement that for single-speed.

11 MR. BROOKMAN: So, let's just pause
12 there. Comments on these last two bullets?

13 Jim Crawford.

14 MR. CRAWFORD: Just the obvious comment
15 on the middle bullet there that the -- Excuse me.
16 I'm sorry. -- the last bullet, that the only
17 reason that one would consider as a change is
18 because you expect it's going to change some SEERs.

19 And so that's the same issue I mentioned
20 a moment ago, that if we're positive doing things
21 that is going to change the writing of existing
22 rating equipment, that needs to be taken into
23 consideration as to the scope of the, of the

1 rulemaking.

2 MR. BROOKMAN: Um-hum. Thank you.

3 Paul?

4 MR. DOPPEL: Paul Doppel, Mitsubishi.

5 The, the current way of doing the
6 testing for variable-speed systems puts an extra
7 burden on variable-speed manufacturers because
8 they're required to do ten tests to calculate SEER
9 and HSPF, as compared to the four required by those
10 allowed to use the short-cut method.

11 So, we have tremendous testing burden
12 placed on us.

13 MR. BROOKMAN: So, what are you
14 suggesting the Department do with this?

15 MR. DOPPEL: Make it, make it the same
16 for everybody.

17 MR. BROOKMAN: Just wanted to be clear
18 best we can. Okay.

19 Okay, final comments on these two?

20 Harvey.

21 DR. SACHS: Harvey Sachs, AC-triple-E.
22 Harvey Sachs, AC-triple-E, supports eliminating the
23 shortcut method.

1 MR. BROOKMAN: Okay.

2 DR. SACHS: We do not believe that it
3 should impact the testing, but elimination, should
4 eliminate the shortcut method.

5 MR. BROOKMAN: All right. Thank you.

6 Yes, Jim Crawford.

7 MR. CRAWFORD: I would say that despite
8 the wishes on, of, of, of some parties,
9 variable-speed systems represent a, a, a large,
10 excuse me, a small minority of the systems in the
11 market today, and that situation is likely to
12 prevail.

13 Being the first, or one of the first
14 companies to have, have introduced variable-speed
15 into the U.S. market, I think that when one does
16 that, we have to recognize that you, you take on
17 board certain burdens in terms of your design, in
18 terms of your, your product features, in terms of,
19 of testing.

20 More complex systems reasonably involve
21 more complex testing.

22 MR. DOUGHERTY: Yes. You're trying to
23 generate a performance map, and so as the systems

1 become more complex, it takes more points.

2 MR. ANDERSON: This is Wes, DOE.

3 Paul, if you could submit some
4 information on what that burden is, or what the
5 effect is? And I don't want to say "cost data,"
6 but some, the impact on your business, that would
7 be helpful.

8 MR. BROOKMAN: I see Jeff.

9 MR. DOPPEL: Okay. We will do it.

10 And the greatest impact is in the area
11 of testing on an annualized basis. While it's not
12 great, but that's where it rally shows, as test
13 requirements on an annualized basis.

14 MR. BROOKMAN: Jeff is the final
15 comment.

16 MR. NICHOLS: Well, this slide in
17 general, the top one, I agree with what Jim said.
18 There, there would be an effect on SEER, and we,
19 you know, that has to be taken into account.

20 The bottom, the bottom bullet, I think
21 maintaining the short-cut method is, is probably
22 appropriate, and it definitely has -- If you modify
23 the, the bin, it definitely would affect SEER as

1 well, and the existing product would be affected.

2 The -- And the last one on test burden,
3 single-stage product is different than two-stage,
4 and their performance envelopes are different,
5 which is different than variable.

6 So, I think there is a natural
7 progression of, of testing required to map the
8 behavior of, of the systems, and it's a, it's a
9 reasonable expectation that, that, that there
10 should be differences along that way.

11 MR. BROOKMAN: Harvey Sachs.

12 DR. SACHS: Harvey Sachs.

13 And I'd just like to note that the
14 document that, that shall not be named does call
15 for the release of EER by bin for all equipment,
16 including single-stage.

17 So, the data for the bin calculations
18 are widely available, and it's really a matter of
19 checking the spreadsheet that it actually adds up
20 to, to the SEER.

21 So, I don't think this is actually a
22 burden if, if the document that is not to be named
23 does take effect.

1 MR. DOUGHERTY: Okay. So, at least --

2 MR. CRAWFORD: Doug? Doug?

3 MR. BROOKMAN: Jim, question?

4 MR. CRAWFORD: We talked about bins
5 enough that I should make the observation that,
6 that doing calculations on a bin basis probably
7 doesn't disturb too many people.

8 Doing testing on a bin basis for
9 conventional, single-speed systems would disturb a
10 lot of people. It's a matter of the test burdens
11 not as relates to that that is on the table.

12 DR. SACHS: We didn't ask for that.

13 MR. CRAWFORD: Humm?

14 DR. SACHS: We didn't ask for that.

15 MR. CRAWFORD: I didn't say that. Not
16 everybody understand it as much as you do.

17 MR. DOUGHERTY: One omission -- And,
18 again, there may be others, but the test you may
19 refer to was through-the-wall air conditioners and
20 heat pumps. In particular, there's nothing stated
21 in case of the refrigerant line, where currently
22 you need to have ten feet outdoors, whether or not
23 it should have the same refrigerant tubing

1 requirements of 25 feet, or how to best measure the
2 outdoor temperature, given that the, the inlet and
3 outlet are usually right over the top of one
4 another.

5 How -- What's the best place to make
6 that measurement so you get a consistent setup from
7 one laboratory to the next? So, that's something
8 that, if anybody wants to comment on that, those
9 would be welcome as well.

10 (Whereupon, no response was had.)

11 MR. DOUGHERTY: Okay, going on, then,
12 I'm going to turn it over to Jennifer and let her
13 talk about the scheduling and the impact on
14 manufacturing.

15 MR. BROOKMAN: And as we're nearing the
16 end of the presentation slides I'm going to hand
17 out the Department's compilation of the business
18 cards that were handed in so everyone's got one.

19 DR. SACHS: As we're doing this
20 transition, I have one other technical question
21 that I'd like to get on the Record.

22 MR. BROOKMAN: Sure. Would you want to
23 address it to Brian?

1 DR. SACHS: It's addressed to Brian, but
2 I'm not sure he'll have to respond at this point.

3 On Page 31230 there's a claim that EER
4 at 115 can be linearly extrapolated from EER at 95
5 and 82. And I would certainly appreciate
6 documentation of that for 410-A systems.

7 MR. BROOKMAN: You don't need to respond
8 now, Brian, okay?

9 Okay.

10 Yes, Molly.

11 MS. TROMBLEY-McCANN: Molly
12 Trombley-McCann.

13 I also had another issue I wanted
14 brought up which has to do with the default fan
15 power and external --

16 MR. BROOKMAN: Would you like to make
17 that as a concluding comment?

18 MS. TROMBLEY-McCANN: Sure. I'm not
19 attached to when I say it.

20 I don't want it to get lost.

21 MR. BROOKMAN: Don't let it get lost.

22 RULEMAKING SCHEDULE AND IMPACT ON MANUFACTURERS:

23 MS. WILLIAMSON: Okay, I'm Jennifer

1 Williamson with the Pacific Northwest National
2 Laboratory. And fortunately for everyone,
3 everything I'm going to talk about has already been
4 covered.

5 First of all, written comments are due
6 no later than August sixteenth to the Department.
7 As we have said before, we expect the Final Rule on
8 this test procedure to be published in 2011, and
9 the effective dates of the changes that are
10 proposed will come in two steps, as Brian talked
11 about.

12 The non-EISA changes become effective 30
13 days following the publication of the Final Rule,
14 and the Set 2 revisions will become effective on
15 the same date as the Energy Conservation Standards.

16 MR. BROOKMAN: Jim Crawford.

17 MR. CRAWFORD: I just make the point
18 that this is why I have several times during this
19 morning's discussions indicated that some of the
20 technical changes being proposed by Ryan, excuse
21 me, Brian, will affect the performance measures.

22 And that being the case, a 30-day
23 implementation lead time is totally inappropriate,

1 and perhaps not consistent with law.

2 MR. BROOKMAN: Okay. Thank you.

3 Jeff?

4 MR. NICHOLS: Twenty-eleven is a fairly
5 broad target, and we're only six months away from
6 that date. So, is there a, a more targeted -- you
7 know, like a month or quarter that's targeted for
8 this target to being realized?

9 MR. ANDERSON: I'm sorry, I, I didn't
10 hear the question.

11 MR. NICHOLS: Is there a month or a
12 quarter that -- Preferably in a month.

13 MR. BROOKMAN: In 2011, for the test
14 procedure, is there a target date, where it just
15 says 2011?

16 MR. ANDERSON: This is Wes at DOE.

17 Yes, we, we can't -- We, we don't -- We
18 -- Let's -- We're going to try to make that date.
19 That's it.

20 MR. NICHOLS: Is there one that you can
21 communicate?

22 MR. BROOKMAN: Molly, go ahead.

23 No, Karim, go ahead.

1 DR. AMRANE: Karim Amrane, AHRI.

2 I mean, you have to compete to develop
3 the air-conditioner rulemaking by June of 2011,
4 which means that this has to happen before.

5 MR. ANDERSON: Correct.

6 DR. AMRANE: So, we're talking at less
7 than a year at the most.

8 MR. DAUGHERTY: Okay, thank you, Wes.

9 Okay, Harvey Sachs.

10 DR. SACHS: With respect to --
11 Harvey Sachs.

12 With respect to Jim's concern that the
13 so-called non-EISA revisions might affect existing
14 equipment, Wes, how do we handle that? Is it, is
15 it possible to set this up in such a way that
16 existing equipment is, existing models are not
17 impacted and do not have to be retested for these?

18 The new method would apply to all new
19 equipment?

20 MR. ANDERSON: Yes. This is Wes, DOE.

21 That would be the goal. We will
22 revisit -- We'll take his comment into
23 consideration, and, and yours as well, and come out

1 with a, an answer in the, in the Final Rule.

2 But, the goal of DOE is not really to
3 impact manufacturers in, adversely, so --.

4 MR. BROOKMAN: Okay, thank you.

5 Okay, let's proceed with the slides.

6 MS. WILLIAMSON: All right. So, we've
7 just covered this.

8 When the Test Procedure Final Rule is
9 published, it was our view that the test procedure
10 revisions in that first group would not trigger
11 immediate retesting or rewriting of any existing
12 products, and also that SEER and HSPF are not
13 triggered as a result, altered as a result of those
14 test-procedure revisions.

15 MR. BROOKMAN: Jeff.

16 MR. NICHOLS: Just one more final
17 comment on the 30-day comment time. Some of the
18 non-ESAI changes are programming-type changes in,
19 in the test cell lab environment, and, you know,
20 probably not logistically reasonable to expect
21 those could be executed within 30 days of the Final
22 Rule.

23 It's just probably not a reality when,

1 unless you go higher, more resources to go do it,
2 both privately and at third-party institutions.

3 MR. BROOKMAN: What time frame would you
4 suggest would be necessary?

5 MR. NICHOLS: I think a minimum of 180
6 days is a reasonable expectation.

7 MR. BROOKMAN: Wow. Okay.

8 Okay, thank you.

9 MS. WILLIAMSON: All right. And then
10 finally, when the Energy Conservation Standards
11 become effective, any regional Standard, if
12 promulgated, will require that additional rating of
13 any equipment that is sold or installed in that
14 region, and will require testing of some existing
15 and any new units, adding coverage within the
16 alternative reading methods.

17 And with that, I'm going to turn it over
18 to Wes to finish up.

19 QUESTIONS & COMMENTS AND CLOSING REMARKS

20 MR. BROOKMAN: Yeah. Well, before Wes
21 finishes, --

22 Wes, pass that down.

23 We wanted -- Molly's the first to raise

1 additional concerns, and then I go back to Jim.

2 MS. TROMBLEY-McCANN: Molly

3 Trombley-McCann.

4 When we submitted comments during the
5 framework phase, our comments recommended changes
6 to both the default external static pressure and
7 the default fan power that are used in the test
8 procedure.

9 In the NOPR, the Department expressed
10 their intent not to change either of those values.
11 And in particular, I wanted to start with external
12 static pressure, because -- Let me see if I can
13 find the quote here.

14 The Department essentially stated that
15 there was not data available to justify a change in
16 external static pressure. However, there's no data
17 available to justify the current external static
18 pressure.

19 It's a value been in place since 1980,
20 and there's no justification whether or not that is
21 appropriate at this time. There is some data, and
22 we did submit that, to supplement higher value,
23 particularly in hot dry region.

1 So, my example, I think, goes to the
2 Department, is: Why choose a value that has no
3 backup data, as opposed to some that has at least
4 some to justify it?

5 And what data would you need to see to
6 feel comfortable changing the external static
7 default value?

8 MR. BROOKMAN: Okay. Thank you.

9 Jim Crawford.

10 MR. CRAWFORD: I'm going to defer for a
11 moment. I think that if someone's going to answer
12 that, they ought to.

13 MR. BROOKMAN: I don't think the
14 Department wants to answer that one now.

15 MR. CRAWFORD: I thought -- Well, I
16 thought the Department answered it in the Notice.

17 MR. ANDERSON: Yeah.

18 MR. CRAWFORD: Not to the satisfaction
19 of some Parties, but I thought they answered it.

20 The -- Okay. Yeah.

21 The, the point on the, the preceding
22 chart was that the light rating will be required
23 for equipment sold and installed in the hot dry

1 region. I think that, that this assumes that there
2 is such a thing as a hot-dry air conditioner.

3 And it's been ably demonstrated
4 repeatedly that that is a misconception. And the
5 recently funded project on that demonstrated what
6 I've just said.

7 If you really look at it objectively,
8 the, the products of this industry are national
9 products. It's unlikely that there will be three
10 different sets of products for different regions.

11 And so recognize that, that if you
12 impose testing for a hot-dry region, you impose
13 that testing on every product in the industry.

14 MR. BROOKMAN: Okay. Thank you.

15 Yes, Karim.

16 DR. AMRANE: I guess I wanted to follow
17 up on, on what Molly said about the static
18 pressure. I think I agree with the Department's
19 determination here with respect to the static
20 pressure; that we, that we are, by establishing
21 such a criteria, I think there is evidence that we
22 can design to static pressure, we can design ducts
23 to static pressure.

1 The question is: Why are they not
2 designed that way? So, I think instead of focusing
3 on this test procedure, I think the focus should be
4 on designing better ducts.

5 MR. BROOKMAN: Paul?

6 MR. DOPPEL: Item Number 6 on Page 34122
7 references Mitsubishi's comments from the previous
8 meeting. And the, the issue there is that we're
9 saying that the current test method does not
10 accurately incorporate the energy-saving
11 capabilities of the VRF systems, or I should say
12 variable-speed systems.

13 And the one thing I wanted to bring out
14 in regard to that, I know you're asking for more
15 additional information for another testing method,
16 and I've been working with the R-factor in Japan to
17 try to come up with something.

18 But, basically what happens is the
19 system's intended for all the measurements to force
20 the compressor to change speeds in order to
21 accommodate for the loads.

22 What the test procedure does is freezes
23 that which is supposed to be floating to match the

1 loads to try to contort the system to operate at
2 the certain level. And that creates a lot of
3 inefficiencies in how the system not only operates,
4 but how long the testing takes.

5 It requires a lot longer for the systems
6 to stabilize once you fix those conditions. So,
7 that's, that was the intent of our comments there,
8 and that, there, there just needs to be a better
9 way of testing those systems.

10 And, again, we're still working with our
11 folks in Japan to do that.

12 Then I just also wanted to reiterate
13 that, the fact that for the multi-split systems
14 there should not be a requirement to turn your
15 indoor system off during operations where the
16 compressors are operating at their minimum speed.

17 MR. BROOKMAN: Okay.

18 So, Molly.

19 MS. TROMBLEY-McCANN: Molly
20 Trombley-McCann.

21 So, this question has to do with default
22 fan power, and it ties into the furnace fan test
23 procedure rulemaking that is just beginning. And I

1 believe the public meeting is next Friday for that.

2 And my question is: How is the
3 Department going to reconcile what happens in that
4 test procedure rulemaking with what's happening in
5 this test procedure rulemaking?

6 Because it seems to me that once those
7 test procedures go into effect, every fan will have
8 to have that. And the option of using default
9 power when every fan has an actual tested
10 capability doesn't make sense.

11 I don't know how they're going to line
12 up, but they obviously line up with each other.
13 And I'm wondering what the Department's planning to
14 do to manage that.

15 MR. ANDERSON: This is Wes at DOE.

16 The way we see it, the furnace fan rule,
17 I think it publishes in 2013.

18 MS. TROMBLEY-McCANN: That's the
19 deadline; yeah.

20 MR. ANDERSON: Yeah, that's the
21 deadline, for 2013. And then the effective date is
22 some years after that.

23 So, we're using our, our rulemaking

1 schedule to, to handle -- That's a, a secondary as
2 far as air conditioner's concerned. I know it's a
3 very large impact to air conditioners, but we look
4 at that as another step in the process.

5 But, it's -- But, because it's been set
6 up as a furnace fan rule, we have to work with it
7 at, on this schedule. So, I believe that's not a
8 direct answer for you, but we're kind of stuck here
9 with this.

10 MR. BROOKMAN: Harvey Sachs.

11 DR. SACHS: Harvey Sachs, and I want to
12 commend Karim for his observation that it's
13 possible to design and install a lowest P duct
14 system.

15 On the other hand, what we know is that
16 even in good times for construction, the vast
17 majority of central air conditioners today are sold
18 for existing houses.

19 The wet fit cost for putting in one of
20 these very lowest-P duct systems is prohibitive in
21 an existing house. Therefore, the existing market
22 will remain dominated by systems that have high fan
23 power and highest P.

1 The ratings that DOE uses are, were the
2 best guesses that could be made by this industry in
3 the 1980s. I've not been able to find data on
4 which they were based.

5 They do not have data, not adequate, not
6 well-distributed across all duct-type
7 installations, but we know enough today that to
8 insist on using a 30-year-old guess instead of a
9 data set seems to be perverse in terms of this
10 legislation.

11 MR. BROOKMAN: Okay. Thank you.

12 So, this is the occasion for anybody
13 that wishes to make additional, or, and perhaps
14 final comments.

15 (Whereupon, no response was had.)

16 MR. BROOKMAN: Okay. So, then do you
17 want to put the last slide up there?

18 MR. ANDERSON: Yeah, sure.

19 MR. BROOKMAN: So, from my perspective,
20 I'm turning it back to Wes. And I thank all of
21 you.

22 We've covered a lot of ground in this
23 meeting, some of it really technical. You've all

1 hunched in there, and best wishes.

2 We'll see you soon.

3 SUMMARY AND NEXT STEPS

4 MR. ANDERSON: Yeah. This is Wes of
5 Department of Energy, Wes Anderson, Department of
6 Energy.

7 In summary I'm going to reiterate: The
8 comment period ends on the sixteenth of August.

9 You made some great comments here.
10 Please, some of them were statements, but please
11 back up those statements with, or with data or
12 explanation as to how you came to your conclusions.

13 And use the three bulleted points here
14 as, so we know how, when, when the information
15 comes to us, we know where to send it. You can
16 also submit your comments to -- Oh, I'm sorry. --
17 our web page, where we'll put up the latest edition
18 of the presentation as soon as possible, as soon as
19 we can get it to the web mavens.

20 Well, preferably early next week will be
21 the, it will be up there, up there by then. And
22 also as a final statement, the Consensus Agreement
23 is being considered by DOE, all facets of the

1 Consensus Agreement.

2 Thank you.

3 The next milestone is the NOPR for the
4 Standards rulemaking, which will be for sometime in
5 the fall. The test procedure will continue to
6 progress concurrent with that, and it is DOE's goal
7 not to burden anyone with this test procedure, so
8 it will be, it will be out in time for this won't
9 be impactful for anyone.

10 Questions?

11 Harvey?

12 MR. BROOKMAN: Thank you for your
13 patience, everyone.

14 MR. ANDERSON: All right. I officially
15 close these proceedings.

16 MR. BROOKMAN: Thank you.

17 (Whereupon, at 12:58 p.m. ET, the above
18 Public Meeting was concluded.)

19 I certify the foregoing to be a
20 true transcript from my notes.

21 E-signature: D. I. Bunn

22 CSR CP RPR

23 CERTIFICATION

1 I, D. I. Bunn, a Registered
2 Professional Reporter, Certified Conference
3 Reporter, and Notary Public, do hereby certify that
4 the foregoing public meeting was duly taken and
5 reduced to writing before me at the place and time
6 therein mentioned. I further certify that I am
7 neither related to any of the parties by blood or
8 marriage, nor do I have any interest in the outcome
9 of the above matter.

10 In witness whereof, I have hereunto set
11 my hand and affixed my official seal, at Lusk,
12 Wyoming, USA, this 14th day of June, 2010.

13
14 E-signature: D. I. Bunn

15 Notary Public

16 My Commission expires January 5, 2012.
17
18
19
20
21
22
23