

UNITED STATES OF AMERICA

DEPARTMENT OF ENERGY

**NOTICE OF PROPOSED RULEMAKING PUBLIC MEETING ON
RESIDENTIAL FURNACE FANS TEST PROCEDURE**

U.S. Department of Energy
1000 Independence Ave., SW
Washington, D.C. 20585
Room 8E-089 Review Center

Friday
June 15, 2012

Facilitator:

Doug Brookman
Public Solutions
Baltimore, MD

Participants Identified:

Brian James
Southern California Edison

Adam Christiansen
Appliance Standards Awareness Project

Harvey Sachs
American Council for an Energy Efficient Economy

Charlie Stephens
Northwest Energy Efficiency Alliance

Meg Waltner
Natural Resources Defense Council

Dave Wittingham
Allied Air, Lennox

Greg Wagner
Morrison Products

Terry Small
Mortex

Craig Messmer
Unico, Incorporated

Michelle Cox
... Blake Corporation

Aniruddh Roy
Air Conditioning, Heating, and Refrigeration Institute

Frank Stanonik
AHRI

Rachelle Cocks
Regal Beloit

Participants from DOE:

Eric Stas
DOE General Counsel's Office

Mohammed Khan
DOE

Jim Raba
Department of Energy

Brenda Edwards
Department of Energy

Participants from Consultants:

Sam Jasinski
Navigant Consulting Incorporated

Alex Lekov
Lawrence Berkeley National Laboratory

Detlef Westphalen
Navigant Consulting

Heather Keil
Navigant Consulting

AGENDA

<u>ITEM</u>	<u>PAGE</u>
Welcome, Doug Brookman	5
Welcome for DOE, Mr. Khan	5
Introductions	6
Agenda Review, Doug Brookman	8
Introductory Remarks and Overview Mr. Kahn	10
Opening Statements	15
Scope of Applicability, Mr. Jasinski	24
Reference Standards and Test Methods Mr. Jasinski	27
Fan Efficiency Rating, Methodology and Calculation, Mr. Jasinski	104
Rating Examples, Mr. Jasinski	206
Certification, Compliance, and Enforcement Overview, Mr. Westphalen	215
Final Comments of interested parties	231
Closing Remarks, Mr. Khan	242

1 Energy Efficiency Alliance.

2 MS. WALTNER: Meg Waltner, Natural
3 Resources Defense Council.

4 MR. WITTINGHAM: Dave Wittingham, Allied
5 Air, Lennox.

6 MR. WAGNER: Greg Wagner, Morrison
7 Products.

8 MR. SMALL: Terry Small, Mortex.

9 MR. MESSMER: Craig Messmer, Unico,
10 Incorporated.

11 MS. COX: Michelle Cox, ... Blake
12 Corporation.

13 MR. ROY: My name is Aniruddh Roy, Air
14 Conditioning, Heating, and Refrigeration Institute.

15 MR. STAS: Eric Stas, DOE General
16 Counsel's Office.

17 MR. KHAN: Mohammed Khan, DOE.

18 MR. WESTPHALEN: Detlef Westphalen,
19 Navigant Consulting.

20 MR. JASINSKI: Sam Jasinski, Navigant
21 Consulting Incorporated.

22 MR. LEKOV: Alex Lekov, Lawrence Berkeley
23 National Laboratory.

24 MR. BROOKMAN: Thank you. Please.

25 MS. KEIL: Heather Keil, Navigant

1 Consulting.

2 MR. BROOKMAN: Jim?

3 MR. RABA: Jim Raba, Department of Energy.

4 MR. BROOKMAN: Once again, thanks to all
5 of you for being here and giving us a timely start
6 on the meeting today.

7 **Agenda Review**

8 MR. BROOKMAN: I'm going to do a very
9 brief agenda review. As you can see, all of you
10 received a packet of information as you came in the
11 door today. If you have not yet handed off a
12 business card to Brenda Edwards, please do so
13 because the Department typically would make a
14 photocopy of all the attendees and make it available
15 to everyone here.

16 Immediately following this agenda review
17 Mohammed's going to provide an overview, talking
18 about the purpose of the meeting, comments
19 submission instructions, regulatory authority and
20 other rulemaking overview matters. Immediately
21 following that, we'll have scope of applicability of
22 reference standards and test methods by Sam.

23 We'll take a break mid-morning, round
24 about 10:45 or so. Returning from the break, fan
25 efficiency rating methodology and calculation.

1 Around about 12:30 or so, we'll take lunch
2 around. When we return from lunch, rating examples
3 and comparison, and then following that,
4 certification compliance and enforcement overview.

5 There is an opportunity at the end of the
6 day for additional remarks, closing remarks from
7 anyone who wishes to do so, and as soon as Mohammed
8 finishes his slides, his introductory slides, there
9 is an opportunity at that point for anybody that
10 wants to make opening statements, draw attention to
11 issues from your perspective here at the outset.

12 I'd ask for your consideration. Please
13 speak one at a time. We've -- the Department has
14 tried to make these meetings accessible to folks via
15 the web, and we're getting more and more folks
16 joining via the web, which means we need to be a
17 little more disciplined about using the microphones.
18 We need to turn them on and off each time we speak,
19 because what we've heard is that if you leave them
20 on, then it provides feedback in the system. So I'm
21 going to be trying to remind you to do that as the
22 day goes on today.

23 If you would, please speak one at a time.
24 Turn the mics on and off. Say your name for the
25 record each time you speak. You don't need to say

1 your organizational affiliation unless that's what
2 you would like to do. I'm going to be cuing
3 individuals by name to speak. There will be a
4 complete transcript of this meeting posted on the
5 DOE website. I'm going to be cuing individuals by
6 name as best I can to speak. I also wish to
7 encourage follow on comments, the back and forth is
8 sometimes very useful to the Department as they try
9 and figure out what the best pathway is.

10 If you please be concise. Share the air
11 time. And if you keep the focus here, turn your
12 cell phones on silent mode, limit sidebar
13 conversations if you can, and we'll have a very
14 productive meeting. Questions and comments here at
15 the outset? Okay, then, to Mohammed Khan.
16 Overview.

17 **Overview**

18 MR. KHAN: Thanks. Good morning everyone.
19 Welcome, and thank you for participating in today's
20 meeting on the U.S. Department of Energy's proposed
21 test procedure for residential furnace fans. My
22 name's Mohammed Khan and I'm the project manager for
23 this rulemaking activity.

24 Today's meeting serves multiple purposes.
25 Mainly, our goal is to have a two-way discussion.

1 We want to convey the key points and concepts
2 associated with this rulemaking, as well as to hear
3 and listen to your thoughts and potential concerns.

4 • So first the Department wants to present its
5 approaches for a furnace fan test procedure.

6 • Second, DOE is seeking comments on its
7 proposed test procedure.

8 • This is also a forum for all interested
9 parties to hear and discuss issues raised by
10 others.

11 • And again, because your feedback is very
12 important, I encourage everyone to fully
13 participate and urge that you submit any
14 relevant data that might aid the Department
15 in developing the best possible test
16 procedure.

17 • And lastly, we want to describe the steps in
18 the rulemaking process.

19 Comments. Your comments are essential to
20 the success of this rulemaking. All participants
21 are encouraged to submit summary comments and
22 raise any additional issues relevant to the rule,
23 and as indicated in the NOPR, which was published
24 one month ago, the close of comment period is

1 July 30th.

2 This slide represents a sample of the call
3 out boxes we will use throughout our presentation to
4 identify certain issues the Department seeks
5 detailed information on. And for reference, please
6 note that numbering of the issues boxes correspond
7 to the issues listed in the NOPR.

8 As I mentioned earlier, feedback is very
9 important to the Department and I want to make sure
10 everyone is clear on how to submit the comments.
11 This slide provides the postal, courier, and e-mail
12 addresses which are appropriate for submitting the
13 comments. Please include the information here at
14 the top so that your comment is properly identified
15 and catalogued. While not provided on this slide,
16 you also can submit, via www.regulations.gov, your
17 comments. Regulations.gov is a new online tool for
18 submitting comments on all federal government
19 proposed rules. Let me also point out again, the
20 comment period ends on the 30th of July

21 This slide outlines the meeting agenda.
22 Following my introduction and overview, we will
23 discuss the scope of applicability. Next we will
24 take a look at the applicable reference standards
25 and the sections of those standards that are

1 considered relevant. Next we'll describe the
2 parameters that are in the FER and look at some
3 examples and how that applies to different kinds of
4 products. And before closing remarks, in the last
5 section of the presentation, we'll consider a
6 possible approach for certification, compliance and
7 enforcement.

8 The Energy Policy and Conservation Act
9 directs DOE to establish test procedures for furnace
10 fans and at 42USC6293.B.3, EPCA charges DOE to
11 promulgate standards for furnace fans by December
12 2013. EPCA also says that test procedures must be
13 reasonably designed to produce test results which
14 reflect the energy efficiency or energy consumption
15 of a product during a representative average use
16 cycle, and shall not be unduly burdensome to
17 conduct.

18 The final point on this slide is that the
19 furnace fan test procedure must also account for
20 standby mode and off mode energy use. EPCA, after
21 being amended in 2007 by the Energy Independence and
22 Security Act, requires that the energy use
23 associated with standby mode and off mode be
24 integrated into the energy conservation standard
25 unless the existing standard already accounts for

1 them or integration is not technically feasible. If
2 integration is not technically feasible, EPCA
3 requires separate standards for standby mode and off
4 mode energy use.

5 Okay. As I said at the outset of our
6 meeting, there's currently no test procedure or
7 standard for the furnace fans. DOE kicked off the
8 furnace fan effort with a framework document for
9 standards in June 2010.

10 So, where are we today in our rulemaking
11 process? Last month DOE published its NOPR for the
12 furnace fan test procedure. Today we're holding the
13 public meeting to receive your input. Again, I
14 cannot over-emphasize the importance of your verbal
15 and written comments. And once again, please submit
16 comments and any relevant data by the deadline.

17 In developing the final rule, DOE will
18 carefully review the transcript of today's meeting,
19 together with all comments that it receives, and we
20 anticipate issuance of the final rule by December
21 31st.

22 So at this time, as Doug mentioned before,
23 if there are any opening remarks by anyone?

24 MR. BROOKMAN: Yes, briefly before we do
25 that, I want to also extend a welcome to those that

1 are joining us via the web. The Department of
2 Energy is trying hard to make these meetings
3 accessible and successful via the web, and they are
4 hoping that if you're joining via the phone you can
5 submit questions or comments by raising your hand in
6 the "go to meeting" software or via "go to meeting",
7 use the question window in the "go to meeting" to
8 submit a question that will be relayed to me, the
9 moderator, and we'll try very hard to incorporate
10 those comments and questions during the flow of the
11 meeting itself, and that will be a part of the
12 transcript, the record of the meeting. So welcome
13 to those joining us via the web. How many do we
14 have joining us via the web? Twenty-two, it's a lot
15 of carbon saved.

16 So then opening statements here at the
17 outset? Yes, please. Your name.

18 **Opening Statements**

19 MR. ROY: My name is Roy, AHRI. Our
20 opening statement is the scope of this NOPR does not
21 follow the original intent of the Energy Policy and
22 Conservation Act. The test procedures should have
23 been limited to fans within residential furnaces
24 only. Also the proposed reference system in the
25 NOPR specifies external static pressures that are

1 too high as compared to the external static
2 pressures in the federal test procedure for furnaces
3 that are currently in place. Hence, this NOPR
4 essentially leads to different external static
5 pressures for measuring AFUE and FER for residential
6 furnaces.

7 We also feel that DOE should consider
8 adopting the e-sub-b metric that our industry
9 proposed earlier, since it allows for relative
10 electrical performance comparison of furnace fan
11 without imposing unnecessary burden of air flow
12 measurement at additional external static pressures.

13 MR. BROOKMAN: Thank you. Other comments
14 here at the outset? Harvey Sachs.

15 MR. SACHS: Harvey Sachs, American Council
16 for an Energy Efficient Economy. I am disappointed.
17 I am disappointed because the plain text of the
18 42USC reference Mr. Khan has given us says that we
19 shall have standards for electricity use for
20 purposes of circulating air through duct work,
21 hereinafter referred to as furnace fans. On the
22 very most minor level, I'm disappointed that this
23 document, the test procedures doesn't have a
24 definition of furnace fans that I found. I did find
25 it in the RFI. We did comment on it at that time.

1 And despite what I regard as fairly clear
2 instruction from Congress, although there is some
3 ambiguity and we recognize that, the Department has
4 chosen, as far as I can tell, to construe the
5 requirement as being a narrow box around the sheet
6 metal, its motor, impeller, and the shroud. The
7 Department's own research carried out by Ian Walker
8 over a period of years, the LBL, has I think
9 demonstrated fairly clearly that a large fraction of
10 the electricity consumption of these devices has to
11 do with the aerodynamics of the air handler cabinet.

12 That, as one simple example, if within a
13 product family, however we define that, we choose to
14 use a longer fan within the same cabinet as other
15 models might have a shorter fan, we've dramatically
16 reduced the clearances between the inlet to the box
17 and the fan itself. This does not make moving air
18 happy. Consequently, we proposed earlier, that the
19 unit of interest is the air handler, a virtual
20 appliance. Ironically, were we to treat it as the
21 air handler, this would completely remove the
22 concerns that Roy has expressed on AHRI's behalf,
23 because we now would have an electricity measurement
24 for air handling without having to touch either the
25 furnace or the air conditioner rating method.

1 We all know that for 30 years we have used
2 a really unrealistic, mythological set of values for
3 external static in the air conditioner test
4 procedure. If we want to have any kind of realism,
5 anything better than relative values, anything that
6 will be use of modelers and specifiers -- for
7 modelers and specifiers -- we need to do something
8 about this. And a smart rule on air handlers would
9 give us the ability to capture that without having
10 to retest the hundreds of thousands of air
11 conditioner models that are out there.

12 So I have a sense that proceeding down
13 this track is a missed opportunity. Now, the
14 regulations also require that this shall be
15 reasonably designed to produce test results which
16 reflect the energy efficiency or energy use of a
17 product. And I think there's an affirmative
18 obligation that the Department has to show that just
19 looking at the shrouded fan will give realistic
20 results, given the results that the Department's own
21 research has shown. And I don't think we're meeting
22 that burden. So I think we're going down the wrong
23 track, and I think it's going down the track that
24 will impose a fair amount of burden on people to
25 make almost totally irrelevant measurements.

1 So, other than that, I like everything you
2 all have done.

3 MR. BROOKMAN: Thank you. Other comments
4 here at the outset? I was wondering, Roy -- may I
5 call you Roy?

6 MR. ROY: Yes.

7 MR. BROOKMAN: Since Harvey referenced
8 your comments at the outset, do you want to respond
9 to what he just said? No? Not at this time.

10 MR. ROY: Not at this time.

11 MR. BROOKMAN: Perhaps in writing. Yes.
12 Okay. So -- Harvey.

13 MR. SACHS: This is Harvey Sachs. I will
14 certainly provide comments, but please send me an e-
15 mail to remind me so you all have time to play with
16 them. Thank you.

17 MR. BROOKMAN: Yes, please. Craig
18 Messmer.

19 MR. MESSMER: Yes, I'd like to take this
20 opportunity to once again ask the Department to
21 please consider the small duct high velocity
22 classification.

23 MR. BROOKMAN: Hang on just one second,
24 okay. I didn't hear that last thing, so would you
25 say it again, please?

1 MR. MESSMER: You're right. Hello. This
2 is Craig Messmer. We make small duct high velocity
3 equipment and this particular NOPR does not include
4 any language for small duct high velocity. We
5 operate at much higher static pressures than
6 conventional blowers. And to Harvey's point, I
7 think we actually have pretty realistic values in
8 our test standards, so I would like the Department
9 please consider that in the rulemaking.

10 MR. BROOKMAN: Okay. Thank you. I think
11 it's especially helpful here at the outset to hear
12 from members of the industry if they have anything
13 to say at this point. Yes, Dave.

14 MR. WITTINGHAM: Yes, this is Dave
15 Wittingham from Allied Air, Lennox. Just to ask the
16 Department please consider the burden that the test
17 procedure as outlined will impose upon
18 manufacturers. Across our organization, we have
19 hundreds, if not thousands of products that could be
20 classified as furnace fans, and the time and cost
21 and ongoing cost of this test procedure as outlined
22 would be unduly burdensome.

23 Also, I think, as far as the external
24 static points that are proposed, there are products
25 where the proposed static pressures would take the

1 product out of its safe and reliable range of
2 operation, and I think a manufacturer's intended
3 installation or safe and reliable operation needs to
4 be considered in any type of test procedure. Thank
5 you.

6 MR. BROOKMAN: Wendy, we got that okay?
7 Yes.

8 MR. SMALL: This is Terry Small with
9 Mortex, and I would like to echo what Dave just
10 said. We're a small manufacturer of some of these
11 products and there would be a disproportional burden
12 on us. The cost required to initiate the test and
13 the ongoing cost to perform the test. If you have
14 fairly burdensome testing spread across tens of
15 thousands of units, that's one thing. If you have
16 burdensome testing spread across -- you know, we
17 have some products we may only sell 100 or 200 a
18 year. That is ridiculously burdensome. So I'd just
19 stress that this needs to take into account the full
20 array of manufacturers of this type of product in
21 terms of coming up with the test procedure that is
22 administratable and performable.

23 MR. BROOKMAN: Thank you. I'm sure those
24 of you that are familiar with these DOE proceedings
25 realize they're on a constant quest for data. And

1 so your data, related to the burdens that you're
2 likely to face, as your project this test procedure,
3 will be very helpful to them, so sooner rather than
4 later, and in detail will be helpful to the
5 Department. Okay. Harvey.

6 MR. SACHS: Harvey Sachs, ACEEE and I want
7 to reflect Dave Wittingham's comment and I can't
8 think of any person who would object to test
9 procedures that would allow the manufacturer to map
10 out an installation not recommended zone, so that
11 his testing would not be as -- would not be
12 attempted in areas where the product is clearly
13 unsuitable. That would seem to be a reasonable
14 accommodation. Exactly how it would have to be
15 done, I have no idea.

16 MR. BROOKMAN: Okay. I guess we're going
17 to get into -- we will, of course, as the day
18 progresses, get into considerable detail on the
19 proposed test procedure. However, it does seem at
20 the outset at least one person in the room think the
21 Department's taking the wrong approach here. So I'm
22 not sure how we incorporate that, if we stick
23 entirely with the content that's here in the
24 proposed test procedure. So let me just entertain
25 any additional comments on that score right now?

1 Nothing additional at this time. Okay. Just
2 thought I'd try.

3 We have a comment, and hopefully this will
4 work, someone who's joined us via the web, Jim
5 Vershaw is joining us via Go To Meeting, I guess.
6 Jim, we hope to hear you speak. If you unmute your
7 phone or line.

8 MR. VERSHAW: How's that?

9 MR. BROOKMAN: That's good. We're hearing
10 you. Speak loudly.

11 MR. VERSHAW: I guess as we look at this,
12 we're having a hard time seeing -- well, there's a
13 feedback, I'm not sure --

14 MR. BROOKMAN: We can hear you okay. Just
15 keep going.

16 MR. VERSHAW: Okay. It's hard to
17 determine how the homeowner or consumer would use
18 this metric in order to make a purchase considering
19 that it includes electricity that's already put in
20 the heater or the air conditioner, and is -- the
21 testing is done with test procedures that are
22 different than the other tests are put in. It
23 includes the ... that most people don't use, and is a
24 very difficult scripture to understand. It's hard
25 enough to understand FER and HSPF and AFUE. But

1 this is one of the struggles we're having. It also
2 uses a test procedure from ASHRAE, the air
3 conditioning use ... so it's a lot to deal with.
4 Thanks.

5 MR. BROOKMAN: Okay. So we're about to
6 move into the more detailed content in the slide
7 packet. Final comments here at the outset before we
8 turn it over to Sam? Okay. Sam Jasinski.

9 **Scope of Applicability**

10 MR. JASINSKI: Good morning. I've had the
11 pleasure of meeting some of you in previous -- the
12 framework public meeting and maybe some other
13 rulemakings, but for those of you who don't know me,
14 my name is Sam Jasinski from Navigant Consulting,
15 and I've been working on the furnace fan rule pretty
16 much since its inception.

17 So to start off, I will begin by providing
18 an overview of the Scope of Applicability of today's
19 proposed test procedure. Pursuant to the EPCA
20 language that Mohammed described earlier, the Scope
21 of Applicability of this proposed test procedure is
22 single phase, electrically powered devices that are
23 used to circulate air through ductwork in heating,
24 ventilation and air conditioning products, with
25 heating capacities that are less than 250,000 BTU

1 per hour, and coolant capacities that are less than
2 65,000 BTU per hour.

3 You'll notice that these criteria are
4 consistent with the current DOE definitions for
5 residential furnace and residential central air
6 conditioners. DOE finds that HVAC products that
7 meet these criteria, typically have air flow
8 capacities that are less than 3000 cfm, which is
9 cubic feet per minute. In addition, DOE proposes to
10 exclude any non-ducted products which include whole
11 house ventilation systems that don't have duct work,
12 CAC condensing unit fans, room fans, and the furnace
13 inducer fans -- draft inducer fans.

14 Before I move on, does anybody have any
15 questions or comments regarding the Scope of
16 Applicability or proposed Scope of Applicability?

17 MR. WAGNER: Yes.

18 MR. BROOKMAN: Greg.

19 MR. WAGNER: Yes, I would just say that
20 back to the definition --

21 MR. BROOKMAN: Get close to the
22 microphone, Greg.

23 MR. WAGNER: Back to the definition. This
24 is different than what was outlined under the
25 legislation, the EPCA. In 6295F, it clearly defines

1 furnaces as what they are and this is different than
2 what was included in that language.

3 MR. BROOKMAN: Can you say how it's
4 different?

5 MR. WAGNER: It clearly says that it's for
6 furnaces and boilers. It doesn't include central
7 air conditioners. And it excludes certain other
8 items that want to be included in the scope of this.

9 MR. BROOKMAN: Okay.

10 MR. WAGNER: So if you go back to the
11 language of that, particularly under 4D, it covers
12 that, and we've commented on this before and will
13 supply those comments again, but it's expanded
14 beyond what was originally written in the
15 legislation.

16 MR. BROOKMAN: Okay. Roy?

17 MR. ROY: I Support what Greg Wagner is
18 saying. Again, Aniruddh Roy with AHRI. If you look
19 at the title of 42USC 6295F, it says, "Standards for
20 furnaces and boilers." And we feel that just the
21 heading and all the sub notes that follow,
22 everything covers either furnaces or boilers, and
23 the last sentence, D, is what's being referenced,
24 and we feel that what's being told to us in terms of
25 the Scope of Applicability just pertains to

1 residential furnaces only.

2 MR. BROOKMAN: Okay. Thanks for
3 remembering to turn off the microphones. That
4 helps. Dave, do you have a comment here? No.
5 Additional comments before we move on? Okay.

6 **Reference Standards and Test Methods**

7 MR. JASINSKI: Thank you. Next I'll
8 describe some of the primary reference standards
9 that we are incorporating by reference in the
10 proposed test procedure. In the framework document,
11 and in the framework public meeting, a large focus
12 of the discussion relevant to the test procedures
13 focused on identifying and finding relevant existing
14 industry standards. In comments from the framework
15 document meeting, and in subsequent work by DOE and
16 subsequent conversations with industry participants,
17 we've identified ANSI/AMCA 210-07 as a standard
18 that's very well known and used industry-wide to
19 measure performance of furnace fans. So for that
20 reason, DOE is proposing to incorporate by reference
21 ANSI/AMCA 210-07 to measure the active mode
22 performance of furnace fans in this test procedure.

23 And as Mohammed described earlier, EPCA
24 also requires that we consider standby and off mode
25 electrical consumption, so for that reason we also

1 have to establish -- DOE is also proposing to
2 establish DOE-established test methods for measuring
3 the standby and off mode electrical consumption of
4 certain products that this test procedure would be
5 applicable to. There's a little bit of a spoiler
6 here in the parenthetical for hydronic air handlers
7 only. As we'll get into detail a little bit later,
8 DOE is already considering and covering standby and
9 off mode electrical consumption in other rulemaking
10 activities for some products that would meet the
11 criteria outlined previously for this test
12 procedure.

13 MR. BROOKMAN: Craig.

14 MR. MESSMER: Hello, this is Craig
15 Messmer. I'm hoping you do elaborate more on why
16 it's just hydronic air handlers that have this. I
17 understand the gas furnaces are already measuring
18 this in another way. I wonder why they just didn't
19 have the same metric, FER, for everyone that
20 includes the standby and the off mode. So will that
21 be answered later?

22 MR. JASINSKI: Well, I will mention it.
23 If you look at the sub bullets here, the proposed
24 reference standard for the hydronic air handlers
25 will be to adopt the DOE standby and off mode test

1 procedure already in place or being finalized for
2 residential furnaces, which incorporates by
3 reference, the IEC standard 62-301, second edition.
4 But we will go into a little bit more detail about
5 the specifics of the rulemaking activities that are
6 applicable to standby and off mode for these
7 products.

8 MR. BROOKMAN: Charlie Stephens, and Jim
9 Vershaw is next in the queue. Charlie.

10 MR. STEPHENS: Charlie Stephens. I'm a
11 little confused here by what seems to be a bit of a
12 schizophrenic approach to what the covered product
13 is. I'm not sure how we leap from furnace fans to
14 air handlers here. I can understand standby energy
15 use by an air handler. I think that's pretty much
16 the case, a furnace or an indoor unit for a heat
17 pump system or a hydronic air handler. But I'm not
18 sure that applies to a furnace fan. It seems to me
19 that the product here -- it's either an air handler
20 or it's a furnace fan, and DOE has gone to some
21 trouble to exclude including air handlers and yet
22 here we're doing standby power for an air handler,
23 and I have to admit to being a little confused by
24 that.

25 MR. BROOKMAN: Okay. Thank you.

1 MR. JASINSKI: Can I -- just a follow up
2 question for that, Charlie. Would you mind just
3 kind of providing, since it is a new rule and there
4 aren't really established standard industry
5 definitions for a lot of the things that we might be
6 talking about, can you kind of provide your
7 distinction between an air handler versus a furnace
8 fan and so forth, just so everybody can really
9 understand the comment.

10 MR. STEPHENS: Sure. Charlie Stephens. I
11 kind of regard the furnace fan as a component of an
12 air handler, kind of like a pump is a component of a
13 clothes washer. It's -- the clothes washer has
14 standby energy consumption, but the pump probably
15 doesn't. It's a -- that's the kind of distinction
16 I'm making here, and I think we recommended in our
17 comments in the original framework proceeding, that
18 air handlers be considered the covered product, and
19 it seems DOE has gone out of their way not to
20 consider air handlers the covered product, and has
21 resorted to a fairly simple, including their
22 diagrams, of a furnace fan as not an air handler.
23 And so I'm trying to understand why, in a furnace
24 fan rulemaking, when they've done that, we're now
25 considering standby and off mode for an air handler,

1 any kind of air handler.

2 MR. BROOKMAN: Okay. Jim Vershaw is next.
3 Jim, unmute your machine, and talk loudly.

4 MR. VERSHAW: Okay. Talk loudly. All
5 right. Jim Vershaw, Ingersoll Rand. The first
6 comment I have has to do with the ASHRAE 51. It was
7 stated that that was used for furnace fans, and I
8 would disagree with that. If you look at the test
9 procedures that are required for air conditioning
10 and heat pump ... AHRI has authority, which
11 incorporates ASHRAE 37, ASHRAE 37 does incorporate
12 part of ASHRAE 51. However, the way the equipment
13 is -- the ductwork -- the way the static pressure is
14 measured, is totally ..., and if we continue down this
15 path using 51, we're going to have to -- all the
16 data we currently have on our books won't be
17 applicable. We'll have to redo all of it. And I
18 don't think that the way the equipment is used is
19 primarily conductive, you don't have to worry about
20 velocity pressures at a later time. So that's a
21 real issue for us, and I think you need to
22 reconsider using 51 for this testing.

23 As far as standby power goes, one of the
24 interesting things that happens with standby power
25 is you go to high efficiency motors and all of a

1 sudden your motor has standby power because there's
2 electronics, so there's kind of a catch-22 on this
3 whole thing. Thank you.

4 MR. BROOKMAN: Jim, are you finished? So
5 Jim, you had addressed both scope issues and the
6 burden issue, so I'm certain the Department would
7 appreciate your detailed comments in writing.

8 MR. JASINSKI: I also just have a quick
9 follow up for Jim. My question is sort of a
10 clarifying one. Jim brings up that to test air
11 conditioners they use, I think he mentioned
12 ANSI/AMCA 210-240 which references ASHRAE 37. One
13 distinction or clarification I'd like to make is
14 that while those products may be tested to --
15 according to those reference standards, a lot of the
16 product literature provides information about the
17 performance of fans used in the products mentioned.
18 And it's DOE's understanding, based on comments from
19 the framework document, and also footnotes in some
20 of the -- a lot of the product literature, that
21 those -- that that data which is usually in the form
22 of air flow measurements across a range of external
23 static pressures, that those are provided in accord
24 with -- or measured and provided in accordance with
25 ANSI/AMCA 210. I was just wondering if Jim and

1 other manufacturers in the room could either confirm
2 or correct me if I'm wrong about that.

3 MR. BROOKMAN: Jim, you want to start with
4 that?

5 MR. VERSHAW: Hi. Jim Vershaw here. The
6 nozzles and the plenum, and the way that the air
7 flow is measured is the same whether it's 37 or 51.
8 the way you measure static pressure according to
9 units of what the nozzles -- and we follow both 37
10 for ours, even though we do do a sweep of static
11 pressures and flow.

12 MR. JASINSKI: Okay. Thank you.

13 MR. BROOKMAN: Other comments? Yes, Greg.

14 MR. WAGNER: Greg Wagner. AMCA 210 is for
15 testing of fans, and not for appliances. I believe
16 you're trying to capture the energy use and
17 performance of appliances here, and that's where
18 this difference lies. ASHRAE 37 is done for the
19 testing of appliances and would be more apropos to
20 this type of a setup.

21 MR. BROOKMAN: Thank you.

22 MR. WAGNER: And that's what they tested,
23 by the way.

24 MR. BROOKMAN: Okay. Thanks. Do you have
25 any questions?

1 MR. JASINSKI: No. Any other comments or
2 questions before I move on. Okay. So in these
3 subsequent slides I'll talk in a little more detail
4 about exactly which parts of ANSI/AMCA 210 DOE is
5 proposing to incorporate by reference.

6 DOE is proposing to incorporate by
7 reference only the sections of ANSI 210 that are
8 required to calculate the proposed metric, which is
9 the fan efficiency metric, or I'll refer to it as
10 FER, and I'll get into more details about the
11 specifics of the metric later.

12 The sections that DOE is proposing to
13 incorporate and exclude are listed here. I won't
14 read all of them to you, because you have them for
15 reference, but the main take-away here is that the
16 sections that DOE is not incorporating are related
17 to the mechanical measurement of fan input power.
18 ANSI/AMCA 210 has provisions that measure fan input
19 power using a dynamometer and other mechanical
20 methods. And in the proposed test procedure, the
21 DOE proposed test procedure, we are actually going
22 to -- DOE is proposing to make modifications and
23 additions to replace those methods, as well as some
24 other additions.

25 So the additions that DOE is proposing to

1 make to ANSI/AMCA 210:

- 2 • First, to specify the range in increments of
3 external static pressure at which
4 determinations are made. ANSI/AMCA 210
5 defines the determination as a complete set
6 of measurements at a given operating point.
7 For the purposes of the proposed test, DOE
8 proposed test procedure, a determination
9 includes the measurement of air flow,
10 electrical energy consumption or input power
11 to the furnace fan, as well as external
12 static pressure. So any time you hear me
13 refer to a determination, I'm referring to
14 that set of three measurements which are
15 used to describe the performance of the fan
16 at a certain operating point.
- 17 • Secondly, DOE is proposing to add a
18 specification for measuring the input power
19 to the furnace fan using an electrical meter
20 with a plus or minus one percent accuracy of
21 observed readings. And as I mentioned
22 before, those are mainly to replace the
23 methods in Section 4.4 of ANSI/AMCA 210 that
24 are mainly mechanical methods of measuring

1 input power.

2 • And lastly, we're adding -- DOE is proposing
3 to add the specification of an electrical
4 supply that is maintained within one percent
5 of the highest nameplate voltage. There are
6 some products that meet the criteria for the
7 Scope of Applicability that may have two
8 nameplate voltages, one at 230, one at 208,
9 and this just specifies that it be
10 maintained at one percent of the higher. So
11 230 in that case.

12 Do we have any other comments or questions
13 before I get into the specific requests for comments
14 that DOE has.

15 MR. BROOKMAN: Yes, Adam, you're next.

16 MR. CHRISTIANSEN: This is Adam
17 Christiansen from the Appliance Standards Awareness
18 Project. Just so I'm clear of where the boundaries
19 for the measurement is occurring. AMCA 210 uses, as
20 you mentioned, the mechanical means of input power,
21 the shaft power to the fan. But it also a part of
22 that test procedure that you can calibrate the motor
23 in order to measure electrical input power, but
24 transform that measurement into a mechanical shaft

1 power.

2 MR. JASINSKI: Sure.

3 MR. CHRISTIANSEN: Is the Department
4 suggesting that kind of calibration of the motor as
5 well?

6 MR. JASINSKI: No, that would be part of
7 Section 4.4 and 4.5 which DOE is excluding.

8 MR. CHRISTIANSEN: So you're going from
9 the wires to the air pressure valve, that's the kind
10 of measurement you're talking about here.

11 MR. JASINSKI: The product itself would be
12 metered. The input power to the product would be
13 metered, yes.

14 MR. CHRISTIANSEN: Thanks.

15 MR. JASINSKI: Any others?

16 MR. BROOKMAN: Brian.

17 MR. JAMES: Brian James, California
18 Edison. Just to be clear, when you have like ECM
19 motors, that's going to provide the potential, in
20 some circumstances, some THD values that will throw
21 off a standard electrical meter, and so there's
22 certain meters that can handle that, and you'll
23 still obtain the plus or minus one percent accuracy.
24 But there are other meters that you're accuracy is
25 going to be totally thrown off and your measurements

1 are going to be useless if you have a THD as a
2 result. So just -- a THD, a total harmonic
3 distortion for that.

4 MR. JASINSKI: Can you provide maybe a
5 suggested tolerance or accuracy that should be
6 included in the specification to avoid any issues
7 with that?

8 MR. JAMES: Yeah, we can submit that in
9 our comments.

10 MR. JASINSKI: Okay. Thank you.

11 MR. BROOKMAN: I guess both of the last
12 two comments you were kind of questioning what I
13 thought was essentially the method, so detailed
14 comments on that would be very helpful.

15 MR. JASINSKI: Any others?

16 MR. BROOKMAN: Yes, Greg.

17 MR. WAGNER: The difference, again, in the
18 210 versus the equivalent ASHRAE 37, they have
19 velocity pressure difference and doing those
20 calculations et cetera, are just unnecessarily --
21 makes it complex and the ASHRAE 37 has a method for
22 doing a straight pressure method, which simplifies
23 this methodology.

24 MR. BROOKMAN: Okay.

25 MR. JASINSKI: I think Greg provided a

1 pretty good segue to an issue that DOE is
2 specifically requesting comment, and that has to do
3 with a couple clarifications regarding the
4 definition of external static pressure. In a lot of
5 product literature and conversations with industry,
6 the term external static pressure is used. However,
7 that term is not defined or explicitly stated in
8 ANSI/AMCA 210, and DOE is specifically requesting
9 comment on whether when manufacturers use the term
10 external static pressure, that they're actually
11 referring to what is defined as fan static pressure
12 in ANSI/AMCA 210.

13 And I provided here the definition from
14 ANSI/AMCA 210 of fan static pressure as well as the
15 proposed definition in the Notice of Proposed
16 Rulemaking for external static pressure which are
17 meant to be consistent with one another.

18 So the first question before going into
19 details of the definitions is just the clarification
20 from the industry participants as to whether or not,
21 when they refer to external static pressure in
22 product literature, are those values in accordance
23 with ANSI/AMCA 210's definition of fan static
24 pressure?

25 MR. BROOKMAN: Craig.

1 MR. MESSMER: This is Craig Messmer again.
2 We use ASHRAE 37, which is defined by just the
3 measure, external static pressure subtracted from
4 the supply and the return. We do not use AMCA, and
5 we don't see any need for that either. We specify
6 what the duct sizes have to be used for each air
7 handler and it's not a fan standard. We're not --

8 MR. JASINSKI: I think the next slide will
9 provide a little bit of clarification that seems to
10 be necessary.

11 MR. BROOKMAN: On this point, on issue 8,
12 Jim Vershaw has had his hand raised. Jim, you're
13 next. And Jim, if you can get close to whatever the
14 microphone is on your system, you were kind of
15 breaking up the last time you spoke. No? Jim's not
16 on, so we'll hear from him later, perhaps. Craig,
17 keep going.

18 MR. MESSMER: I'd like to make -- this is
19 Craig Messmer. I want to follow up with what I was
20 just saying. We compare the two differences in the
21 equations for external static pressure, and there is
22 a difference, and there is a significant difference,
23 and it makes the product look worse than it really
24 is. So we would again encourage you to use ASHRAE
25 37.

1 MR. JASINSKI: As a follow up to these --
2 to Craig's comment, I will just draw attention to
3 the part of the definition of external static
4 pressure that specifies that it's the difference
5 between the total pressure at the air outlet and the
6 total pressure at the air inlet, less the velocity
7 pressure. And on the next slide, I think this will
8 help because it provides a little bit more
9 visualization of exactly what we're describing.

10 And I think, to Harvey's comment earlier,
11 as well as some other comments about wrapping our
12 heads around exactly the Scope of Applicability and
13 the scope of the measurement, so to speak, you'll
14 see in the diagram here -- this is Figure 12 from
15 ANSI/AMCA 210, and this is the test setup that DOE
16 finds is very popular for taking the types of
17 measurements that we're describing in this test
18 method. And you'll see all the way to the left, a
19 box labeled "fan," and I think a lot of confusion
20 results from the fact that maybe -- maybe some
21 interested parties are misunderstanding that DOE is
22 not suggesting that the fan component be removed
23 from the product and tested in this setup. In fact,
24 the Notice attempts to explicitly state that the fan
25 be kept inside the HVAC product. So where you see

1 fan here, it would probably more appropriate to
2 label that as HVAC product. And then, so consider
3 that as either a furnace or a hydronic air handler,
4 or whatever else -- whatever HVAC product that
5 incorporates a furnace fan, would be in place of the
6 fan in this schematic.

7 And also pay attention to the planes are
8 labeled at the top, one, two, seven, and five. So
9 the pressure measurements are actually taken at
10 plane seven and plane one, and so the scope of the
11 measurements that a lot of people are referring to
12 with the modification that I just explained, these
13 measurements are actually taken outside of the HVAC
14 product, the product being the entire furnace, or
15 the entire modular blower, or the entire hydronic
16 air handler.

17 So, in fact, when we define and talk about
18 external static pressure in the context of the
19 proposed rule, we're actually talking about the
20 pressure drop across the entire HVAC product, not
21 just the fan inlet and the fan outlet which is
22 interior to the HVAC product, like prior to the heat
23 exchanger or whatever other appertances may be
24 downstream within the envelope.

25 MR. BROOKMAN: Thanks for that

1 explanation. Greg first.

2 MR. WAGNER: I don't want to speak
3 completely for the rest of the folks that do this
4 kind of testing, but I think they understand that
5 difference. What's different is that the 210 test
6 methodology, correction factor, all those things,
7 are designed for fans themselves.

8 MR. JASINSKI: Okay.

9 MR. WAGNER: ASHRAE 37 is designed for
10 appliances, and it's a different test standard.
11 It's one they conduct today and it makes sense for
12 that type of an appliance. AMCA 210, ASHREAE 51
13 makes sense for fan only. But I think they
14 understand what you're representing as a unit.

15 MR. BROOKMAN: So to be explicit, what are
16 you suggesting the DOE do in this case?

17 MR. WAGNER: Well, there's a lot of things
18 I suggest they do, but --

19 MR. BROOKMAN: On this specific issue.

20 MR. WAGNER: I can echo a lot of things I
21 already heard earlier today, but in this particular
22 thing, the 37 is more applicable to what you want to
23 accomplish along this path, than the 210.

24 MR. BROOKMAN: Okay. Harvey, you're next.

25 MR. SACHS: Sam, that diagram is really

1 important, and it has the term fan over there on the
2 left side, and I think I heard you say that means
3 air handler, is that correct?

4 MR. JASINSKI: Well, I'm not trying to
5 redefine fan. All I'm trying to explain is that in
6 the proposed DOE test procedure, which incorporates
7 ANSI/AMCA 210 by reference, in this diagram -- in
8 the ANSI/AMCA 210 diagram -- it's the -- the unit
9 under test is labeled as a fan here, and what I'm
10 trying to say is that when -- as it states in the
11 proposed test procedure which can be considered a
12 modification maybe to the methods that are in
13 ANSI/AMCA 210, DOE is specifying that the entire
14 HVAC product be the unit under test, that the fan is
15 not actually removed from the envelope or the
16 shroud, as you described it earlier, and then
17 tested.

18 MR. SACHS: Sam -- this is Harvey Sachs
19 again. I will apologize if that language is
20 actually in either the RFI or in this proposed test
21 method. I did not find it, and I feel I might have
22 wasted an entire rant earlier this morning. So this
23 needs to be -- if this is your intent, it needs to
24 be very clear, because I think I'm not the only one
25 in this room who misunderstood what you were

1 planning to do. As I read it in the RFI, it was the
2 motor, the impeller, and the shroud around it. And
3 I found no other definitions of the scope of this
4 test method.

5 MR. JASINSKI: When you refer to the RFI,
6 are you talking about the framework document?

7 MR. SACHS: Framework document, I'm sorry.
8 This is the -- I think I'll stop.

9 MR. JASINSKI: Just the --

10 MR. BROOKMAN: Well, Harvey --

11 MR. JASINSKI: Go ahead, Doug.

12 MR. BROOKMAN: No, you go ahead, Sam.

13 MR. JASINSKI: Just kind of a distinction.
14 In the definitions that are provided in the
15 framework document -- the framework document is
16 largely intended as a kickoff for the energy
17 conservation standard, and we happy to use the
18 framework document a little bit differently for
19 furnace fans, because, as Mohammed stated, this is s
20 somewhat unique rulemaking in that there are no
21 established test procedures and there's no current
22 standard. So the test procedure section and
23 discussion in the framework was beefed up a lot
24 because we wanted to use it as an opportunity to get
25 some preliminary feedback in regard to the test

1 methods. So I'll just say that in definitions in
2 the framework document, those definitions and Harvey
3 keeps referring to the specific components that were
4 listed as typically part of a fan, the intention of
5 that definition versus the Scope of Applicability of
6 the test procedure are -- they serve somewhat
7 different purposes.

8 MR. SACHS: I'm sorry -- this is Harvey
9 Sachs again. I've just leafed through the test
10 method again. There is no diagram that would help
11 me understand what you meant. There is no
12 definition. And you have asked this community,
13 including the manufacturers, to invest a great deal
14 of time to think about what y'all might have been
15 thinking about. I'm sorry, but it's disappointing.

16 MR. JASINSKI: If we can -- if I can find
17 that specific language I'll forward that to Harvey
18 after the meeting, and if it's not there, then I
19 apologize for the misunderstanding.

20 MR. BROOKMAN: I'm trying to get as much
21 understanding on the record, you know, sort of in a
22 coherent fashion here. So what I think I'm
23 interpreting, Sam's description using this figure in
24 PowerPoint slide 19 of the fan being integral or
25 part of the entire unit, that description I thought

1 that that was going to address some of the concerns
2 we heard earlier. Charlie?

3 MR. STEPHENS: My interpretation of what
4 I've heard just in the last few minutes is that DOE
5 is proposing to regulate furnace fans but test air
6 handlers. If they're proposing to test air
7 handlers, I would suggest that the testing of air
8 handlers is a lot more complicated than what's in
9 this diagram. I mean you have to start specifying
10 what appertances are now in the air stream in the
11 air handler, among other things, and you start
12 getting into things like cabinet leakage and all
13 kinds of other things that DOE has said they don't
14 want to deal with.

15 So I don't know how you can propose to
16 regulate a fan and test an air handler. That's a
17 little bit beyond me.

18 MR. BROOKMAN: Okay. Thank you. Do you
19 have anything else at this point?

20 MR. JASINSKI: No, just to go back to --

21 MR. BROOKMAN: The comment box?

22 MR. JASINSKI: -- yes, the comment box.

23 MR. BROOKMAN: To the comment box. Do
24 that. Because the Department still seeks additional
25 comment -- Frank Stanonik.

1 MR. STANONIK: Frank Stanonik, AHRI, sorry
2 I was a little late. Following up on Harvey's
3 comment, I mean, yeah, it would have been nice to
4 have this diagram but for some of us that are still
5 trying to sort out exactly what's being proposed
6 here, I would suggest that maybe we need a diagram
7 of how you would make these measurements on the
8 furnace. Yeah, this is all well and good, but if
9 we're going to something like this on the furnace,
10 you know, there's plenty of diagrams already in
11 ASHRAE 103. I think, you know, DOE, if they're
12 going to show a diagram of where these measurements
13 would be taken and everything else, then we wouldn't
14 have to guess about things.

15 MR. JASINSKI: Just as a quick follow up
16 maybe to some of the industry participants can help
17 me out. Is that -- in comments and in subsequent
18 discussions, DOE learned that a lot of manufacturers
19 use setups that are very similar to this. So if
20 there's a manufacturer that uses a setup that's very
21 similar to this, maybe in their written comment or
22 even in a follow up comment here, maybe they can
23 provide maybe some specific questions as to what's
24 confusing. Because DOE found that manufacturers and
25 industry participants and in also studies that were

1 conducted by industry participants that aren't
2 manufacturers, that these are methods that were
3 being used specifically to test setup. So maybe
4 someone that has had experience with testing like
5 this, which DOE did conduct some testing, so this is
6 the setup that we used and there didn't seem to be
7 this type of confusion. We were under the
8 impression that we were using very similar methods
9 to what was being used in industry to develop the
10 performance tables that can be found in a lot of
11 product literature. Maybe they can explain how what
12 they're doing is different than this diagram.

13 MR. BROOKMAN: Yes, Roy.

14 MR. ROY: Aniruddh Roy with AHRI. I want
15 to echo what Jim Vershaw and Greg Wagner said with
16 respect to the ANSI/AMCA standard 51 -- I'm sorry
17 the ASHRAE 51 and also the ASHRAE standard 37. It
18 all comes down again, to the scope, how the scope
19 has been interpreted over here. With respect to
20 central air conditioners and heat pumps, there are
21 federal test procedure does reference ASHRAE 37 and
22 so the external static pressure measurements by
23 manufacturers are made using the ASHRAE 37 standard.
24 Whereas now, just with AFUE and FER, we're now, for
25 furnaces, manufacturers will have to use two

1 different static pressure measurements, even the
2 central air conditioner and heat pump manufacturers
3 will be subject to two different standards and two
4 different external static pressure measurements. So
5 we would encourage DOE to look into that a little
6 further and we will submit comments on the
7 differences in standard air and the ESPs that are
8 referenced in 51 as well as ASHRAE 37.

9 MR. BROOKMAN: Okay.

10 MR. JASINSKI: As a follow up to that, I'd
11 also ask that in the written comments, referring to
12 my earlier request, that you also provide -- it
13 sounds to me like Jim Vershaw said that there are a
14 lot of similarities between the actual equipment and
15 test setups that are used in 37 and 210, and while
16 Roy brings up good points about their being
17 differences in how you adjust for standard air and
18 the external static pressures, if you could also
19 provide information about how maybe the test setups
20 in ANSI/AMCA 210 vary from what's being used as
21 specified in ASHRAE 37, as it pertains to specific
22 equipment, placement of the sensors, all those sorts
23 of things, because it's important to understand also
24 that the preliminary analysis that's in progress is
25 based upon the proposed test procedure that we have

1 here. So if there are differences in the test
2 setups between ASHRAE 37 and ANSI/AMCA 210, and
3 those differences might result in differences in the
4 values of ESP and air flow performance that are
5 provided in product literature, it's important for
6 DOE to understand why those values might be
7 different. And if they're not, we also need to know
8 that they're not different. And that was really the
9 driving motivation behind this question, is to
10 understand whether or not the values of ESP and air
11 flow performance that are provided in product
12 literature are different than what would result from
13 ANSI/AMCA 210.

14 I think I remember specifically some
15 comments saying that the actual values that you
16 measure using the two different test setups would
17 not be different.

18 MR. BROOKMAN: Greg.

19 MR. WAGNER: I will just comment that AMCA
20 210 again is designed for testing fans. It's not
21 for appliances. It does have a different test
22 methodology. The way that standard air is corrected
23 for is different than ASHRAE 37, and the output will
24 be different, so literature will be different than
25 what you're looking for. Again, AMCA 210 is a fan

1 industry standard for fans, separate from
2 appliances.

3 MR. BROOKMAN: Okay. Jim Vershaw wishes
4 to comment. Jim, please get close to the microphone
5 on your machine and speak loudly.

6 MR. VERSHAW: Okay. I'm on a cell phone
7 and --

8 MR. BROOKMAN: It's coming through. Yes,
9 that's better now, just speak loudly.

10 MR. VERSHAW: Okay. I'm going to
11 reiterate that 37 is correct. If you look at the
12 figure that's on the screen, 37 doesn't include the
13 PF7 measurement, that measurement is made closer to
14 the unit, that's the way it's done in 103 for the
15 test standard for furnaces. That's the way it's
16 done in the ... calculation, and we do not measure
17 velocity pressures because fundamentally you have ...
18 but they cancel out so there's no need for it, and
19 that's where the key difference is, as well as the
20 correction factors on the air. I think we did it
21 the other day, about half a percent difference in
22 air flow which ... that up when you start doing
23 enforcement on this. ... look at, because the
24 nozzles and everything to the right are all the
25 same, but it's the high external static pressure and

1 high stressed air flow, high ... unit which is key
2 here and that's what we want to be doing the same we
3 have to be doing for all other regulations. Thank
4 you.

5 MR. BROOKMAN: Okay. Thank you.

6 MR. JASINSKI: Thank you. That was sort
7 of what I was getting at, is comparing the test
8 setups, so more comments like that in written
9 comments would be very much appreciated.

10 MR. BROOKMAN: Are there any additional
11 comments that you see there, issue box number 7,
12 about the ANSI/AMCA 210-07 setups?

13 MR. JASINSKI: We're not quite there yet,
14 even though this conversation --

15 MR. BROOKMAN: Sorry, I flashed forward.

16 MR. JASINSKI: That's okay. I just didn't
17 want to provide more --

18 MR. BROOKMAN: We're talking about issue 8
19 which is on the previous slide --

20 MR. JASINSKI: One more clarification, and
21 this is related to the second part of the request
22 for comment, which is to provide feedback on the
23 actual definition that's proposed, and just to
24 provide a clarifying factor. A lot of -- some
25 clarifying information -- a lot of the comments back

1 are referring to negligible velocity pressure, and I
2 do just want to point out that -- or make sure to
3 clarify that in DOE's proposed definition, we're
4 also proposing a definition that excludes inlet
5 velocity pressure, and I sort of provided some
6 equations here above that describe, theoretically,
7 how someone -- how one would calculate an external
8 static pressure drop or static pressure difference.
9 And then below that I provided equations that
10 describe how the proposed definition in the NOPR, as
11 well as the definition in AMCA 210, describe how to
12 calculate this pressure -- a static pressure
13 difference. And I've highlighted in red the inlet
14 velocity pressure to show that that's excluded from
15 both the proposed NOPR definition and the ANSI/AMCA
16 210 definition, which, if I'm hearing comments from
17 interested parties correctly, that's accurate to
18 describe how it's done -- how these measurements are
19 taken currently, whether it be for ASHRAE 37 or
20 ANSI/AMCA 210.

21 MR. BROOKMAN: Let's just let that slide
22 sit for a moment. Those equations are not in the
23 PowerPoint deck.

24 MR. JASINSKI: Oh, I apologize.

25 MR. KHAN: There's been some sort of --

1 Mohammed Khan, DOE. We certainly apologize for the,
2 I guess, printer error here. I think if you go to
3 our web page and pull this presentation up, you will
4 definitely see all the terms to the equations there.
5 So, as you think about it and develop your written
6 comments, and want to refer back to this, please go
7 to the web page and pull it up. Thanks.

8 MR. BROOKMAN: So now with these equations
9 here, are there any additional comments before we
10 move on? Do you have anything else?

11 MR. JASINSKI: Yes, the ultimate question,
12 and whether someone wants to comment on this now, or
13 at least provide it in written comment later, the
14 ultimate question again is, there are a lot of terms
15 being thrown around for the static pressure, but
16 what's important to the Department of Energy is to
17 pay attention to the definition that we provide and
18 what that means for how these measurements were
19 taken, and we want to make sure that that's
20 appropriate, number one, and also if it isn't
21 appropriate, why? And if it is appropriate, we also
22 want to verify that the definition that we're
23 proposing, regardless of what we want to call it, is
24 consistent with how these measurements are -- the
25 measurements that are published in product

1 literature. So those are the two main points. Is
2 that we can call it something different if you'd
3 like, but the definition, how DOE is understanding
4 that these values are calculated and whether those
5 are consistent with how it's done in the industry,
6 those are the important aspects of this comment.

7 MR. BROOKMAN: Okay. We're about to move
8 on. Final comments on issue box 8, on slide 18.
9 Okay.

10 MR. JASINSKI: Thanks. And also, I think
11 there's a lot of slides that have equations or
12 things that may have gotten messed up when printing
13 them, so if that's the case, just let me know so I
14 can spend a little bit of extra time explaining them
15 if you need to, because since you haven't had time
16 to look at them previously.

17 So the next request for comment, which is
18 closely related to the one we were just discussing,
19 there was a lot of overlap, is that DOE recognizes
20 that ANSI/AMCA 210 includes 16 different setup
21 variations. DOE did not propose a specific
22 variation in the proposed test procedure. DOE
23 expects that the blow-through setups, such as the
24 test setup in figure 12, which was the same figure
25 that I showed in the previous slide may be more

1 appropriate than pull-through setups, like setup
2 number 13, because the blow-through setup is more
3 representative of how a typically HVAC installation.

4 So the request for comment, DOE would like
5 some feedback on which of the ANSI/AMCA 210 setups
6 are best suited for the types of testing that we are
7 proposing, and if there are any that are
8 inappropriate, whether they should specifically be
9 excluded from use in the proposed test procedure.
10 And this might be a good time to identify any that
11 are as closely related -- are more closely related
12 to ASHRAE 37 than others.

13 MR. BROOKMAN: Roy.

14 MR. ROY: We brought this issue up with
15 our industry and it looks like as far as blow-
16 through units are concerned, it might apply to non-
17 weatherized gas furnaces, but in the case of
18 weatherized and electric furnaces you do have some
19 units where there is a pull-through. And so we were
20 wondering how DOE, or whether DOE can provide some
21 specific data and justification before any test
22 setups are eliminated altogether from the final
23 rule.

24 MR. JASINSKI: Provide specific data
25 about?

1 MR. ROY: In the sense that -- in this
2 case it looks like the blow-through is going to be
3 the preference as far as the setup is concerned.
4 But you have, obviously, in the industry, units that
5 also do the pull-through. So how would we test for
6 those?

7 MR. JASINSKI: That's what we're asking
8 you. We would like to know if there are specific
9 setups that are, you know, you say that there are
10 both blow-through and pull-through. Is there a
11 specific setup variation in ANSI/AMCA 210 that the
12 industry prefers, or already uses for blow-through
13 and a different one for pull-through? And if so,
14 what are they? And explain why those specific ones
15 are used. And if there are setups in -- if any of
16 the 16 setups are inappropriate, we can explicitly
17 exclude those also.

18 MR. BROOKMAN: Craig.

19 MR. MESSMER: Craig Messmer. I think the
20 confusion is is that you're referring to something
21 that you use when you test the fan through AMCA 210.
22 When you do an air handler or furnace, it's a unit,
23 it's an appliance. Where we put the fan inside of
24 that box is up to us, depending on what kind of
25 appliance it is. That determines whether it's blow-

1 through or pull-through. Test setup itself doesn't
2 really take that into consideration, doesn't really
3 care.

4 MR. JASINSKI: As a follow-on to that,
5 maybe I should provide more clarification on what we
6 mean by blow-through and pull-through. In this
7 particular case, what I'm understanding Craig is
8 saying is that he's looking at blow-through and
9 pull-through in relation to where maybe the fan is
10 within the product related to the heat exchanger and
11 other things. When I refer -- when we refer to
12 blow-through and pull-through here, we're talking
13 about whether or not the fan is blowing air through
14 the duct work and central system, or whether it's
15 pulling it through that duct work or the central
16 system.

17 MR. BROOKMAN: Craig.

18 MR. MESSMER: Okay, let me -- most air
19 handlers do both. They have supply and return duct
20 system, so it's hard to distinguish whether you're
21 talking about a blow-through and pull-through
22 system. For sure, the supply side usually has the
23 higher static pressure, so a pressure drop. So if
24 that's your consideration on a blow-through, then
25 you would be accurate.

1 MR. BROOKMAN: Do existing test methods
2 specify -- do they differentiate between blow-
3 through and pull-through?

4 MR. MESSMER: No.

5 MR. BROOKMAN: They do not. Okay. Yes,
6 Adam. No?

7 MR. CHRISTIANSEN: I think AMCA 210
8 usually just has a ducted inlet or a ducted outlet,
9 and that's kind of how they prefer things. So
10 instead of it being -- I don't remember their being
11 a pull-through or a blow-through language. I could
12 have missed it if --

13 MR. JASINSKI: I think there are certain
14 setups where, I think in this case, the fan would be
15 -- the setup would be reversed and the air flow
16 would be reversed. That's what we mean by the pull-
17 through. Okay.

18 MR. BROOKMAN: NO, Craig, talk to us.
19 Confirmation is useful.

20 MR. MESSMER: I'm just going to agree with
21 what you're saying. I believe you're talking about
22 the test setup with the nozzles.

23 MR. JASINSKI: Yes.

24 MR. MESSMER: Okay. You're not talking
25 about the unit itself, whether you want to test the

1 fan on the left side or --

2 MR. JASINSKI: Yes.

3 MR. MESSMER: -- the right side of the air
4 nozzle chamber.-- the right side of the air nozzle
5 chamber.

6 MR. JASINSKI: Yes, thank you. I'm sorry
7 I wasn't more clear about that.

8 MR. MESSMER: That's what you're trying to
9 say --

10 MR. JASINSKI: Yes.

11 MR. MESSMER: -- I would have to agree,
12 from my experience, what you show on the slide
13 there, which is in the AMCA 210 standard, that's
14 where the drawing comes from, that's probably the
15 most common setup.

16 MR. JASINSKI: Thank you.

17 MR. BROOKMAN: Okay.

18 MR. JASINSKI: Any other comments
19 regarding the test setups?

20 MR. BROOKMAN: Yes, Roy.

21 MR. ROY: One clarification that we are
22 seeking is with respect to the filters. Does DOE
23 want the testing to be done with or without filters?

24 MR. JASINSKI: No, filters are included.

25 MR. BROOKMAN: Jim Vershaw, are you with

1 us, Jim? You're next.

2 MR. VERSHAW: Yes, this whole conversation
3 is really moot in my point. I don't think any of
4 the 16 setups are appropriate because they're not in
5 ASHRAE 37. If you use ASHRAE 37 this is the issue,
6 it's all defined how you setup the unit and how you
7 run the test. Now, as far as filters go, a lot of
8 furnaces are not shipped with filters, so what are
9 you going to use for filters if you have to put the
10 filters?

11 MR. JASINSKI: I'll make a clarification.
12 The --

13 MR. BROOKMAN: Not yet.

14 MR. JASINSKI: Sorry.

15 MR. BROOKMAN: Not yet. He's making a
16 very broad comment here and I want to see if anyone
17 has follow on. In fact, Jim, I noticed you were
18 nodding your head. I don't want to put you on the
19 spot, not really.

20 MR. STANONIK: Frank Stanonik, AHRI. And
21 again, I'm trying to catch up here and that's my
22 difficulty. But also the lines of what Jim Vershaw
23 was saying, and what Charlie Stephens said, yeah,
24 I'm trying to -- I'm still trying to relate this to
25 a furnace, and sitting here thinking I'm trying to

1 picture these residential installations that
2 somewhere in the system I've got this fan drawing
3 all the air through my duct system, and I'm having a
4 hard time envisioning those, because again, I just
5 keep taking -- I thought we were talking about a
6 furnace rule, and most of the furnaces I know, they
7 come with a fan and blower, and I think it's pushing
8 the air through somewhere.

9 MR. BROOKMAN: So this is a broad
10 conceptual point. Before we get to Sam's
11 clarification, additional comments on that? Yes,
12 Greg.

13 MR. WAGNER: Greg Wagner again. Yeah, I
14 think what Jim Vershaw said, we're starting from the
15 wrong standpoint. 210 doesn't apply to these
16 appliances. So doesn't matter what figure you
17 choose, should just go to a standard that applies to
18 how you test a furnace.

19 MR. BROOKMAN: Now, Sam, you were going to
20 clarify.

21 MR. JASINSKI: Sure. A couple. So to
22 Frank's comment, I think Craig did a better job of
23 explaining what I meant. I wasn't referring to
24 furnaces that pull through air through the entire
25 system. I was talking about, in relation to the

1 setup, whether the fan would be -- whether the
2 furnace would be to the right or to the left. So,
3 thank you, Craig, for that.

4 And then the other clarification I wanted
5 to make is that, to Roy's comment, and also Jim
6 mentioned that the filters being included. I
7 misspoke when I meant that the test setup included a
8 filter. I'll go -- later on in the presentation,
9 I'll refer to how filters are incorporated, and
10 actual physical filters, not necessary in the test
11 setup, but filters -- the pressure drop across a
12 filter will be included in the results of the test,
13 based on where we set the reference system external
14 static pressure. So the results will reflect
15 performance as if a filter was present, but it
16 doesn't need to be present -- it won't be present
17 during the test of the unit.

18 MR. BROOKMAN: Terry.

19 MR. SMALL: Terry Small, Mortex. So Sam
20 you're saying -- now I'm really confused. You're
21 saying that if the product doesn't normally ship
22 with a furnace, not to worry, it will be adjusted
23 for that.

24 MR. JASINSKI: Filter.

25 MR. SMALL: If the product ships with a

1 filter -- I'm sorry, I meant filter -- then take the
2 filter out before you test it, because it will be
3 incorporated later in the calculations. Is that
4 right?

5 MR. JASINSKI: Yes. And this might be a
6 good opportunity to --

7 MR. SMALL: And you all will be sure in
8 the enforcement phase to pull a filter out of there
9 before you test it?

10 MR. JASINSKI: If I'm there, I'll make
11 sure it's out.

12 MR. BROOKMAN: I'd like to make certain
13 that in this meeting today, to the extent possible,
14 everybody that's commenting can say what they think
15 the Department should do, how they should address
16 these issues. We're on that pathway some. I want
17 to make sure we stay on that path. Additional
18 comments on this series of issues? Okay. We're
19 going to move on.

20 MR. JASINSKI: The final question, or
21 request for comment regarding ANSI/AMCA 210 is
22 related to barometric pressure specifications. DOE
23 is aware that barometric pressure changes may have
24 an impact on the test measurements, and DOE notes
25 that ANSI/AMCA 210 standard does not appear to

1 include a correction for this effect. Well, it
2 might be more appropriate to say that the language
3 in ANSI/AMCA 210 is not strong enough to indicate
4 that it's a requirement to adjust for standard air
5 and therefore correct for any variations in
6 barometric pressure.

7 So DOE requests comment on whether any
8 limitations on the barometric pressure range, or any
9 additional adjustments should be specified in
10 ANSI/AMCA -- in the DOE proposed test procedure.

11 MR. BROOKMAN: Greg.

12 MR. WAGNER: AMCA 210 does clearly define
13 standard air and does have a correction for
14 barometric pressure. It is not an option. It is a
15 requirement.

16 MR. JASINSKI: Okay. In Section 7.9, I
17 think the language was something that air may be
18 corrected for something, so there may be is where
19 we're taking issue is that the question might be is
20 it -- if it's a standard industry practice to
21 correct for standard air, we want to verify that,
22 and also in the proposed DOE test procedure, if
23 that's an important part of the testing method,
24 which we suspect it is, we want to make sure that we
25 explicitly state it, or make that language stronger.

1 MR. WAGNER: Okay. It is in the standard
2 -- it says it shall be --

3 MR. JASINSKI: Okay.

4 MR. WAGNER: -- it's not arbitrary that
5 you do that, so it is written in that language. I
6 have a copy of it here if you want --

7 MR. JASINSKI: Now this might be a good
8 time to raise the question of what and how -- the
9 impacts of the differences between how -- how you
10 correct for standard air according to AMCA 210
11 versus ASHRAE 37, which, you know, if someone would
12 like to provide an explanation now or just in
13 written comment, that's something that sounds like
14 will be important.

15 MR. WAGNER: I'll go again -- Greg Wagner
16 again. AMCA 210 does a -- it treats the correction
17 factor as a constant volume machine that you're
18 pumping out a constant volume of air, and so it
19 assumes that if you correct to standard density that
20 you adjust it as if it's constant volume. The
21 ASHRAE 37 corrects it as a constant mass flow
22 equation, so it adjusts differently, so the two of
23 them go in opposite directions, and so that may be
24 why you see some differences between the numbers
25 you've been looking at versus what you see in

1 published literature. Neither one of them are
2 wrong. They're just differences on how it's done
3 from a fan perspective, it should be treated as a
4 constant volume device. From a stand alone
5 appliance, it is power limited, it should be treated
6 as a mass flow device, which is really what you're
7 trying to figure out from a heat transfer standpoint
8 in a furnace, air conditioner, et cetera, you want a
9 mass flow ...

10 MR. JASINSKI: Thank you.

11 MR. BROOKMAN: Thank you.

12 MR. JASINSKI: Yeah, I'd just like to
13 point out that that's a model comment, because
14 explanations like that really help us in, not only
15 figuring out the appropriate way to do things, but
16 also why they're being done. So comments that are
17 detailed like that are very appreciated. Thank you,
18 Greg. Any other comments regarding the barometric
19 pressure adjustments?

20 MR. BROOKMAN: And particularly if there
21 are any comments that have a different perspective.
22 Nothing additional. Okay.

23 MR. JASINSKI: Thank you. So moving away
24 from the active mode reference standard, I'll speak
25 a little bit about the standby and off mode test

1 procedure. As was mentioned earlier, pursuant to
2 EPCA, DOE is proposing to establish standby and off
3 mode electrical energy consumption test methods. In
4 this test procedure, however, DOE is already
5 addressing standby and off mode electrical energy
6 consumption in many products that are included in
7 the Scope of Applicability. Those products
8 generally fall into the category of residential
9 furnaces, and residential CAC.

10 So this table here provides a brief
11 summary of DOE's latest rulemaking activities.
12 There are a lot more and there's a similar table in
13 the actual notice that provides a lot more detail
14 about the history of the rulemaking activities as
15 they relate to standby and off mode for residential
16 furnaces and CAC. However, DOE does not currently
17 have test procedures or a standard that considers
18 standby and off mode consumption for hydronic air
19 handlers, so as a result, DOE is proposing to
20 establish those methods in this test procedure.

21 MR. BROOKMAN: Terry.

22 MR. SMALL: Terry Small, Mortex. And
23 maybe this was discussed in the framework, but that
24 was two years ago, but I'm trying to understand. It
25 seems to me, and correct me if I'm wrong, but the

1 standby and off mode was something that DOE was
2 required to include, but only for those products
3 that are in the scope that they covered, product
4 classes. And I've yet to find where it says that
5 hydronic air handlers are in a product class or ever
6 even mentioned at all. So I guess what I'm trying
7 to understand -- am I wrong, or is this something
8 that it's not a product class but it's being made
9 applicable to what we're talking about today? Maybe
10 this is an authority thing. I don't know.

11 MR. BROOKMAN: Eric Stas.

12 MR. STAS: Eric Stas, DOE. I mean the
13 EPCA requirements says that in any final rule for
14 standards after July 1, 2010, the standards have to
15 account for standby and off modes. So any product
16 standards we're setting after that time -- if we're
17 setting a product standard that includes the air
18 handlers, there has to be standby and off accounted
19 for.

20 MR. SMALL: Well, Eric, I'm wondering,
21 though, I thought that pertained to the product
22 classes that are being regulated. Or the product
23 classes that are spelled out in the regulations that
24 come before. See, hydronic air handlers, I don't
25 believe have ever been considered. It's a different

1 beast, I believe, than anything that's ever been
2 listed as a product class.

3 MR. JASINSKI: I'll just --

4 MR. SMALL: Maybe I'm wrong about that.

5 MR. JASINSKI: No, you're not wrong. I'll
6 just remind everybody that the product classes are
7 something that are established as part of the Energy
8 Conservation Standard, which is a separate, but
9 obviously very related rulemaking, which is being
10 conducted simultaneously. And the preliminary
11 analysis which will identify product classes is
12 something that's being finalized now. So you're not
13 wrong in saying that hydronic air handlers have
14 never been identified as a product class, but that's
15 something that will occur.

16 So to your question, though, I think is
17 that hydronic air handlers are an example of
18 something that meets the Scope of Applicability
19 criteria that I outlined earlier, and it meets that
20 criteria, but DOE does not have any current
21 activities to set energy conservation standards or
22 establish test procedures for standby and off mode
23 for those products. So that's why they're singled
24 out here.

25 MR. STAS: Eric Stas again. The specific

1 language of the statute says "any final rule
2 establishing or advising a standard for a covered
3 product," so that doesn't speak to a specific
4 product class. So if we have authority to cover
5 hydronic air handlers as a covered product at all,
6 then they have to account for the standby.

7 MR. SMALL: So you all have the authority
8 to cover the product. It just hasn't been covered
9 before. And what I'm hearing is we're talking about
10 the test procedure today, which could be applicable
11 to this type of product, which isn't covered yet,
12 but you all have the authority to -- and the Energy
13 Conservation Standards you're also working on will
14 add it to the list, in effect? Or am I just really
15 confused?

16 MS. STAS: I think that's a pretty good
17 statement. So we'll look forward to your written
18 comments.

19 MR. SMALL: Okay. Thank you.

20 MR. BROOKMAN: Harvey Sachs.

21 MR. SACHS: Harvey Sachs, ACEEE. Going
22 back to slide 8, I think part of our confusion which
23 will ultimately have to be resolved by the
24 theologians and lawyers is the first sub bullet
25 under 42USC dah-dah-dah-dah. Standards for

1 electricity used for purposes of circulating air
2 through ductwork hereinafter referred to as furnace
3 fans. So the real question underlying Terry's
4 concern goes back to whether furnace fan is
5 shorthand for air handler, which we've suggested we
6 think it is, and certainly not everyone agrees. But
7 I certainly am getting the impression from Sam as
8 constructed from his presentation this morning, that
9 the Department's interpretation is that furnace fan
10 equals air handler, including its ... Thank you.

11 MR. BROOKMAN: Go ahead, Frank.

12 MR. STANONIK: Frank Stanonik. Just a
13 quick follow up to that because I was just looking
14 at the proposed definition of furnace fan, and as I
15 read that definition, it says "electrically powered
16 device used in residential central heating,
17 ventilation and air conditioning systems for the
18 purpose of circulating air through the ductwork."
19 So if I had a device that was only an air
20 conditioner, only an air conditioner, and the device
21 that's moving the air through that product has now
22 been defined as a furnace fan.

23 MR. BROOKMAN: That last comment was from
24 Harvey, and now to Roy. And Jim, you're next in the
25 queue after Roy.

1 MR. ROY: My name is Roy, AHRI. One thing
2 we want to point out here is since we are discussing
3 the various HVAC products that are covered by the
4 scope of this NOPR, with respect to SEER and HSPF
5 for air conditioners and heat pumps, they're already
6 capturing the electrical consumption of the furnace
7 fan, or the air handler. So how does DOE propose to
8 take that into account, given that now the FER
9 covers those products as well?

10 MR. JASINSKI: So just as a follow up to
11 that, I think will apply both to Roy's question and
12 a lot of the other comments that we're receiving, is
13 to provide a little background on the approach that
14 DOE took to determine the Scope of Applicability.
15 The Scope of Applicability in this case is taken
16 directly from the statutory language. So as
17 everyone has pointed out, the statutory language is
18 sufficiently broad to include a lot of products, and
19 the statutory language sort of translates up -- I'll
20 go back to slide 8 -- here. So that broad language
21 is interpreted by DOE to -- in this resulting Scope
22 of Applicability.

23 And the approach for the test procedure,
24 as Mohammed explained, this is somewhat of a unique
25 project because it's never -- it has never been

1 regulated by DOE before. In a typical rulemaking
2 process, you have the luxury of having either an
3 established -- previously established standard, or a
4 previously established test procedure in which the
5 scope of coverage and all these other issues are --
6 there's at least a framework for them. That's not
7 the case here.

8 So the approach for the test procedure was
9 to come up with a Scope of Applicability that was
10 sufficiently broad so as to not predetermine which
11 products would be covered in the energy conservation
12 standard. So the issue of scope of coverage of the
13 SEER and other cumulative regulatory burden, and
14 things of that nature, will be brought up in the
15 preliminary analysis of the energy conservation
16 standard.

17 MR. BROOKMAN: Craig.

18 MR. MESSMER: Thank you for the slide --
19 number 22. You point out modular blowers -- we
20 don't make gas furnaces, so I wasn't paying
21 attention to that SNOPR last year. What does that
22 mean, modular blowers?

23 MR. JASINSKI: Modular blower in this case
24 is essentially a fan -- in a lot of these products,
25 such as a gas furnace, or even a central air

1 conditioner, within that product there is the
2 furnace fan or the air that circulates the air
3 through the ductwork, and then the other components
4 include heat exchangers, and things of that nature.
5 A modular blower in this case just refers to a fan
6 box, essentially, where the component is limited
7 just to the circulation fan, which is designed to
8 either stand alone or be paired with the coil -- a
9 central air conditioner coil only unit.

10 MR. MESSMER: Craig Messmer again. Does
11 that mean that it's not addressed in this rulemaking
12 at all?

13 MR. JASINSKI: A modular blower that meets
14 the criteria of the Scope of Applicability would be
15 -- this test procedure could be applied to a modular
16 lower that meets those criteria.

17 MR. MESSMER: Can you repeat that again?
18 I'm sorry.

19 MR. JASINSKI: The short answer is this
20 test procedure, yes, could be -- you could use this
21 test procedure to rate the performance of modular
22 blower.

23 MR. MESSMER: Okay. So this test
24 procedure applies to modular blowers?

25 MR. JASINSKI: Yes.

1 MR. MESSMER: Thank you.

2 MR. BROOKMAN: Terry.

3 MR. SMALL: Sam, am I hearing --

4 MR. BROOKMAN: Just a second.

5 MR. JASINSKI: I think Eric wanted to --

6 MR. STAS: Eric Stas, DOE. I think the
7 confusion might be here that this is talking
8 specifically about the standby and off mode. All
9 these things would be included in the standards, but
10 the hydronic air handler is the only one that's
11 needing a separate piece for the standby. Does that
12 help?

13 MR. MESSMER: Yes, it clarifies that,
14 although I would now make a recommendation that the
15 standby losses be -- the modular blowers be put
16 under the same standby loss measurement as the
17 hydronic air handlers.

18 MR. BROOKMAN: Okay. Mohammed.

19 MR. MESSMER: Don't treat them separately.

20 MR. KHAN: Mohammed Khan, DOE. Can we go
21 back to slide 13, Sam, please?

22 MR. JASINSKI: Sure.

23 MR. KHAN: And I appreciate your question
24 and concern, and I understand why there might be --
25 well, I understand the basis of the question. And

1 on slide 13 at the top here, we indicate heat
2 capacities of 225,000 and cooling capacities of
3 65,000, right. And as Sam already described what a
4 modular air handler is, those seemingly would not
5 apply.

6 And then we also talk about a CFM, which
7 certainly would apply. So to answer your question,
8 yeah, it's not just limited to the heating and
9 cooling capacities, but also the air flow,
10 volumetric capacity as well.

11 MR. BROOKMAN: Craig.

12 MR. MESSMER: Yes, Craig Messmer. Thank
13 you. I think I'm clarified on the test procedure
14 for the fan efficiency rating, or whatever that is.
15 But this is -- to your point, this is about standby
16 losses?

17 MR. JASINSKI: Yes, the slide that we were
18 on, yes.

19 MR. MESSMER: Okay. It's being addressed
20 in a separate rule? I apologize, I'm not familiar
21 with that separate rule, so I'm just going to make a
22 recommendation that you just put the modular blowers
23 inside the same box as hydronic air handlers. I
24 think it would be better.

25 MR. BROOKMAN: Okay. Jim Vershaw, thank

1 you for being patient. You're next.

2 MR. VERSHAW: Okay. Jim Vershaw,
3 Ingersoll Rand. I've got a question about the
4 definition of a hydronic air handler. I read in the
5 Federal Register and I'm wondering if a heat pump
6 air handler that has an accessory that instead of
7 putting electric heat in, you could put in a
8 hydronic coil, would then that classify as a
9 hydronic air handler? Or would it only be a
10 hydronic air handler when it has the accessory in
11 it, or would it be a hydronic air handler at all?

12 MR. JASINSKI: I think I'll have to look
13 at the exact definitions in the CFR, but I think
14 that the hydronic air handler definition describes
15 it as -- defines it as a furnace, so it includes the
16 official definition of a furnace. And I believe in
17 the CFR definition of a furnace, there's a -- the
18 operative word is it's primary function is to
19 provide heat through various methods, and I think it
20 lists, you know, electrical furnace, oil, gas. So
21 in this case, I, you know, this is a proposed rule,
22 so it's something to consider, but the intent here
23 was that a hydronic air handler would be defined as
24 something where its primary source for heating would
25 be the hot water source and the hydronic coils. So

1 in the case of the hypothetical product -- well,
2 maybe not hypothetical -- the product that you're
3 talking about, a heat pump that has an accessory,
4 that accessory, I think, would disqualify it as
5 being the primary source of heat unless maybe the
6 heat capacity of the hydronic coil or the use of the
7 hydronic coil was significantly -- designed to be
8 used significantly more than the heat provided by
9 the heat pump.

10 MR. BROOKMAN: Jim, what would you suggest
11 that the Department do with the product you
12 described?

13 MR. VERSHAW: I'm trying to get the
14 definition in my mind before I come up with a
15 conclusion on this.

16 MR. JASINSKI: Well, if you want to
17 provide a suggested definition in your written
18 comment, that would be very helpful.

19 MR. VERSHAW: Yeah, I'm going to reserve
20 that to the written comments. However, if it is
21 included, just to beat a dead horse, 37 is the way
22 to go because we're already doing all the other
23 tests under 37, not 51.

24 MR. BROOKMAN: Thank you. Charlie
25 Stephens.

1 MR. STEPHENS: Charlie Stephens. I've
2 actually specified and overseen the installation of
3 a number of these products from a few manufacturers,
4 and to follow up on Jim's comment. It's the same
5 product in many cases that would have a heat pump
6 coil in it, or would have backup electric strip heat
7 in it, only in some cases, or a hydronic coil. But
8 this is a test procedure discussion and I'm
9 wondering how the Department will specify that that
10 product be tested, given that they're proposing to
11 test an air handler rather than a fan. If you were
12 testing the fan, it would be fairly simple. Once
13 you're testing an air handler, which of those coils
14 should be in it when it's tested, or does the
15 manufacturer have to test it with each of them in
16 it, separately?

17 MR. BROOKMAN: Terry.

18 MR. SMALL: Terry Small, Mortex. Are you
19 aware, Sam, there's a product for instance, under
20 65,000 BTU it would be, I guess considered an air
21 handler. It would have an A coil, an A water coil.
22 It would be for a four pipe application where, you
23 know, in the winter you're running hot water through
24 the coil, i.e., a hydronic. And in the summer,
25 you're running chilled water through the coil.

1 Under 65, maybe in an apartment building. Is that
2 covered by this?

3 MR. JASINSKI: That would be considered a
4 hydronic air handler by meeting the criteria for the
5 Scope of Applicability, and also the proposed
6 definition of hydronic air handler.

7 MR. BROOKMAN: Harvey Sachs.

8 MR. SACHS: Sam, you may be right, but if
9 I'm understanding Terry's description, it might also
10 be considered commercial product as a terminal unit.

11 MR. JASINSKI: You're saying these are
12 installed in residences or --

13 MR. SACHS: It was stated to be --

14 MR. SMALL: In multifamily or, you know,
15 duplexes, quadplexes, I don't know.

16 MR. SACHS: But by the time we're talking
17 about a chilled water source, it's a unit that's
18 very uncommon in residential applications, and he's
19 talking about a four-pipe installation with separate
20 chilled water and heated water loops, and this -- it
21 doesn't sound to me like a widespread residential
22 product, but it's your product.

23 MR. SMALL: It would not be, but it seems
24 to me that if we're testing -- if we've got some
25 hydronic air handlers that do not have cooling coils

1 in them, but then if we've got some hydronic air
2 handlers that have a circuitry in the coil that is
3 also for chilled water, those will be highly
4 penalized for your IFER calculation, because the
5 other ones don't really have a cooling coil in place
6 when they're tested.

7 MR. BROOKMAN: I saw Frank Stanonik.
8 You're next. Pardon me, for the record, that was
9 Terry Small just speaking, now Frank.

10 MR. STANONIK: I just had a -- Terry
11 raised a very interesting question, and what no one
12 has said is, so if you will, what is the machine
13 that's providing either the hot water or the cold
14 water -- the cooled water, whatever. I mean, again,
15 for multifamily installation, and you have whatever
16 you want to call it, a commercial sized piece of
17 equipment, boiler or chiller or whatever, that's
18 circulating the equipment, then I'm really puzzled
19 why this rulemaking would address that unit.

20 MR. BROOKMAN: Terry.

21 MR. SMALL: Terry again. Sam, aren't you
22 really saying when you say 65,000 BTUs, hopefully
23 you're talking about the capacity of the overall
24 system that is pumping the refrigerant or the
25 chilled water -- I mean this could be -- I mean you

1 have a veritable refrigerant flow commercial system,
2 which the individual cassettes are 12,000 BTUs, but
3 the unit sitting on the outside is ten tons. So,
4 maybe the definition needs to drill down into the
5 fact that the machine that's actually, you know,
6 sending the water, sending the refrigerant,
7 whatever, that that's what the capacity limitation
8 is based on.

9 MR. BROOKMAN: Charlie. Charlie Stephens.

10 MR. STEPHENS: Yeah, I mean at the very
11 least you're going to have to sort this out. I mean
12 the ones I specify typically, the hydronic air
13 handlers are -- it's one coil, hot and chilled water
14 in the same circuit. It's a heat pump based system.
15 But it might be a two roll coil, it might be a four
16 roll coil. Capacity might range anywhere from
17 16,000 to 48,000 BTU per hour. And the coil is
18 different. It fits in a pretty standard product,
19 variable speed air handler from some of the major
20 manufacturers that you can put a hydronic coil in or
21 you can put a refrigerant coil, or you can put
22 electric strip heat. It's the same fan, but it's
23 got different stuff in the cabinet and I'm just
24 wondering how many variations of this thing do you
25 have to test in order to characterize the energy

1 efficiency of the thing.

2 MR. BROOKMAN: Harvey, can you summarize
3 what the Department should do?

4 MR. SACHS: I think the most important
5 thing the Department could do is decide whether it's
6 regulating furnace fans or air handlers, and then
7 test accordingly. Because what I'm hearing here is
8 kind of a mixture of things, and if you're going to
9 test fans, I would use a different -- I would
10 reference different test methods and I would use
11 different test procedures than if I was going to
12 test an air handler. What I've seen so far is
13 incompletely specified.

14 MR. BROOKMAN: Frank Stanonik.

15 MR. STANONIK: A couple points. I'm going
16 to tie into Charlie's but you had the slide up about
17 the scope of coverage, and Andrew informs me we had
18 made a very general statement at the beginning, and
19 you were citing what the CFR has as far as scope of
20 coverage. But our reading of the federal law is
21 that all of these requirements were under the
22 headings of standards for furnaces and boilers. And
23 so we've got a real -- and we will provide comments
24 to better delineate this -- but we've got a real
25 concern that what DOE has seen as the scope of their

1 coverage is not consistent with the authority that
2 Congress gave them. And so tying into Charlie's
3 comment, I agree, you know, you need to decide what
4 you're going to address here and if you are going to
5 address air handlers, which at this point
6 necessarily you have the authority to do, but if you
7 are going to address air handlers, think about it
8 this way. These other things about hydronic air
9 handlers, what -- those are all heat exchangers.
10 Those are basically heat exchangers. So if you're
11 going to address the air handler and you're
12 interested in what that furnace fan -- what that fan
13 is doing, then figure out a procedure to simply
14 measure what the fan, combination fan/motor is doing
15 and account for the heat exchanges that might be in
16 the box. But to interject here requirement for
17 hydronic air handlers or modulars that you've never
18 addressed before in any other rulemakings is, as I
19 will say, as part of what is significantly
20 complicating this rulemaking.

21 MR. BROOKMAN: Thanks, Frank. Craig.

22 MR. MESSMER: Not to complicate -- this is
23 Craig Messmer. Not to complicate it further, but
24 the definition in the publication says hydronic is
25 for heating air ducts. What about cooling only?

1 The water coil? Is that still a hydronic system?

2 MR. BROOKMAN: Okay.

3 MR. JASINSKI: As a general follow on, in
4 terms of how to define hydronic air handlers, my
5 recollection is that during the framework public
6 meeting, this was a product that was brought to
7 DOE's attention from interested party comments. I
8 believe it was from Charlie Stephens, actually, and
9 there was some back and forth about the
10 commercialization of these types of products and
11 what the nature of these products were, during that
12 public meeting. So there is -- in essence, I think
13 that over the past couple of years they have, I
14 guess, become more -- more variations have become
15 commercialized. So it's important -- and not just
16 for hydronic air handlers, but especially hydronic
17 air handlers, because they are somewhat of a new
18 application, it's important to provide information
19 like Terry did, about the different variations that
20 are available in your written comments if you can
21 highlight specific models so that DOE can consider
22 all these variations and their impact on what the
23 definitions of these products should be, and how
24 they should be considered in the rulemaking. That
25 will be very helpful.

1 MR. BROOKMAN: Greg, want to comment?

2 MR. WAGNER: Yeah, I just want to go back
3 to the scope thing. This is going beyond what was
4 defined in the law. As the folks at AHRI said,
5 6295F.4.D clearly defines what this scope is
6 covering, and it doesn't cover a lot of the things
7 on your list here, including the things we're having
8 discussions about. And that's very clearly written
9 in the law, despite what I heard a lot of ambiguity,
10 and your representation of what the definition says
11 in today's meeting.

12 MR. BROOKMAN: Thank you. Let's move on
13 to the next slide.

14 MR. JASINSKI: I actually had one more
15 follow up question, Doug. Frank, you mentioned --
16 you sort of provided a little bit of a guideline as
17 to the different approaches that DOE could take, and
18 it reflects some of the things that other people are
19 saying, and I'm just wondering if -- there was some
20 confusion as to whether we're just testing the fan,
21 or we're testing the entire HVAC product, whether it
22 be a furnace, hydronic air handler, or whatever. Do
23 -- it would be good to hear from interested parties
24 whether they have input as to which one we should be
25 doing. Should we just be testing the fans

1 themselves and providing a rating specifically for
2 the fan, and not the -- not while it's installed in
3 the HVAC product, which is similar, I think, to one
4 of the approaches you addressed; or the approach
5 that's proposed in the Notice of Proposed
6 Rulemaking, albeit maybe not explicitly enough, that
7 the unit be tested with the furnace fan integrated
8 in the HVAC product as it is in the factory.

9 MR. BROOKMAN: Terry.

10 MR. SMALL: I think what's interesting is
11 that motors, which everybody would know -- nobody
12 puts a -- plugs in a motor and just lets the motor
13 spin without a load on it, right. It wouldn't work,
14 probably. So motors are definitely a component that
15 go in a lot of other products, et cetera. Fans,
16 blower housings, fan wheels, and the motor -- I
17 think most of us would consider as a component. And
18 on one hand you're advocating doing something for a
19 modular blower, which is really -- I guess that
20 would be a blower housing, a blower wheel and a
21 motor, maybe with or without a piece of sheet metal
22 around it -- that's kind of almost getting very
23 close to a component. And then on the other hand,
24 you're advocating products that are not even covered
25 yet -- and they're all so different. I really

1 wonder, and I'm not going to commit myself to it,
2 but I do wonder if we're all very interested in the
3 efficiency of a motor as a component, and that's
4 been an important part of the energy efficiency
5 effort over the years, maybe we should just consider
6 the fan-blower-motor and, you know, because I mean,
7 obviously, the motors get applied into products, the
8 fan assembly and all that can get applied into a
9 product -- probably make your rulemaking easier.

10 MR. BROOKMAN: Harvey.

11 MR. SACHS: Harvey Sachs, ACEEE. The
12 approach that we've recommended in the initial -- in
13 response to the initial framework document, was to
14 think about this as the virtual appliance. Our
15 interest, as an efficiency community, is not in
16 maximizing the testing burden, but in opening the
17 paths for the most cost-effective ways to improve
18 efficiency. One of these, as Terry has noted, is of
19 course the selection of motor type. We think there
20 are also opportunities in fans. But clearly the
21 Department's own research has shown that another
22 major effect is simply the impact of the
23 aerodynamics of the cabinet as it interacts with the
24 fan.

25 So it would like to have a system which

1 encourages what might be relatively low cost ways to
2 capture efficiencies there. We recognize that there
3 are issues in terms of manufacturers desire to be
4 able to have the air come to that appliance, say a
5 furnace, from below or either side. We don't know
6 that this is an easy engineering problem, but that
7 was what has influenced our thinking. And from that
8 thinking, our proposal has been that the Department
9 consider assigning sort of standard, internal
10 pressure drops for components that might be size-
11 dependent, capacity-dependent, but an allowance for
12 testing with some sort of a default filter that's
13 defined, some sort of a default heat exchanger, and
14 a coil that are defined. With that information,
15 those who wish to move to higher performance, such
16 as the ACCA contractors and who wish to utilize the
17 kind of data that AHRI is committed to releasing, on
18 BIN performance, for example, will have the tools
19 and the manufacturers will have the encouragement
20 for innovation that may lead to capturing some low
21 cost energy efficiency opportunities. This doesn't
22 have to be perfect. It does have to be usable.

23 And we encourage the Department to think
24 about things that do provide that balance and do
25 give us numbers that can be used to reference

1 alternative heat exchangers, for example, that have
2 minimum testing burden and maximum applicability.
3 We're not seeing progress in that direction. Thank
4 you.

5 MR. JASINSKI: Well, actually I just have
6 one follow up for that, is that I wonder if any
7 manufacturers or other industry participants have
8 any thoughts on the method that Harvey just
9 presented, which was to, if I'm understanding
10 correctly, maybe test the fan outside of the HVAC
11 product but have standardized values for the
12 external static pressure drops that would be
13 representative of heat exchangers and other internal
14 components included in the reference system.

15 MR. SACHS: Sam -- this is Harvey. Sam, I
16 believe that you have completely misinterpreted what
17 I tried to say, and that may have been my fault as
18 the transmitter. I am extremely interested in the
19 aerodynamics of the cabinet. I cannot get to that
20 by testing the fan in vitro, removed from the
21 cabinet. I'm quite happy to think in terms of
22 standard pressure drops for the components
23 downstream which, for example, means you can test it
24 with those in place or with those removed. But the
25 goal of those who adopted this in legislative

1 language does not seem to me to allow the approach
2 that you just described.

3 MR. JASINSKI: Okay. So I'm just trying
4 to put your approach in maybe practical terms. So
5 instead, testing the fan while it's integrated in
6 the HVAC product, but maybe moving the pressure
7 sensors so that you don't capture the actual
8 pressure drop of internal components, and instead,
9 add in representative values so that you capture
10 aerodynamics but also the pressure drop of the heat
11 exchanger and other internal components?

12 MR. SACHS: This is Harvey. I may not
13 have looked at enough furnaces and other air
14 handlers, but in the six inches between the exit
15 from the centrifugal fan and the heat exchanger for
16 the furnace, I don't know what magic I would have to
17 use to settle the air enough to make a measurement.

18 MR. BROOKMAN: Craig.

19 MR. MESSMER: Harvey, we wish we had six
20 inches between the blower and the furnace. So from
21 your lips to manufacturers' ears. But that's
22 another story, for another time. To address the
23 issue, I guess a little bit of what Harvey's getting
24 at, the fan really does need to be part of a system,
25 and the effect of the system components upon the

1 performance of the fan is highly indicative of how
2 its energy consumption is going to be. And removing
3 and testing it individually, I don't know how you
4 would get a good enough value to determine whether
5 or not it's good for any application at all. It
6 really does need to be part of the appliance. In
7 fact, you know, later on we're going to get into how
8 it's being tested, but it's also important to test
9 it in a way that's consistent with the way it's
10 being applied, and that is tied to its capacity and
11 not just tied to just some arbitrary CFM or static
12 point.

13 Air flow is challenging. Getting good
14 pressure measurements is extremely difficult, and
15 all the data that I've seen from the field, and I'll
16 just say 30-some years of testing fans, I don't
17 believe pressure measurements, just as a rule. Just
18 because they're notoriously bad and you can't get
19 good ones.

20 So back to, you know, how to test this
21 thing. Should it be as a system? Should it be ---
22 I guess I'd liken it to do we want to rate air
23 conditioners on cars for their efficiency? We can
24 get the maximum efficiency air conditioner in a car,
25 but it might weigh 1000 pounds and all of a sudden

1 your gas mileage goes from 30 miles a gallon down to
2 five or ten because you've got this huge, giant air
3 conditioner. I don't care about that. As an energy
4 consumer, we want to understand what is the energy
5 consumption of the entire appliance as it goes in my
6 house, to heat my house, to cool my house, and not
7 what individual bits and parts are. And I think
8 that's what we need to figure out how we tie that
9 energy consumption back to what the intended purpose
10 of this device is so we can get the most energy use
11 value, if you will, for any given product line,
12 which is what we're about here.

13 MR. BROOKMAN: Mohammed.

14 MR. KHAN: Mohammed Khan, DOE. I just
15 want to revisit with Harvey. I certainly understand
16 what you were trying to explain about potential low
17 cost opportunities, other methods of approaching
18 energy conservation, and with the design of the
19 internal part of the -- the cabinet being made such
20 that it's very less -- low restrictive to achieve a
21 higher energy -- lower energy consumption. But I'm
22 not so sure exactly how the DOE could actually
23 regulate such a thing. And let me also mention --
24 it wouldn't really stop there. You could even look
25 at where the furnace is actually installed, what

1 kind of pressure drops are in the HVAC -- the duct
2 system of the home itself. How could you regulate
3 that? Or how could you influence that? So I just
4 don't know, you know, it is certainly something to
5 consider, and if we were in a perfect world to
6 really look at everything under the envelope that
7 affects the energy consumption. But we're just not,
8 and I'm just not sure at this point how it could
9 even start the regulation of the efficiency of the
10 restriction of these air cabinets.

11 MR. SACHS: Harvey Sachs, ACEEE. And I
12 appreciate what you're saying, Mohammed. To some
13 extent I have the luxury of living in a more
14 idealized world, and I recognize that reducing some
15 of my dreams to practice can be challenging. We
16 certainly recognize that the Department's authority
17 is limited to the box. I may be the only person in
18 this room who's return plenum, at the furnace,
19 includes turning vanes. Our community has been
20 concerned about the rest of the system, and in
21 parallel with this process here, we've been heavily
22 involved in a range of other processes from the --
23 ranging from the ACCA quality installation protocol
24 to looking carefully at things like leakage from the
25 cabinet and looking at the air leakage requirements

1 for new duct systems under Title 24 in California.

2 We only ask that DOE regulate what DOE has
3 the authority to regulate. We are in that, working
4 with the assumption that we know it's wrong, that
5 we're getting an essentially laminar flow coming
6 into -- from that return plenum to the unit. But we
7 also know that from that turbulent flow that we're
8 getting right behind that, at best, L-bend, we still
9 have the opportunities for much more efficient and
10 much quieter operation if we can influence how that
11 air is entering the circulating fan. We believe
12 this has significant energy impact. This has been
13 shown by research at National Lab you all have
14 funded. And that the air handler regulation should
15 do its best to unleash the inventive capabilities of
16 the industry to capture those consumer benefits and
17 national energy savings.

18 MR. BROOKMAN: Jim Vershaw, you're next in
19 the queue.

20 MR. VERSHAW: Okay. Jim Vershaw,
21 Ingersoll Rand. First a couple comments. First one
22 is you've got to test the appliance. You cannot
23 test the blower out by the appliance. If you go
24 back to the 1900's and I was working on fans, I had
25 a great fan system that worked great on a 51 tunnel,

1 but when I put it in the unit, it didn't work any
2 better than the one that was already in there.
3 You've really go to work on the appliance, that's
4 what you're working with here. That's what you're
5 dealing with.

6 In terms of energy efficiency and the
7 industry, I guess I'm going to take a little bit of
8 offense to Harvey. If you look at the products that
9 are available at the companies, you're looking at
10 SEER levels in the 20s. You're looking at AFUEs in
11 the high 90s, pushing 96, 97, 98. You're seeing
12 these motors more and more out there -- we have to
13 deal with what the homeowner builders associations
14 are putting out there, some of the ductwork, and I'm
15 sorry that we can't do anything in that area, but
16 the equipment we're putting out is there. It's for
17 homebuilders and other people to see that it works,
18 and I think we really need to put that focus on what
19 are we trying to do with this energy descriptive
20 we're trying to create here, and what is it going to
21 do to help people buy equipment smartly. If we've
22 already got a SEER and the furnace is tied in with a
23 SEER and why are we measuring the air flow and
24 coolant? I'm at a loss in this whole thing in that
25 respect, so I think as we get farther into this,

1 I'll have some more comments in that area. Thanks.

2 MR. BROOKMAN: Okay. Thank you. Harvey's
3 next.

4 MR. SACHS: Harvey Sachs. Thanks, Jim,
5 and just a clarification, or an apology for my life,
6 I guess. We certainly have enormous respect for the
7 innovations that the industry has made in really,
8 really impressed with all of the progress. And you
9 could complain that we're sort of walking around the
10 edges of field looking if there's any more grain to
11 be plucked up, going back to biblical times. But I
12 think that there is another element here, that there
13 is a significant fraction of people that are abusing
14 your equipment by using it in continuous circulation
15 mode. There are very substantial differences that I
16 believe industry people have suggested are about a
17 half a SEER point between a typical PSC application
18 and typical permanent mag application.

19 So we think it's legitimate for the
20 Department to be thinking about this, but we
21 certainly want to make it a reasonable thing, that
22 maybe I could say it this way, gets 85 percent of
23 the potential benefits with much less than half of
24 the frightening test burden that might be envisioned
25 by some.

1 MR. BROOKMAN: We're pretty much due for a
2 break. I want to finish off one more issue before
3 we go to break, so Sam, let's do this one next.

4 MR. JASINSKI: Sure. So just a recap
5 before the back and forth, we were discussing
6 establishing standby and off mode test procedures
7 for hydronic air handlers or, you know, in the
8 future just any product for which those modes are
9 not already being addressed in other DOE rulemaking
10 activities.

11 DOE finds that the electrical systems,
12 i.e., components and controls of hydronic air
13 handlers are similar to those found in furnaces,
14 therefore DOE is proposing to incorporate and adopt
15 the method specified in the DOE test procedure for
16 residential furnaces and boilers to measure the
17 standby and off mode electrical consumption of
18 hydronic air handlers. And there's a CFR reference
19 there so you can find the specific provision I'm
20 talking about.

21 So DOE seeks comment on whether the
22 assumption that the electrical systems are similar,
23 whether that's an appropriate assumption, and
24 depending on the feedback we get on that, if they
25 are similar, is it appropriate to use the DOE

1 standby and off mode test procedure for residential
2 furnaces to measure the electrical performance in
3 those modes for hydronic air handlers or any other
4 furnace fan that might not be addressed in other
5 rulemakings?

6 MR. BROOKMAN: Charlie Stephens.

7 MR. STEPHENS: Charlie Stephens. Based on
8 our field data, I would suggest that I don't see
9 anything inappropriate in using the same
10 methodologies.

11 MR. BROOKMAN: Roy?

12 MR. ROY: One comment we have with respect
13 with the IFER metric that has been proposed in this
14 NOPR is that hydronic air handlers could be viable,
15 I guess, replacements for furnaces. And so in the
16 case of furnaces, now you have standby and off mode
17 levels that are specified different, and then an FER
18 level that is representing the furnace fan
19 efficiency. So what we would recommend is to
20 decouple the IFER metric for hydronic air handlers
21 and have those standby and off mode represented
22 separately so that they can be a similar comparison
23 done across the products.

24 MR. BROOKMAN: Dave, you want to comment?

25 MR. WITTINGHAM: Yeah, I would agree with

1 -- this is Dave from Allied Air -- I would agree
2 with that comment. I think ultimately if you have
3 products that have similar functions with some
4 include off cycle power, some don't, some have
5 separate off cycle power descriptors that ultimately
6 that could lead to a confusion to the consumer.

7 MR. BROOKMAN: Okay. Yes, Craig.

8 MR. MESSMER: Craig Messmer. I want to
9 agree with the -- Aniruddh's comment. We need to
10 have one FER, not two, for everything -- standby
11 losses, make them separate, just like they are with
12 fans.

13 MR. BROOKMAN: Okay. Additional comments?
14 Let's take a break -- Harvey, go ahead.

15 MR. SACHS: Just one final note on the
16 consumer as decision maker. And I go back to
17 comments from industry and a decade ago, about how
18 consumers use even information like SEER. And what
19 we're seeing -- what we hope to see and think we're
20 beginning to see, is the ability of contractors to
21 use DOE information for upselling, for establishing
22 the value of premium products for their customers.
23 And this doesn't have to be a perfect descriptor,
24 but it ought to be good relative descriptor, and
25 we're not convinced that the descriptor suggested by

1 AHRI is the right one. We think a number will
2 matter and will help in the dominant replacement
3 market -- the market of more right now, I believe,
4 will help establish the value of the premium
5 product. And both save energy and improve
6 profitability for everybody, and it's changed, so I
7 hope we can keep that in mind as part of this.

8 MR. BROOKMAN: Okay. Let's take a break.
9 Don't go anywhere quite this moment. It's now
10 11:15, we're going to resume at 11:30. It appears
11 as though we're kind of halfway through the content,
12 so maybe we will work -- we'll just see how it
13 shakes out in terms of the content and how quickly
14 we move, but as opposed to taking a break for lunch.

15 In addition, Brenda Edwards requests the
16 following individuals supply a business card as you
17 head out for the break, and that would be Gary
18 Wagner, Dave Wittingham, Terry Small, Craig Messmer,
19 and Rachelle Cocks, if you can get a business card
20 to her and then she can get a copy of everything.

21 You know, there are restrooms on both ends
22 of the hall. There's a coffee shop on the ground
23 floor just directly below us on the opposite side of
24 the hall. You must wear this badge while you're
25 walking around in the Forrestal Building. We'll see

1 you back here at 11:30.

2 (Whereupon, at 11:15 a.m., the meeting was
3 recessed for a 22 minute period.)

4 MR. BROOKMAN: Now that we're going to
5 return to talking on the record. So we've had a
6 very productive morning. We've covered a lot of
7 ground, and we're going to proceed where we left off
8 which is with Sam and we are on 25, correct?

9 MR. JASINSKI: Yes.

10 MR. BROOKMAN: Okay. Let's resume.

11 **Fan Efficiency Rating, Methodology and Calculations**

12 MR. JASINSKI: So I'll pick back up where
13 we left off by providing an overview of the
14 methodologies and the calculations used for the
15 proposed rating metric, which is the Fan Efficiency
16 Rating, or FER for short.

17 Just a general description. FER is the
18 estimated annual electrical energy consumption
19 normalized by two factors, one, the annual rated
20 operating hours, and two, the air flow in the
21 maximum air flow control setting in standard cubic
22 feet per minute. An operative word in the first
23 normalization factor is "rated." It's important to
24 note that the annual rated operating hours will vary
25 depending on the product, mainly on whether or not

1 the standby and off mode operating hours are
2 considered. But I'll point that out again in the
3 future.

4 The estimated annual electrical energy
5 consumption is a weighted average of fan input power
6 measured separately in multiple air flow control
7 settings at different external static pressures.

8 So the three important components of the
9 estimated electrical energy consumption are:

- 10 • The air flow control settings proposed to be
11 rated, and those correspond to operation in
12 cooling mode, heating mode, and constant
13 circulation mode. Many of you are probably
14 familiar with constant circulation, but for
15 those that aren't, constant circulation here
16 means the mode in which the delivered air is
17 not necessarily conditioned, but it's more for
18 the purpose of providing ventilation. No?

19 Well, we can get --

20 MR. SACHS: Harvey Sachs, ACEEE. In my
21 experience there are very few residential air
22 handling systems that have outdoor air coming in to
23 provide ventilation, and consequently I'm forced to
24 infer that the circulation mode is predominantly

1 about air filtration. It may be a lot of
2 involuntary infiltration that results from it, but
3 it's not the design characteristic.

4 MR. JASINSKI: Okay. Thank you.
5 Ventilation and filtration, then.

- 6 • So the second factor is the power and air flow
7 measurements are taken at ESPs that are
8 determined by a reference system that is meant
9 to represent national average ductwork
10 characteristics.
- 11 • And lastly, the input power is weighted by
12 estimated national average operating hours for
13 each rated air flow control setting which
14 correspond to the three modes that I mentioned
15 previously.

16 In the subsequent slides, I'll go into a
17 lot more detail about each of these aspects of the
18 rating metric.

19 Starting with the rated air flow control
20 settings. Doe is aware that furnace fans typically
21 have multiple air flow control settings, anywhere
22 from two up to five and in some high efficiency
23 units, air flow can be modulated. DOE expects that
24 each air flow control setting is typically

1 designated to perform a specific function, which are
2 the functions which I mentioned earlier - constant
3 circulation, heating and cooling -- and that these
4 designations typically follow the following rules in
5 that the lowest settings are typically designated
6 for constant circulation; the median settings are
7 typically designated for heating operation; and the
8 highest settings are typically designated for
9 cooling.

10 So DOE investigated, knowing that there
11 can be more than three air flow control settings,
12 DOE investigated whether or not -- or the
13 appropriate number of rated air flow control
14 settings, and determined that rating furnace fans
15 using three air flow control settings is adequate to
16 capture efficiency improvements while hopefully
17 minimizing burden to manufacturers. And this table
18 here provides a summary of the proposed rating air
19 flow control settings, depending on different
20 product types. So a product that is designed for
21 single stage heating, the lowest proposed rated
22 setting would be the default constant circulation
23 setting. The second proposed rating air flow
24 control setting would be the default heat. And then
25 the final one would be the maximum, which I have in

1 here in parentheses, like we said, is expected to be
2 typically designated for cooling.

3 For a multi stage or modulating heat, the
4 proposed air flow control settings are essentially
5 the same except for the median proposed rated
6 setting, which is typically designated for heating,
7 DOE is proposing to specify that the rated air flow
8 control setting be the default low heat setting.

9 And finally for heating only products,
10 these are products that are not designed to be
11 paired with any type of cooling, so they're meant to
12 be implemented in systems that provide heat only.
13 Their rated air control settings would be the
14 default constant circulation, there would be no
15 median rated air control setting, and DOE expects
16 that the maximum would be designated for heating.
17 So for heating only product, there would only be two
18 rated air flow control settings.

19 And as a clarification, default air flow
20 control setting here is meant to be an air flow
21 control setting that can be achieved in a factory-
22 set control configuration, i.e., no manual tampering
23 with the control setting other than through an
24 interface like a thermostat.

25 MR. BROOKMAN: Let's take a few comments

1 here. Craig.

2 MR. MESSMER: Are we missing the cooling
3 only?

4 MR. JASINSKI: Cooling only?

5 MR. MESSMER: We talked about chilled
6 water, hydronic fan furnaces -- just to mix up a few
7 terms.

8 MR. JASINSKI: So it sounds like you're
9 suggesting that there are products that are cooling
10 only, so --

11 MR. MESSMER: There are.

12 MR. JASINSKI: What --

13 MR. MESSMER: There absolutely are. Maybe
14 not in huge numbers, but we sell them. So we need
15 to know what to do with them. And we also have our
16 fan controls are easily adjustable in the field by
17 the contractor. We don't really -- we have a
18 default, but it's not based on anything, so what do
19 we base it on?

20 MR. BROOKMAN: So you, the manufacturer,
21 does not specify a default?

22 MR. MESSMER: Not for a hydronic fan
23 furnace.

24 MR. BROOKMAN: Okay. Charlie Stephens.

25 MR. STEPHENS: I would agree, we see quite

1 a lot of hydronic floor heating systems with cooling
2 only systems that are not -- there's no default in
3 these things. It depends on the cooling load, and
4 you basically take the product and you do like you
5 would with anything else, you get the right coil and
6 the right fan speed, and then you get the right
7 amount of cooling. So, they're going in quite a lot
8 -- that's how you have cooling with hydronic
9 heating.

10 MR. BROOKMAN: Does this structure that
11 the table that proposes a lowest rating, medium
12 rated, and highest rated, does this make sense to do
13 it this way? Should they do it another way? Go
14 ahead, Craig, and I'm coming back to you, Harvey.

15 MR. MESSMER: Well, I hadn't really
16 thought about it a whole lot, and I'll make some
17 comments on it since you asked. But, it may be more
18 appropriate to put it in terms of BTU requirements
19 for hydronic systems, rather than air flow
20 requirements. For example, the small box systems we
21 operate regularly at much higher static pressures,
22 so that's not a really good way to compare our
23 system to a more conventionally ducted system. More
24 appropriate way would be based on the BTU content of
25 that system. Because if you look at it in that way,

1 our watts per BTU differences is not much different
2 for the fan than it would be if you compared watts
3 per CFM. So, perhaps BTU for hydronic systems would
4 be a better way to do it.

5 I'm sure the gas furnaces would have the
6 same similar issue. They have delta T's across
7 their heat exchangers so that really sets the air
8 flows more than anything. So I don't know if I have
9 an answer for you on this, but calling it maximum,
10 calling it default, I think is going to be
11 problematic for the industry to figure out what that
12 is.

13 MR. BROOKMAN: You can imagine that DOE
14 was hoping to create -- let me just speak here --
15 trying to create something that was kind of a sort
16 of a universal character, something that would have
17 -- applicable and not differentiated unit by unit.
18 So you can imagine what they're trying to do here.
19 Harvey.

20 MR. SACHS: Harvey Sachs, ACEEE. And I
21 guess what concerns me, and it's in the context of
22 Craig's comments and your comment just now, Doug,
23 about universality. Is that over a decade ago, or
24 about a decade ago, we started to worry about
25 unintended consequences for niche products such as

1 small diameter, high velocity air conditioners. And
2 the industry went through the process of developing
3 an anti-loophole specification, and I think the test
4 method is complete now as well, and adopted, for
5 these products. They don't fit under this goal of
6 the universal thing. And my concern is that this
7 prior activity doesn't seem to have been
8 acknowledged and the reasons for it don't seem to
9 have been acknowledged in this effort to get this
10 universal air handler test method. It may well be
11 that for some products that are true niche products,
12 that aren't going to take over the industry, that we
13 have to make special accommodations so they can meet
14 needs. The bed of Precustes (ph) doesn't work.

15 MR. BROOKMAN: Craig.

16 MR. MESSMER: Craig Messmer. To follow up
17 with Harvey's -- we do have a separate test
18 procedure for air conditioners and heat pumps. It
19 would certainly be needed for fan furnaces as well.
20 Higher static pressures, lower air volumes, whatever
21 other characteristics we have. The difficulty, is
22 how do you compare this type of product to something
23 else, and that's really the -- what I'm driving at
24 with the watts for the fans associated with the fan
25 based on per BTU or KW output of the heater or the

1 cooling system, as opposed to watts per CFM, which
2 would give us -- make it look worse for us when in
3 fact, it is not.

4 MR. BROOKMAN: Greg.

5 MR. WAGNER: This gets to the question of
6 some of the earlier suggestions by AHRI and others
7 in the industry of tying the electrical consumption
8 to the performance of the product itself. Because
9 at the end of the day it does have to deliver a
10 given amount of heating for a furnace-type product,
11 and that's what this is about. Not CFM or some of
12 these other derived, if you will. And so there was
13 the proposal put forth to tie that together to avoid
14 these kind of definitions and allow you to dovetail
15 with what's already being done in terms of testing
16 and evaluation of these products, and to use a
17 similar standard that's already recognized by the
18 DOE and others, and to then create an additional
19 mechanism to evaluate the efficiency of performance
20 of the fan system within that framework, rather than
21 going and do some artificial kind of designation of
22 trying to figure out what the CFM for a given unit
23 is, which at the end of the day, people don't buy
24 furnaces that are rated for CFM, they buy it for the
25 heating capacity.

1 MR. BROOKMAN: Dave.

2 MR. WITTINGHAM: Just a question for
3 clarification. I thought I understood you to say
4 that the product would be tested as it was factory
5 wired, and the controls -- there wouldn't be any
6 field altering of those. And, you know, with our --
7 this outline for a typical gas furnace probably fits
8 for most of those, but even if this is deemed to
9 extend for air handlers or heat pump type products,
10 there are variations that will only have one factory
11 speed, and there may even be heating products that
12 have only one factory speed. And there's probably
13 ways that this calculation could be modified to
14 allow for that. But those are in the market today
15 and are in existence, and most heat pumps and
16 heating and cooling in their primary operation will
17 use the same speed for heating and cooling. And in
18 a lot of instances those controls in those systems
19 don't have a constant air circulation that's
20 separate from the heating or cooling speed.

21 MR. BROOKMAN: Craig, you got some more?

22 MR. MESSMER: Well, in conversation with
23 other manufacturers, for gas furnaces, sometimes the
24 cooling air flows are lower because if it's in a
25 northern climate, they may use a very small heat

1 exchanger there. I think in my perspective, we're
2 kind of losing the point of energy for the house.
3 Every house is uniquely different, the ductwork, the
4 air handlers, the gas furnaces, and what I would
5 think the Department would want is a tool for
6 someone to just add them up, rather than try to have
7 an efficiency rating that's based on some sort of
8 average. Because, you know, in my house I may have
9 one actual energy use, and that's really what's
10 important to me, not really interested in rating.
11 That way we could compare different, wildly
12 different types of systems. Basically, add up all
13 the fan watts plus the SEER watts, plus the EB and
14 other energy metrics, add it up for each house. I
15 have one.

16 MR. BROOKMAN: Charlie.

17 MR. STEPHENS: Charlie Stephens. We've
18 got a bunch of data we'll provide to the Department
19 on air handler energy use, external static pressure,
20 and all the other metrics we want to know about air
21 flows, by make and model of the equipment, and
22 serial number if we really want to get into that far
23 along, along with all the demographics and the house
24 characteristics, including the heating loads and
25 everything else. So -- but what we found, I can

1 tell you, because I've looked at some of the
2 preliminary data -- and we've got about six months
3 of data so far -- is that there is a marked
4 difference in the electrical efficiency of
5 delivering BTUs to all of these houses. You can get
6 the right number of BTUs to these houses, two 80,000
7 BTU per hour furnaces, very nearly identical loads
8 and external statics and yet one of them is a lot
9 more efficient electrically than the other, you
10 know, and I find the difference in the model number.
11 And it's in the air handler, and, you know, same
12 furnace section, different air handler.

13 So we are interested in that. We are
14 interested in delivering those BTUs with as little
15 electrical energy as we can. You know, I'm helping
16 people plan. I'm helping 130-some utilities plan
17 for the electrical loads in four states. We are
18 interested in the electrical loads. So I want to
19 know how we do this most efficiently, so I am
20 interested in the individual metrics.

21 MR. BROOKMAN: Jim Vershaw has his hand
22 raised. Jim, you're next.

23 MR. VERSHAW: Okay. Jim Vershaw,
24 Ingersoll Rand. A lot of issues where. By bringing
25 in cooling, it really comes down to this issue

1 because, you know, there are multiple tonnages you
2 can hook up to a furnace, so if somebody's going to
3 buy a furnace that's rated up to three tons, and is
4 only going to put on two and a half ton, they're not
5 going to use the same speed cap or cooling air as
6 they are for the three ton. So the numbers they're
7 looking at a furnace are not correct for their
8 application.

9 A lot of the more efficient, newer
10 furnaces with current magnet motors have maximum air
11 flow on heating and not cooling. On a modulating
12 furnace when you're running at that 35 or 40 percent
13 of full load and you're going to use only lowest
14 detap settings for the calculation, I'm wondering if
15 there's some gamesmanship you could do where you'd
16 only run -- that you run their -- it seems like
17 there's opportunity to game the system by doing
18 that. This is so broad, trying to do so much, we're
19 really talking about furnace fan efficiency. It
20 ought to be focused on the operation of the furnace
21 fan and how it deals in heating.

22 MR. BROOKMAN: Thank you.

23 MR. JASINSKI: Just as a point of
24 clarification. There's some questions going around
25 and in these comments about exactly how these

1 specifications would be practically -- would be
2 applied. And so we -- I don't think I can put it
3 any better than how Doug framed it as trying to
4 apply a universal set of specifications to account
5 for these variations. In the Notice, for instance,
6 this says default constant circulation. As I
7 mentioned before, DOE expects that that's typically
8 the lowest air flow control setting. If it's not,
9 or if a unit doesn't have a default constant
10 circulation setting, in the Notice it specifies that
11 instead, the lowest air flow control setting would
12 be used.

13 And conversely, on the other side of the
14 spectrum, we're not -- DOE is not proposing to
15 specify the default cooling setting, but the maximum
16 setting. So in instances where a furnace is
17 designed to be paired with a range of different air
18 conditioning capacities, anywhere from one ton to
19 five tons, for instance, the maximum air flow
20 control setting which DOE would expect to be tied to
21 the five ton setting would be one of the rated air
22 flow control settings. So, this framework is
23 intended to prevent gamesmanship, to use Jim
24 Vershaw's terminology, so that it's not the default
25 cooling, it's always the maximum. And in the case

1 where the default constant circulation is not the
2 lowest that would be used, or it's not specified, it
3 would be the lowest. So essentially, in most cases,
4 you'll have the maximum speed air flow control
5 setting, the lowest air flow control setting, and
6 whatever the default heat or low heat setting is for
7 multi-stage or modulating heat. So in cases where
8 maybe the default constant circulation and the heat
9 -- default heat setting are the same, then you would
10 be rating in that one air flow control setting for
11 that model.

12 Any other comments or questions? I hope
13 that clarified it a little bit. Okay, so moving on
14 to provide a little bit of context to the air flow
15 control settings, this figure shows air flow and
16 power consumption across a range of external static
17 pressures for the different air flow control
18 settings in a non-weatherized, non-condensing gas
19 furnace that uses a four speed PSC motor. The solid
20 curves at the top represent air flow versus external
21 static pressure, and correspond to the primary Y
22 axis on the left, and the dotted curves, at the
23 bottom of the figure are input power consumption,
24 and those correspond to the secondary Y axis on the
25 right.

1 You'll notice that for this particular
2 model there are four available air flow control
3 settings. Based on the proposed specifications, the
4 three that are in color would be selected. And if
5 you see in the legend, based on the information
6 that's provided in the product literature, the
7 maximum air flow control setting is designated for
8 cooling; the default heat air flow is the medium low
9 setting there in red; and the default constant
10 circulation air flow is in green, and that
11 corresponds to the lowest air flow control setting.
12 So this is an example of an actual model that meets
13 the -- that validates the assumptions provided for
14 the designation of air flow control settings to map
15 to specific functions.

16 Another thing to note here is that you can
17 see that the air flow and the electrical consumption
18 -- I'm sorry.

19 MR. SACHS: Excuse me please. Harvey
20 Sachs. The family of dotted curves is different
21 from the family of solid curves, and what was the
22 difference? That went by me too quickly.

23 MR. JASINSKI: The top curves are air
24 flow, so that's a measurement of CFM versus external
25 static pressure --

1 MR. BROOKMAN: The left axis.

2 MR. JASINSKI: Yes. And then the ones on
3 the bottom are input electrical power.

4 MR. BROOKMAN: On the right axis.

5 MR. JASINSKI: Right.

6 MR. SACHS: Thank you.

7 MR. JASINSKI: Sure. And another point to
8 take note of is that the colors correspond, and you
9 can see that electrical power consumption reduces as
10 you use lower air flow control settings. And DOE
11 finds, in comparing data across a lot of different
12 model, the same data, that the range of available
13 air flow control settings or the difference between
14 the highest and the lowest varies greatly, and also
15 the magnitude of the reduction in electrical energy
16 consumption as you move to lower air flow control
17 settings is -- can be drastically different
18 depending on the types of technology that are used.

19 So those are important factors in DOE's
20 decision to propose a rating metric that's based on
21 multiple air flow control settings as opposed to a
22 single air flow control setting, which is typically
23 specifying measurements in a single air flow control
24 setting are characteristic of a lot of the proposed
25 metrics that were mentioned in the opening

1 statements, like E-sub-b and also indicative of the
2 methods that are proposed in some of the alternative
3 reference standards that were mentioned, like AMCA
4 210-240.

5 So at this time DOE would like to request
6 comment on the appropriateness of the proposed
7 rating metric methodology, and the assumptions
8 related to how air flow control settings are
9 designated to provide specific functions, and then
10 also how these designations are made for multi-stage
11 products, or modulating products.

12 MR. BROOKMAN: Harvey Sachs.

13 MR. SACHS: Harvey Sachs, ACEEE. I think
14 this is really a question for Eric and Mohammed, but
15 I'm seeing the requirement for multiple air flow and
16 power measurements and it seems to me the only way
17 you can go. The question is, what will be
18 certified? Each of those measurements, or the
19 calculated FER? Because there's a very great
20 difference in terms of the burden -- measurement
21 burden for the manufacturers, depending on which way
22 that's done. I think it has to be the single FER
23 'cause otherwise you're going down the multiple
24 metrics path, much as I -- well, I'll stop there.

25 MR. KHAN: This is Mohammed Khan, DOE. As

1 Sam was describing, there is obviously a benefit and
2 need to take the different values, but to come up
3 with a value for regulation, all of that would be
4 factored in. So would it be an average or just the
5 FER, I think that's still open to consideration.

6 MR. SACHS: Okay, so the -- the assumption
7 is that a manufacturer would not be in jeopardy of
8 delisting or regulatory action if one of these
9 values were in error, as long as there were
10 compensating errors so the FER calculated was within
11 your tolerance ...

12 MR. KHAN: Mohammed Khan, DOE. That would
13 seem to make very good sense.

14 MR. SACHS: Thank you.

15 MR. BROOKMAN: So you see the comment box.
16 Let's see if we can get some specifics with respect
17 to what's listed as issue one. Greg, it looks like
18 you're almost ready. Roy, go ahead.

19 MR. ROY: Aniruddh Roy, AHRI. We'd like
20 to again go on record stating that we feel the E-
21 sub-b is more appropriate to rate the furnace fan
22 efficiency. When we provided the proposal to DOE,
23 we had to consider furnaces with single stage
24 controls, two stage controls, as well as step
25 modulating controls. And again, it comes down to

1 the scope definition, or the scope coverage point
2 that we made earlier with respect to furnaces. But
3 the reference system that's being discussed here,
4 there could be cases where the rise range that is
5 specified in the nameplate of furnace manufacturers
6 could be beyond the rise range that is specified,
7 and so it could cause safety concerns. I think
8 either Dave Wittingham or Greg Wagner pointed this
9 out earlier as well. So we urge DOE to consider
10 that as far as this issue is concerned.

11 MR. BROOKMAN: Okay. Jim Vershaw, you're
12 next.

13 MR. VERSHAW: This is Jim Vershaw,
14 Ingersoll Rand. Back to my question about heating
15 speed maximum being higher than the cooling speed.
16 If I looked ahead, it looks like they're going to
17 take the maximum air flow speed, multiply that by
18 cooling hours. So if you have a heating speed
19 that's higher than cooling speed, then you're
20 multiplying the wrong numbers, and then that throws
21 the whole calculation into some question as to the
22 accuracy of it.

23 MR. BROOKMAN: Sam.

24 MR. JASINSKI: Yes, that's a very good
25 point. If interested parties could provide

1 information regarding how prevalent the designation
2 of the maximum setting for heating is, that would be
3 appreciated. Again, the assumptions that we provide
4 in terms of designated air flow control settings for
5 specific functions are meant to represent the
6 national average, or what is typically done. So if
7 we get -- if DOE can get a sense of how significant
8 that trend is in designating the maximum speed for
9 heating settings, that is something that we
10 definitely want to consider and want to account for.
11 So if interested parties can provide information
12 regarding that, that would be very helpful.

13 And on to his further point, that would
14 also impact how the other calculations are
15 considered.

16 MR. BROOKMAN: Harvey.

17 MR. SACHS: Harvey Sachs, ACEEE. I
18 believe that our community will be very
19 uncomfortable with consideration of E-sub-b as a
20 replacement for what the Department is trying -- is
21 groping towards proposing. At the risk of
22 prolonging the discussion, E-sub-b was developed as
23 a threshold mechanism for incentive programs that
24 wanted to recognize efficient air handlers. For
25 condensing furnaces only, it's not a bad

1 discriminator between ECM and PSC motored systems.
2 I was unable to get a decent discriminator of that
3 type when trying to analyze non-condensing furnaces.
4 There was simply much more variability. And at this
5 point, without a great deal more empirical data, I'm
6 forced to conclude that this is an inappropriate
7 metric for the Department's purposes, and that
8 furthermore, any threshold metric, unless AHRI is
9 proposing to extend it from just a two percent
10 threshold to an actual value, will serve to
11 discourage incremental innovations that would save
12 energy, because there's only a single huge cliff to
13 climb.

14 MR. BROOKMAN: And you're referring to E-
15 sub-b?

16 MR. SACHS: I'm referring to the AHRI
17 proposal of using E-sub-b instead of the kind of
18 metric that DOE is proposing for which I may have
19 different reservations.

20 MR. BROOKMAN: Charlie Stephens. Pardon
21 me, Charlie, let's let AHRI respond. Roy.

22 MR. ROY: In defense to the E-sub-b
23 metric, actually I think Harvey was alluding more to
24 the little "e" metric, the bold, italicized little
25 "e" metric.

1 MR. SACHS: Yes.

2 MR. ROY: Which is different from E-sub-b
3 in the sense that that metric, in the numerator, it
4 accounted for the furnace fan electrical consumption
5 as well as other electrical consumption within the
6 furnace. However, the industry took a look at that
7 metric again and revised it substantially to remove
8 other electrical consumption from the furnace, and
9 only captured the furnace fan electrical efficiency.

10 MR. SACHS: But it's still a threshold
11 value, or are you proposing to publish the actual
12 value --

13 MR. ROY: No, we are not proposing any
14 threshold value. It's just a ratio of the furnace
15 fan efficiency over the total consumption, energy
16 consumption of the furnace.

17 MR. SACHS: I certainly look -- Harvey
18 Sachs again. I certainly look forward to looking at
19 that and appreciate that you've addressed those
20 issues.

21 MR. BROOKMAN: If I understand you Roy,
22 you are providing essentially a rating?

23 MR. ROY: This was a proposal that we
24 submitted because we were aware of the furnace fan
25 rulemaking

1 MR. BROOKMAN: Which would supply a
2 rating.

3 MR. ROY: Right.

4 MR. BROOKMAN: Charlie Stephens.

5 MR. STEPHENS: Charlie Stephens. This
6 sort of -- it's a good introduction to what I was
7 going to have to say, because I don't -- where I
8 live, we don't pay much attention to those annual
9 numbers. The consumption number, and therefore the
10 percentage of a consumption number doesn't mean
11 anything much to us either. The variability of that
12 number where I live is just too great. You know, we
13 work all the way from 3000 degree days to over 9000.
14 And it's just -- those numbers don't mean anything.
15 And in fact, I'm having to look at this particular
16 procedure as a way to rate a product, but I can't
17 say that I've seen any usefulness or utility coming
18 out of this rating that would help me understand
19 what any given product would use in the way of
20 energy. All it does is, in theory, allow us to
21 compare one product against another on some sort of
22 close to apples-to-apples basis. But I don't think
23 it's going to deliver a metric that's going to be
24 useful to me in terms of understanding the energy
25 consumption of the product. And so I have no

1 expectation of that.

2 MR. BROOKMAN: Yes, Dave.

3 MR. WITTINGHAM: This is Dave Wittingham
4 with Allied Air. First of all, I just would like to
5 comment on your chart. The chart is showing
6 characteristics that are typical of a PSC
7 application, where you have a constant air volume,
8 variable speed, more highly efficient system those
9 curves would look significantly different, where the
10 top lines would look flat and the watts would
11 actually be going in the opposite direction that you
12 show. And kind of the thought process behind that
13 in this type of application, you may be penalizing
14 the more efficient products. That's kind of point
15 one.

16 Point two is you're taking nine points of
17 data and then doing a curve fit, and it's a very
18 cumbersome, labor intensive, and resource intensive
19 process that would require a completely different
20 setup from the typical AFUE testing that is done for
21 gas products. We would advocate that, you know, E-
22 sub-b is something that comes easily out of the AFUE
23 testing, that we would highly encourage the
24 Department to look at. Whatever the metric is
25 decided, is to have something that is easily

1 accomplished within those test setups without
2 forcing an additional test setup.

3 Yes, manufacturers do air flow testing,
4 but we don't typically run two or three or four
5 models to get the type of statistical data that
6 would be required to develop a rating, and this
7 would be a significant additional burden.

8 MR. BROOKMAN: Thank you. Terry.

9 MR. SMALL: Well, I think that we've all
10 understood that the consumer of this type of
11 information is Charlie, and Charlie is sitting here
12 telling us that he's not seeing anything that is
13 worth consuming, and Dave is saying that it is going
14 to be a massive burden on the industry. Dave's with
15 a big company, it would be catastrophic for a little
16 company. So what are we doing here?

17 MR. BROOKMAN: Charlie Stephens.

18 MR. STEPHENS: I didn't say nothing was
19 useful, I just said that I have no expectation that
20 an energy use number is useful. But I do find
21 apples-to-apples comparisons useful, if I believe
22 that they're truly that. I don't know that we can
23 get there or not. We're working on it.

24 MR. BROOKMAN: You're talking about the
25 consumer.

1 MR. STEPHENS: Well, the consumer -- the
2 consumer almost never sees this stuff. The consumer
3 is -- yeah, incentive programs, contractors who want
4 to sell something or another, and explain to a
5 consumer what it is they're selling relative to --
6 that costs more than this other one that costs less,
7 you know, the consumer ultimately will see ratings
8 of some kind, and that's useful, and we can teach
9 them to understand what they mean, and we are. But
10 ultimately, we're trying to understand, in our
11 climate where I live, with this product, a
12 reasonable estimate of how much electricity it's
13 going to use in doing its job annually. I would
14 like to know that number, but this is one of those
15 cases that when you average everything, you get a
16 number that applies to less than one percent of the
17 installations, and it's just not useful. What I
18 need is a rating tool that allows me to then adjust
19 that and maybe a disclosure of some data from the
20 testing that allows me to pick which points are
21 relative to where I live, and come up with my own
22 number. That would be useful.

23 MR. BROOKMAN: Greg.

24 MR. WAGNER: I was just going to say,
25 Charlie, you just touched on one of the challenges

1 with doing what's being done here, and that is
2 aggregating across the US all these different things
3 to try to put together some kind of single metric
4 that allows you to say this is the energy
5 consumption of this product. And so it addresses
6 the issue of nobody, as Charlie was just saying, in
7 terms of being able to give them exact performance
8 and mileage that they're going to expect.

9 But taking it away and putting it into CFM
10 and these other things, takes it an even further
11 step away from you being able to understand what it
12 means in any installation application, and that is
13 what typically is done is figuring out what is that
14 heat load which goes into the number, heating
15 degree, cooling degree days that you put into your
16 calculations to generate the number of hours used.
17 And removing -- separating the performance of the
18 fan from the performance of the furnace is creating
19 this two different metric system, but then even a
20 consumer is going to have difficulty understanding
21 how do I value the fan performance versus the
22 furnace performance, because they are going to be
23 two separate things, and not necessarily as one of
24 my colleagues here mentioned, not necessarily along
25 a rating line where this thing could be safely

1 operated. So it's taking it multiple levels away
2 from getting back to what Charlie was wanting, to be
3 able to specify the right product for your
4 application in the field.

5 So it sounds like it's not serving a whole
6 lot of functions versus if we can get something that
7 is tied to performance and capacity of the unit, we
8 can get something ultimately that enables people to
9 supply it appropriately and put together an energy
10 descriptor that allows you to measure it, rate it
11 appropriately, and give the consumer something they
12 can use.

13 MR. BROOKMAN: Craig.

14 MR. MESSMER: As I'm listening to
15 everybody, this is Craig Messmer, I'm wondering
16 about some advanced technologies that are starting
17 to pop up out there where the air flow varies with
18 temperature in the room, so there is no high,
19 medium, or low speed. The unit continuously varies
20 itself. What do we do there? Now you need a BIN
21 analysis for the house application, or the average
22 house, which doesn't exist, but it's nice. So
23 that's a technology that is maybe up and coming,
24 it's not even considered. It's not an ECM, it's not
25 a -- well, the motor might be, but the control

1 scheme is different, it's not set by discrete speeds
2 or CFM. So how do we handle that one? That's a
3 question. I don't have an answer.

4 MR. BROOKMAN: Additional comments on this
5 series of issues?

6 MR. JASINSKI: I have a couple of follow
7 up questions. Dave, you mentioned that the curves
8 for a higher efficiency unit would be very different
9 and we agree. Unfortunately, I don't have a similar
10 figure to put up here for everyone to see, but just
11 to reiterate, Dave said that the air flow curves
12 would look more straight, meaning that at higher
13 external static pressures, a higher efficiency motor
14 would be providing a constant volume of air, so it
15 would be achieving a higher air flow at higher
16 external static pressures, and as a result, because
17 it was able to maintain the air flow at those higher
18 external static pressures, the electrical
19 consumption curve would go up because it would need
20 more power to provide that constant volume of air.

21 So, in an attempt to account for that in
22 this metric, that was one of the reasons why we
23 normalized by air flow in the maximum control
24 setting so that if you were normalizing say for this
25 particular fan, the maximum's going to be about 1050

1 at the reference systems being proposed, whereas if
2 you were doing this for a higher efficiency one,
3 that curve would look flat and that air flow might
4 be somewhere closer to 1300 or maybe even at 1400.
5 So if you could comment maybe on -- I don't know if
6 you've looked at it closely enough -- whether or not
7 normalizing by air flow in the maximum control
8 setting sort of avoids that issue of penalizing
9 higher efficiency motors.

10 MR. WITTINGHAM: This is Dave from Allied
11 Air. We have looked at it. There's more study that
12 needs to be done around that to really understand if
13 that holds true.

14 MR. JASINSKI: Okay. Yeah, if you could
15 provide whatever you find, that would be very
16 helpful.

17 And then another point was, Dave also
18 brought up the issue of when you're taking the data
19 and the burden or the changes to the setup that that
20 would require as opposed to what they currently do
21 now, whether you want to do it now or provide it in
22 your written comment, if you could just explain
23 where those burdens come in because I guess a way to
24 look at this would be, there's the burden of
25 actually taking the measurements, and then there's

1 the burden of what you do once you have those
2 measurements. So -- you were speaking more to what
3 you do once you have the numbers, which are
4 calculations and creating these quadratic curves, so
5 if you could explain how -- explain or provide an
6 estimate of the magnitude of that burden maybe in
7 terms of cost or time or systems or equipment that
8 you would need to do that, that would be helpful.

9 MR. WITTINGHAM: Actually my comments were
10 around the actual generation of the actual test
11 points.

12 MR. JASINSKI: Okay.

13 MR. WITTINGHAM: You know, I am assuming -
14 - and we've already done some work around here --
15 that you could take, once you have the data, you can
16 put it into a calculation relatively simply. Yes,
17 there is some up front work that needs to be done,
18 and it's time consuming, but that's not -- and every
19 time that you run it, the resource effort or the
20 time and the cost that's involved with the setup and
21 the running of the test, which in our estimation is
22 almost a shift's worth of work for one model.

23 MR. BROOKMAN: Charlie Stephens.

24 MR. STEPHENS: I'll just add one thing
25 about the fact that I do this already with a

1 different air handling product. I do it every day.
2 It's called an HRV, and if you look in the HVI
3 directory in Section 3, you'll see that those
4 products have been tested in at least four different
5 external static points, and they show the power
6 consumption at those four points, and the air flow
7 at those points, and all I have to do is decide what
8 my target external static is or what I think the
9 external static is going to be and I can figure out
10 how much energy that thing's going to use for as
11 many hours as it's running. Throw in the hours that
12 I expect to run it, and I have an answer for how
13 much energy I'm going to use to do ventilation.
14 It's really not that hard. C439, you know, delivers
15 those numbers, and all the manufacturers test to
16 those things, and I find it very useful. Every day.

17 MR. BROOKMAN: Terry.

18 MR. SMALL: So Charlie, you already have
19 it, basically.

20 MR. STEPHENS: The Canadians do, in C439,
21 and those things are tested and it's in a directory
22 that I can use. Yeah. But it's not for air
23 handlers.

24 MR. SMALL: None of the equipment
25 manufactured in Canada is typically manufactured

1 here, so --

2 MR. STEPHENS: A lot of it is manufactured
3 here, and a lot of it is manufactured in Europe and
4 other places. But I mean, the fact is, they're all
5 testing to a test method that gives me the metrics
6 that we're talking about here: air flow, energy
7 consumption, external static, ducts.

8 MR. SMALL: So you want the multiple
9 metrics and not the single value?

10 MR. STEPHENS: Well, if they come out of
11 the test procedure, then I can figure out the energy
12 consumption from my application. It may not be the
13 rating. These things are rated differently.
14 They're rated by apparent sensible effectiveness, or
15 sensible recovery efficiency. But I have the tools
16 I need to figure out how much electricity they're
17 going to use and whether they're going to use more
18 than they say. The range is like point three watts
19 per CFM up to two watts per CFM, so it kind of
20 matters.

21 MR. BROOKMAN: Any other comments on this?
22 Yes, Craig.

23 MR. MESSMER: Is it appropriate to talk
24 about tolerances in this slide, or are we going to
25 talk about that later?

1 MR. JASINSKI: Later we're going to talk
2 about sampling plan criteria, and that will probably
3 be more applicable to that conversation. But I'll
4 remember that you want to talk about it, so if it
5 doesn't come up, then --

6 MR. MESSMER: Well, it will.

7 MR. JASINSKI: And if it relates more to
8 measurements of air flow, then sure it's relevant,
9 always.

10 MR. BROOKMAN: I was -- well, where did
11 you think tolerance fits in this?

12 MR. MESSMER: The fan curves, the blue
13 lines, the red line, solid lines -- all the lines up
14 there. You have three points, but there is a
15 scatter, of course, so how big is that scatter.
16 Could be very significant in some cases. So we have
17 to factor that in somewhere, especially if you're
18 going to have a fan rating. And more to Charlie's
19 point, I agree, if we just -- our catalogues give
20 you CFM versus watts, and static pressure fan curve
21 -- anybody can look at the fan curve and figure out
22 what the energy consumption for that application is.
23 I think most manufacturers already do that. So I'm
24 not sure what a rating point is going to help,
25 because you cannot compare two systems and two very

1 dissimilar hydronic air handlers versus gas
2 furnaces, versus gas/electric, somebody's going to
3 come up looking bad when in fact they may be the
4 best solution for that house.

5 MR. BROOKMAN: Okay?

6 MR. JASINSKI: Yes, thank you. So sort of
7 related to what Craig was saying is that you see in
8 that figure that there's a wide range of operation,
9 but not that entire range is not always necessarily
10 relevant. So, for instance, in the maximum control
11 setting, operating at zero external static pressure
12 doesn't probably occur that often in the field. So
13 in order to identify the parts of the points of
14 operation that are relevant, DOE proposes to use a
15 reference system. And the reference system
16 represents national average ductwork
17 characteristics, which allows for comparison of fan
18 performance across different operating -- common
19 operating conditions across different products. And
20 the reference system takes the form of a curve that
21 relates the external static pressure to air flow,
22 represented by Q in this equation, and the physical
23 characteristics of the system, K , in this situation.
24 So the physical characteristics of the system -- so
25 a system in a field application would be the actual

1 home and the ductwork itself. In the context of
2 testing, K here would describe the test setup.

3 And for this test procedure, DOE is
4 proposing to define the reference system by a
5 specified external static pressure value and the air
6 flow delivered by the fan at that ESP value in the
7 maximum air flow control setting. So here is just
8 sort of a manipulation of that previous equation,
9 showing what I'm describing and how the reference
10 system is proposed by DOE.

11 So, in order to determine what an
12 appropriate reference system value would be, DOE
13 decided that it would be more appropriate to try to
14 base the specified value on field operation. And
15 while DOE shares the concerns that ductwork and
16 things beyond DOE's control might attribute to
17 improper use, DOE is limited in what it can regulate
18 under the statutory language, and wants to provide a
19 rating metric that is indicative of --
20 representative of field use.

21 So DOE followed the following methodology
22 for determining what an appropriate representative
23 ESP value or reference system ESP value would be.
24 DOE compiled over 1300 field measurements of
25 external static pressure in maximum air flow control

1 settings. During this work DOE identified four
2 different types of installation as it pertains to
3 reference systems:

- 4 • heating only units, which are units that are
5 not designed to be paired with an external
6 evaporator coil and don't an internal
7 evaporator coil.
- 8 • Second, units with an internal evaporator
9 coil. An example of these units might be
10 weatherized gas furnaces where the condensing -
11 - excuse me, the evaporator coil is internal to
12 the system for cooling.
- 13 • Thirdly, units designed to be paired with an
14 evaporator coil. These are units, as it says,
15 are designed to be paired with an evaporator
16 coil, but these evaporator coils are typically
17 separate components and they are paired with
18 them in the field, they are not shipped with
19 the evaporator coil factory installed.
- 20 • And lastly, manufactured home units which
21 anyone who's familiar with the furnace
22 rulemaking, requires special consideration
23 because of the space constraints and other
24 separate codes that manufactured home units

1 have to meet which impact the expected external
2 static pressure of systems installed in
3 manufactured homes.

4 In going through this data, the third
5 thing that DOE had to do was normalize the data for
6 comparison, and in this case what I mean is that in
7 certain reports some of the reports provided data
8 that included the -- the ESP values included the
9 evaporator coil pressure drop, some didn't. Also
10 some included the filter pressure drop, and some
11 didn't. So what DOE did was took the data and
12 developed a value -- two values for each reported
13 value, one that included the reported value for
14 evaporator coils, and one that did not. And all of
15 them included a pressure drop for the filter. So
16 essentially what DOE did was took some of the
17 studies which included estimations of evaporator
18 coil pressure drop and filter pressure drop and
19 determined a representative value for those pressure
20 drops. And the reported value for an evaporator
21 coil was point two inches water column, and the
22 reported average pressure drop reported for an air
23 filter was point two one (.21) inches water column.

24 So in this table, you can see the results
25 of those studies where in single family homes, the

1 with coil external static pressure was around 0.73
2 inches water column, and without coil was 0.52. And
3 in addition, for manufactured homes, it's much
4 lower, at 0.37 for the with coil external static
5 pressure, and 0.17 without. So the reason DOE
6 determined two values was because not all -- one was
7 because of the variation in the installation type,
8 whether or not a unit has an internal evaporator
9 coil, is designed to be paired with one.

10 And the fourth step, because not all units
11 that are designed to be paired with an evaporator
12 coil are actually paired with one in the field, DOE
13 used EIA's RECS 2005 data to determine the
14 percentage of furnaces or units that don't have an
15 internal evaporator coil but are paired -- designed
16 to be paired with one actually are in the field.
17 And so the results of that are, 72.9 percent of non-
18 weatherized gas and oil furnaces in single family
19 households are paired with evaporator coils, and
20 50.2 percent of units designed to be paired with an
21 evaporator coil are paired with an evaporator coil
22 in manufactured home households.

23 So DOE then took these two values and did
24 a weighted average to determine the reference system
25 for units that are designed to be paired with an

1 internal evaporator coil. So you see here these are
2 the same results, rounded to the nearest five-
3 hundredths of an inch water column. So heating only
4 units that are not designed to be paired with a
5 coil, they assume the rounded value of the without
6 coil for single family homes, which is point five
7 inches water column. And remember, that this is in
8 the maximum air flow control setting.

9 The units with an internal evaporator coil
10 do not include the pressure drop in evaporator coil
11 because that pressure drop is already accounted for
12 in the results of the test based on the description
13 on where the sensors are placed as I described
14 earlier in the test setups. So that does not need
15 to be accounted for in the reference system of
16 external static pressure.

17 Units designed to be paired with an
18 evaporator coil, as I explained, DOE did a weighted
19 average using that RECS 2005 data to determine that
20 a representative value for units designed to be
21 paired with an evaporator coil would be 0.65 which
22 uses the 72.9 percent weight for the with coil and
23 then the remainder of without, and the result is
24 0.65 inches water column. And manufactured homes,
25 0.3.

1 MR. BROOKMAN: Craig.

2 MR. MESSMER: Craig Messmer. I feel
3 obligated to point out that small duct systems
4 operate at much higher static pressures than that.
5 I'm sorry to say I don't have a field study, though,
6 so is there any intention to do a field study on
7 that?

8 MR. JASINSKI: Yes, we will collect any
9 data that we can find, so if you can provide
10 anecdotal --

11 MR. MESSMER: We can give you addresses.

12 MR. JASINSKI: -- data -- okay.

13 MR. MESSMER: Could you back up just one
14 slide, though on that. I'm just a little confused
15 why the coil -- with coil is a higher external
16 static pressure, and without a coil it's less than.
17 It doesn't make any sense to me.

18 MR. JASINSKI: So, in these cases, the
19 with coil is -- the measurements were taken where
20 the system was paired with an evaporator coil, and
21 that evaporator coil pressure showed up in the field
22 measurement. So essentially, I guess an example
23 would be a furnace, if tested alone would probably
24 be closer to the 0.5, but because it was paired with
25 an evaporator coil, meaning the coil was present in

1 the furnace, which is a separate product and not
2 indicative of how it ships from the factory, that is
3 included.

4 MR. MESSMER: So is the coil part of the
5 internal static pressure? Which column?

6 MR. JASINSKI: On the right. Internal
7 static pressure -- this is external static pressure.

8 MR. MESSMER: Yeah.

9 MR. JASINSKI: I just want to make sure
10 everyone else heard that.

11 MR. MESSMER: I'm just a little confused
12 as to why when you have a coil as part of the
13 product, you're external static pressure is going to
14 be higher, which means better performing at the same
15 CFM, right, better -- more capacity.

16 MR. JASINSKI: Maybe I'll go -- let me go
17 back to that diagram, because it's easier I think,
18 to understand what needs to be included in the
19 external static pressure when you know where the
20 pressure measurements are being taken. So, correct
21 me if I'm wrong, but the question is why does the
22 without coil -- why is the without coil external
23 static pressure lower, and why is with higher.

24 MR. MESSMER: Yes.

25 MR. JASINSKI: So the external static

1 pressure, you can think of it as the pressure that
2 the test system is applying to the product being
3 tested. So for units that are designed to be paired
4 with a coil, they don't ship with that coil
5 installed, so the external static pressure, or the
6 pressure that's applied by the test system has to be
7 higher to account for how that -- to account for
8 that coil that's not present in the test system but
9 will be in the field.

10 MR. MESSMER: Yeah, I get that part, but I
11 --

12 MR. JASINSKI: Oh, then maybe I'm
13 misunderstanding your question, I'm sorry.

14 MR. BROOKMAN: Charlie Stephens.

15 MR. STEPHENS: Yeah, I think -- let me see
16 if I can get this right. Take a heat pump indoor
17 unit that's got an indoor coil, you would apply
18 point five inches outside to that because the point
19 two inches, which they figured out for a coil, is
20 internal to that unit already.

21 MR. MESSMER: Right, it would be.

22 MR. STEPHENS: And so they only have to
23 apply point five inches to that. My -- I may have
24 the same questions for them that you do, but I think
25 what he's explaining is when you've got a furnace

1 that doesn't ship with a coil, then you add the coil
2 to the external static applied by the system, the
3 testing system, so that you get the same level of
4 total static pressure.

5 MR. BROOKMAN: Craig.

6 MR. MESSMER: You are correct. The table,
7 the average table is accurate. I'm just trying to
8 correlate it to the table of the data. It doesn't
9 make any sense to me -- what the results of this --

10 MR. JASINSKI: I understand. The results
11 here show the adjusted values, and so these adjusted
12 values have the representative pressure drops that I
13 mentioned previously. So, for instance, depending
14 on how the data was reported, the point two for the
15 evaporator coil was added in if the data reported in
16 a specific report did not include that pressure drop
17 in the measurement.

18 MR. MESSMER: I'm okay with your final
19 charts which -- the next one -- that's the only
20 important one to me, the other one didn't. So we'll
21 move -- I'll maybe sidebar later.

22 MR. JASINSKI: Yeah, sure.

23 MR. BROOKMAN: Dave.

24 MR. WITTINGHAM: Yeah, I just had a
25 question around, you know, you've got the 1300

1 samples. How were those measurements made and was
2 there any analysis about how those measurements
3 would correlate to a lab-type setup that we're
4 talking about through the standard you referenced,
5 or ASHRAE 37?

6 MR. JASINSKI: Yes, so the -- these
7 numbers come from various reports that date from as
8 recently as 2010, I believe, back to some earlier
9 papers that were in the late 90s. So most of these
10 data points come from field measurements. And they
11 were measured in accordance with AMCA 210.

12 MR. BROOKMAN: Jim Vershaw's next in the
13 queue. Jim, go ahead.

14 MR. VERSHAW: Hello, Jim Vershaw,
15 Ingersoll Rand. A couple of points. Number one, if
16 I was going to pick a static pressure, I'd take
17 point five, that's part of my residential, non-
18 weatherized furnaces -- most of those, not all of
19 them, have a point five maximum static pressure on
20 the nameplate that we get our state certification
21 around. So the point five would be the more logical
22 place to go.

23 The second point would be the definition
24 of a heating only unit for a residential, non-
25 weatherized furnace, I don't think I've ever seen a

1 heating only unit, but I can envision -- but I can
2 create all my furnaces to be heating only in that
3 they'd only have cooling by relay, and therefore I
4 can test them all at lower external statics, and I
5 would eliminate that -- I would eliminate cooling
6 from the whole thing. But if you have to go to
7 cooling, I would eliminate the heating only.

8 Thanks.

9 MR. BROOKMAN: Okay. Thank you. Greg.

10 MR. WAGNER: Greg Wagner --

11 MR. BROOKMAN: Is your mic turned on?

12 MR. WAGNER: I apologize. Greg Wagner.

13 Regarding the studies, you mentioned 1300 analyzed,
14 how was this standardized for validating capacity
15 versus requirement in the field? It would be
16 important to know how those relate because again,
17 the capacity and the function of the device is going
18 to vary depending on what the actual installation
19 requirements are. So oversizing product will lead
20 to much, much higher statics in the field.

21 The second thing is, and you started to
22 mention a test standard. AMCA 210 is not applicable
23 to that kind of a testing, and I doubt anybody has a
24 full air test chamber that is large enough, enough
25 diameter -- we're talking about probably a ten-foot

1 diameter for most of these to build a -- to be in
2 concert with AMCA 210. So what test standard were
3 these measurements done by? I mentioned earlier I
4 don't believe static pressure measurements. This is
5 from 30 years of experience in dealing with air
6 flow. Static pressure measurements are notoriously
7 bad and they're difficult to get in a laboratory
8 environment. They're even worse to get in the
9 field. So just that question, I'd like to
10 understand that. You know, were these with filters,
11 without filters? What was that filter condition?
12 How were these things done?

13 Further on, you know, we're talking about
14 adding to the testing burden by adding a secondary
15 test point versus what's already required under DOE
16 for testing of furnaces today. So it's arbitrarily
17 adding another static point that's based upon data
18 which, again, I'd like to understand where those
19 points come from.

20 Then, finally, or not finally, but
21 additionally, we're sending messages to installers
22 that it's okay to do bad practices, that high static
23 conditions are acceptable, that we should want to
24 keep perpetuating that. That's not a good message.
25 We're also losing the signaling effect and that is,

1 when a homeowner would buy this thing, and they're
2 finding they're not getting the performance they
3 need, they need to find out why it is. Well, if
4 you're saying that you should be running with these
5 high statics and they see that they're performance
6 is mediocre, they're going to say, okay, it's what
7 it calls for because that's what the rating system
8 calls for. Rather than saying, now I'm capable of
9 getting 30 miles per gallon out of my car, but I'm
10 only getting 25, what the heck's going on here. We
11 need to push things so people understand that there
12 are appropriate ways of doing this, and they can
13 benefit from that.

14 And then finally, we need to use this also
15 as a way to verify out in the field, I think, that
16 people are getting the product they want. And I
17 think that's what I hear a lot of folks saying. How
18 do we make sure that we're doing the right things in
19 the field? And that's where tying these to what
20 should be done, versus not what is currently done in
21 terms of bad practice.

22 MR. BROOKMAN: Charlie Stephens.

23 MR. WAGNER: Charlie, could you wait until
24 we hear what the database was?

25 MR. BROOKMAN: You want -- yeah, let's let

1 him respond.

2 MR. JASINSKI: Yes, because otherwise, I'm
3 going to forget all five of those points. So just
4 to talk about -- you mentioned that people aren't
5 using the AMCA 210 setup in their homes to get these
6 measurements. What I should revise what I said and
7 mean that in looking at how the measurements were
8 taken, the -- this goes back to the whole external
9 static pressure discussion that we had, is that we
10 tried to make sure that when they referred to
11 external static pressure in these studies that
12 theoretically they were the same types of pressure
13 measurements that were specified in AMCA 210, you
14 know, placement of the sensors -- that that data
15 would be -- I mean you can't -- obviously, you can't
16 take an AMCA 210 test setup into the field. I mean
17 it is field data.

18 The second thing is that, well, related to
19 that, all of the studies that were used, that we
20 could make public, are included in the docket in PDF
21 form, so I would encourage everyone that takes issue
22 with the results or the methodology of gathering
23 this information, to look at those studies and point
24 out why some studies might be appropriate and some
25 may not, or some of the limitations of how we can

1 use that data based on things, factors that Greg
2 mentioned, such as this study doesn't mention
3 whether or not the filters had just been changed or
4 had it, or whether or not it's included. This was
5 the methodology DOE used based on the data that it
6 could find. If you have other data, better data, we
7 would really appreciate that you submit that also.

8 MR. WAGNER: Greg again. AMCA 210
9 requires that you have good, fully developed flow to
10 be able to get a pressure measurement. Or you have
11 a large air test chamber that allows that flow to
12 stabilize and create a reasonable expectation of
13 good static pressure measurement. That's not
14 possible in any of these field installations. So I
15 guess my question is it's not to AMCA 210. I've
16 read enough of them to know it's not to that. What
17 standard are these to, because that is -- that's not
18 apparent from any of these? And then how did they
19 correct for temperature, barometric pressure, et
20 cetera, to a standard condition? And then, finally,
21 you have all the field effect things which are how
22 are you comparing capacity to what the need of the
23 dwelling is? Filter and other things. So it's not
24 just the basic static pressure, but it's also those
25 other attended variables as well. I don't know that

1 I'll have time to get through all however many, 1300
2 of those applications before the comp period's due
3 in July 30th, but I think that onus should be upon
4 the folks that are putting together this analysis to
5 substantiate that those measurements comply with
6 some known standard, not just arbitrary measurements
7 that were made by different folks.

8 MR. JASINSKI: Alex is a little bit more
9 familiar with some of these studies than I am, so
10 maybe he can provide a little bit more insight as to
11 some of the standards that may have been used.

12 MR. BROOKMAN: Let me make a process note.
13 In a little bit we're going to break for lunch, kind
14 of regardless of how far we advance at the moment.
15 So, Alex, go ahead. Alex Lekov.

16 MR. LEKOV: Alex Lekov, LBNL. As
17 mentioned, this is based on studies formerly
18 published on Page 60 and 61 of this presentation.
19 So some of the, or most of the studies are actually
20 presented in public forums and conferences, and
21 discussed. Detailed spread sheets are associated
22 with almost every single one of them. Some of them
23 have a lot of details in the reports themselves.
24 And when the data was compiled, DOE's team actually
25 did their best to create conditions to compare above

1 variables.

2 So, in terms of your statement, as part of
3 formal comment, we could provide this assessment,
4 why these studies are relevant. But this is
5 actually a body of knowledge that has been collected
6 by a lot of parties over the last probably 12 years.

7 MR. WAGNER: You're the expert to be able
8 to tell me what standard they were done to? I mean,
9 that's what I'm trying to find out. It's not clear
10 from the papers.

11 MR. LEKOV: It's -- this is the way those
12 measurements are done in the field. People measure
13 the temperature differences appropriately. They --
14 most of the studies actually talk about the
15 corrections, appropriately done. They list whether
16 the system is with coil or not, with filter or not.
17 So there are a lot of details. Studies come also
18 with the raw data. We contacted most of the
19 authors, discussed details when something was not
20 specific. It's as all this could be and it
21 basically those are all studies done the last 12
22 years.

23 MR. WAGNER: Understood. But I'm saying
24 they're not necessarily done to any standard, if you
25 will. Which standard?

1 MR. BROOKMAN: Charlie Stephen. Alex, and
2 Greg, and now Charlie.

3 MR. STEPHENS: There are several people in
4 here, you'll see there's usually about four
5 different groups of people associated with this, and
6 over the years many of them have actually developed
7 the standards themselves. I have created the
8 standards that are being used, and they're all using
9 them. They may not be your standard, but this is
10 field -- this is field measurement, and you get into
11 the house and you do the best you can in most of
12 these cases. The filter, I can tell you in our
13 studies, the filter is not there because a true
14 float plate meter is in that slot that's being used
15 to measure the air flow. And so there's a lot of
16 other -- there's a standard that's used, there's a
17 protocol that's used that is consistent from study
18 to study to study.

19 I won't represent to you that it's
20 comparable to AMCA 210. There might have to be some
21 adjustments made between the field protocols, but I
22 will tell you that we will be delivering some new
23 data that will allow you to also answer some of your
24 other questions about the load of the house and the
25 capacity of the system delivering it, and how

1 oversized it is, and if there is any correlation of
2 that, we will be reporting in our data.

3 But we go to great lengths -- I fund an
4 enormous amount of data collection out there, and I
5 welcome to have anybody else spend the money that we
6 spend and go out and get your own data if you don't
7 like ours. But in the absence of better data, all
8 of which is fully explained in the studies, exactly
9 how it was done, exactly what corrections are made -
10 - all of that's in the studies. If you want to
11 challenge them, read them, and then come talk to me.

12 MR. WAGNER: Greg again. I have read it,
13 a number of the studies, particularly the ones put
14 out by Lawrence Berkeley, and they refer to Pigs
15 (ph) and others, and I've looked at his studies as
16 well. My point is only if there is a standard for
17 measuring this, what is that? Is it published? Is
18 it recognized by ANSI?

19 MR. STEPHENS: It's a protocol that's used
20 in the field because, you know, this isn't a
21 laboratory. You know, people's homes are not a
22 laboratory, so that you can't use a standard, you
23 use a protocol. There's a difference there. The
24 protocol's a little looser, but the precision of the
25 instruments is fairly consistent, that's specified.

1 Where the measurement are taken, the limitations of
2 where the measurements are taken, they're all
3 specified in the protocol.

4 MR. WAGNER: Well, accounting for static
5 pressures in a not fully developed flow is very
6 difficult, and I guess --

7 MR. STEPHENS: It is, and that's why
8 there's some limitations on where you can take those
9 measurements, and in some cases we don't actually
10 get to take those measurements because we can't do
11 that.

12 MR. BROOKMAN: Okay. Harvey.

13 MR. SACHS: Harvey Sachs, ACEEE. Greg,
14 your concerns are very important. I'm a consumer of
15 this information, not a generator of it. The
16 underlying questions, I think, that you're trying to
17 raise are whether the field protocols, which are
18 certainly not consensus standards, are giving us
19 biased data.

20 There's certainly distribution, but what
21 we don't have real good control of for the obvious
22 reasons, is whether there are systematic biases in
23 the measurement protocol that's used. There are
24 some systematic biases, but -- of which the most
25 important may be that the reports I've reviewed have

1 been predominantly for attic-based equipment and
2 distribution systems, tends to be newer houses and
3 tends to be places where the distribution is attics.
4 I suspect Charlie's got control with some -- with
5 crawl spaces, at least, but we have much less for
6 the stock of houses with basement based.

7 Nonetheless, the patterns appear to me to
8 be very consistent. One if of substantially higher
9 external static. Even in carefully controlled new
10 houses in California -- a set of 100 that were done
11 within the last few years -- substantially higher
12 external static than -- twice as high or more --
13 than is reflected in the rate conditions under
14 210/240.

15 And the second thing is quite surprising
16 that people have not been able to establish a strong
17 correlation between unit capacity and external
18 static of the duct system. These are the patterns
19 that have been observed and that pattern of non-
20 relationship between capacity and system ESP would
21 seem to be one that would persist even if there were
22 biases in the reported value. They were actually
23 offset from some true ESP if we were able to measure
24 that with well developed flows. So I hope that
25 helps.

1 MR. BROOKMAN: That has given us something
2 to thing about over lunch. I'm going to suggest we
3 pause for lunch right now, even though we haven't
4 completed the Fan Efficiency Rating.

5 It's now 12:55 and takes just about an
6 hour to get -- if you don't leave campus, which I
7 don't anybody leave campus because you won't get
8 back and you'd have to go through security again. I
9 would say that we've really done a deep dive on a
10 few of these subjects today, and I know that's
11 useful to the Department. We also need to make sure
12 we get through all this material during the span of
13 the rest of the day when we return from lunch.

14 So you must wear your badge in the
15 building. And there's a big cafeteria, if you go
16 down to the ground floor and go about 100 yards in
17 that direction, a big cafeteria. You go up two
18 flights of stairs, or two escalators, and we can all
19 go en masse, if you'd like, but we will resume at
20 1:55, right here in this room.

21 Let me thank you, we've had a very
22 constructive dialogue, we'll continue that when we
23 resume from lunch.

24 (Whereupon, at 12:55 p.m., the meeting in
25 the above captioned matter was adjourned for lunch

1 recess, to reconvene at 1:55 p.m.)

2

AFTERNOON SESSION

1

2

2:01 p.m.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BROOKMAN: Let's start back up. So we covered a lot of ground this morning, and occasionally we dove deep into the little detour. We need to stay focused in the afternoon to make sure we get through all this content effectively. So I'm going to turn it back to Sam, and he's going to pick up where he left off.

MR. JASINSKI: Thanks. Unless anyone wants to comment further on the proposed reference systems, I'll move on.

MR. WITTINGHAM: This is Dave from Allied. Just one comment that the proposed control settings, there are a products that have stated limitations that are below those settings, and operating them at this range could lead to an unsafe or an unreliable condition. Thank you.

MR. BROOKMAN: Thank you. So the Department would love to see that data, it really would. Aniruddh.

MR. ROY: Aniruddh Roy, AHRI. I just want to summarize some of the points that have been brought up with respect to this reference system. We feel that with this proposal, DOE is condoning

1 field installation or practices that could be
2 contrary to what are specified in manufacturers'
3 instruction manuals, as well as maybe even ignoring
4 the poor ductwork that could be in some of the field
5 data. That was investigated in the course of
6 determining these values, so we feel that as far as
7 reference systems are concerned, it should be
8 limited to a performance comparison between
9 products, and not field values.

10 MR. BROOKMAN: Thank you. Additional
11 comments? Yes, Harvey.

12 MR. SACHS: Harvey Sachs, ACEEE. We've
13 been going through this question of the appropriate
14 external statics a couple of decades now. It's not
15 an easy one, but I'm struck by the fact that the
16 vast majority of air conditioner sales now, and for
17 the foreseeable future, will be for retrofits and
18 replacements. They're not for new construction.
19 I've had ductwork modifications done to get my
20 turning things, and things like that. I've tried to
21 run the numbers just to get a CCA quality
22 installation done as a way to differentiate premium
23 products. The costs of doing things outside the new
24 construction market, in replacements and remodeling,
25 are almost prohibitive for almost everyone. It is

1 imperative that any ratings we use give information
2 that has potential utility in the real world. And
3 the design expectations and the rating points that
4 point two and point three inches static, exist only
5 in the clouds.

6 The studies that have been done of new
7 construction, to code under Title 24, don't produce
8 those values. We have not insisted as part of our
9 consensus agreements that we go back and rerate air
10 conditioners at realistic external statics, because
11 it would require rerating all of those products.

12 This air handler proceeding is the one
13 chance we have to give the contractors information
14 that can be used in design for field conditions that
15 predominate. Not in our minds, but in the field,
16 and it would be a terrible pity to throw that away.

17 MR. BROOKMAN: Charlie Stephens.

18 MR. STEPHENS: And I would just add to
19 that that I don't think DOE really has a choice
20 here. If I go back to the middle bullet on the
21 eighth slide here where we talk about the test
22 procedure, making a reasonable representation of
23 energy use or efficiency in an average use
24 condition, that's not an average use condition in
25 the laboratory, that's in people's homes in this

1 case. So I think we have to take this range of real
2 life circumstances into account to the extent we
3 can. And I -- and based on our data, I don't think
4 what I'm seeing here is terribly unreasonable. It's
5 a reasonable range, based on what we've seen, even
6 though the variance can be somewhat large,
7 especially on the high side. This is reasonable in
8 our estimation.

9 MR. BROOKMAN: Okay. Sam, I don't think
10 you've yet presented slide 34.

11 MR. JASINSKI: No.

12 MR. BROOKMAN: So, proceed.

13 MR. JASINSKI: Slide 34 is using the same
14 data that was presented earlier as an example for
15 air flow and electrical consumption, this is using
16 that same data, here represented are the three
17 proposed rated air flow control settings. You'll
18 notice that the medium high gray curve is gone, and
19 just to clean up the slide a little bit, I also
20 eliminated the electrical consumption. But the
21 point of this slide is to give a graphic
22 representation of a reference system curve, using
23 the proposed reference system criteria for this
24 particular model, would help in showing where the
25 operating points are, or the relevant points of the

1 operating air flow curves are for this particular
2 model. So, where you can see that for this
3 particular model is of the installation type of
4 design to be paired with an evaporator coil, so it's
5 been assigned a reference system external static
6 pressure of 0.65 inches water column. At that
7 external static pressure, at the maximum air flow
8 control setting, it delivers 1050 cubic feet per
9 minute of air, and the equation that's shown there
10 is used to develop the rest of the curve which,
11 where it intersects the other air flow control
12 settings designates an operating point. So this
13 effectively shows where this particular model, what
14 the expected performance at the operating system
15 using the physical characteristics that are
16 represented by the reference system.

17 So this might be a little redundant, I
18 think we spent a little bit of time already on the
19 request for comment on the proposed reference
20 system. We can move along.

21 MR. BROOKMAN: Yes, any final comments on
22 the reference system. Greg.

23 MR. WAGNER: Yeah, there is one comment.
24 You used originally PSC motors for the standard
25 baseline, and there you're showing the air flow

1 curves typical of PSC motors. The thing with the
2 external static pressure being higher, that will
3 reward the PSC motor application, however it will be
4 detrimental to the ECM motor type of thing. So,
5 from using this kind of scheme, a PSC motor driven
6 furnace fan will have less watts used under this
7 scheme than it would under using an ARI rating
8 point, shall we say. And vice versa will happen
9 with the ECM motor. So it's going to skew the data,
10 one in favor, one against.

11 MR. BROOKMAN: Okay. Harvey, knowing that
12 we're trying to move on.

13 MR. SACHS: Harvey Sachs. So the
14 translation of Greg's comment is that DOE is
15 building a system that will discourage innovation
16 that would save energy, and would penalize products
17 that could be sold more profitably as premium
18 products that do save energy. This does not seem
19 consistent with the goals of the legislation.

20 MR. JASINSKI: One particular request for
21 comment that we have regarding the reference system,
22 DOE is aware that, as everyone has heard, that field
23 external static pressures can be higher than
24 recommended by manufacturers. DOE is also aware
25 that for the Canadian standard related to air

1 handler performance, CSAC 23, which was established
2 in February 2011, I believe, that they use multiple
3 reference -- that that standard uses multiple
4 reference systems, one to represent manufacturer
5 recommended installation, and another to represent
6 common, field installation. And the reference
7 system used for manufacturer recommended
8 installation is 0.3 inches water column, but I will
9 point out that there's a distinction. This is for
10 the heating setting, which is typically a median air
11 flow control setting, whereas the NOPR for DOE is
12 proposing to use the maximum air flow control
13 setting, which is a higher air flow control setting
14 and typically designated for cooling.

15 But the request for comment here is that
16 DOE would like to know if interested parties feel
17 that using a similar multiple reference system
18 approach would give a better indication of overall
19 performance. But I will preface that with, DOE
20 cannot set an energy conservation standard using
21 multiple metrics, so if we did use a multiple
22 approach, in the end it would have to result in a
23 single integrated metric.

24 MR. BROOKMAN: Greg.

25 MR. WAGNER: Greg Wagner. I participated

1 in those CSA meetings in rule development process.
2 The reason for two levels of that is the same one
3 we're having discussion about right now, that we
4 just previously had here, and that is that the point
5 six recommendation is not a good recommendation for
6 consumers and others installing equipment in the
7 field. And since there wasn't consensus reached, it
8 was thought better to have two levels to be able to
9 help consumers and others distinguish between good
10 practice and bad practice. And what we want to do
11 is encourage the good practice to get energy
12 savings, and not to be codifying bad practice, which
13 is what the direction of higher statics are leading
14 us.

15 MR. BROOKMAN: I'm not sure who would
16 answer the question, but is the industry in general
17 still behind either the results or the configuration
18 of the Canadian standard? Aniruddh.

19 MR. ROY: Aniruddh Roy, AHRI. In the past
20 the industry has submitted comments against the
21 adoption of the CEA 23 2011 standard because it is
22 significantly burdensome to the industry.

23 MR. BROOKMAN: That's a partial answer to
24 my question, thank you. Harvey.

25 MR. SACHS: Harvey Sachs, ACEEE. And this

1 is really a question directed to Eric, I suspect.
2 We have -- I have some confusion in my understanding
3 of the single metric, and I refer particularly to
4 HSPF, the heating season performance for heat pumps.
5 And it's my understanding that the Department does
6 require publication of the HSPF value for each of
7 five or six climate zones. And the reason I'm
8 bringing that up is that I could well imagine an
9 analogous process that would be hard to challenge,
10 if, within this single metric we still, for example,
11 using your FER wound up with zonal FERs depending on
12 the relative anticipated weight of cooling and
13 heating. So I'm just not understanding what single
14 metric means to you.

15 MR. STAS: Eric Stas, DOE. And I
16 apologize because I can't quite recall how HSPF got
17 into our regulatory system, whether it rose from a
18 statutory standard, do you recall?

19 MR. SACHS: I believe that it came in with
20 the initial batch of seasonal standards from --
21 Frank may remember it better than I do -- but it
22 came in with the water heaters, air conditioners,
23 heat pumps and furnaces, all in that same first
24 batch.

25 MR. STAS: I mean the general point comes

1 from the definition of energy conservation standard
2 6291.6.a, where it says "a performance standard."
3 That's where the genesis of this is, and we've had
4 this in many of our rulemakings, so I think you're
5 aware of that history. But we would appreciate your
6 comments on why you think this case is a different
7 case. In that if you were to analogize to these
8 HSPF, that would be a good --

9 MR. SACHS: Thank you, Eric. The only
10 reason I bring it up is just that it might make
11 sense.

12 MR. STAS: We're always looking for good
13 solutions that work well within the confines of the
14 statute.

15 MR. BROOKMAN: Yeah, thank you. Craig.

16 MR. MESSMER: Craig Messmer. I guess I
17 probably don't need to say it, but I will anyway.
18 Our reference system should be 1.2 inches. We're
19 pretty happy with that. So I recommend that you
20 continue it.

21 MR. BROOKMAN: Thank you.

22 MR. JASINSKI: So the reference system is
23 also useful in helping to determine exactly where
24 the procedure should specify the determination be
25 made. As we've heard, it's difficult to pinpoint

1 specific external static pressures, so instead of
2 requiring manufacturers to try to target those
3 specific operating points, DOE is proposing that
4 determinations be made at three -- three separate
5 determinations be made per rated air flow control
6 setting. One at 0.1 inches water column, the second
7 at an ESP that's equal to the applicable reference
8 system divided by two, and an ESP between the
9 applicable reference system ESP and 0.1 inches water
10 column above the reference system ESP. And the
11 reason the language is broad here is because there
12 are multiple reference system ESPs that are
13 proposed, so hopefully these instructions allow for
14 a universal approach to each of those different
15 scenarios.

16 The result is that three determinations
17 are made in each of three of the rated air flow
18 control settings, which results in a total of nine
19 determinations required to generate the proposed
20 metric FER for any given residential furnace fan.

21 Coming back again to our example of an
22 actual model. I brought back the electric
23 consumption curves, and this is just a general
24 overview of all the measured data that is required
25 to calculate FER for a particular model. You'll see

1 that three rated air flow control settings which are
2 the top curves, the black curve which is the
3 truncated reference system curve with the operating
4 points labeled with the black dots to show at which
5 -- to identify at which points we want to take -- or
6 at which points we want to use the electrical
7 consumption. And then, following down from those
8 black dots you'll see a provided black circles which
9 represent the electrical consumption measurements
10 that will be used in the calculation of FER.

11 So now that we have all the measured data,
12 the question becomes how do we calculate FER and use
13 the power measurements that were identified to
14 calculated estimated annual electric energy
15 consumption. And DOE is proposing to do that, as I
16 mentioned earlier, by proposing -- estimating
17 national average operating hours for each of the
18 rated air flow control settings, constant
19 circulation, heating, and cooling.

20 So DOE used the following equation to
21 establish or to estimate national average heating
22 and cooling fan operating hours. And I'll just walk
23 through this equation. So the hours are equal to
24 fan on time ratio -- and I apologize, this looks
25 like it's two separate variables, but in fact, that

1 is not a minus sign, it should be a hyphen, so
2 that's one single ratio -- so, the fan on time ratio
3 times the average annual energy use, which is
4 adjusted by a weather factor to account for weather
5 variations over a period of time, divided by the
6 input energy or input capacity in the cases of
7 heating and cooling.

8 To estimate the national average operating
9 hours for constant circulation, DOE used two reports
10 that provided survey results of homes in Wisconsin
11 and Minnesota related to their habits and use of
12 constant circulation. DOE used this data with a few
13 adjustments to account for factors that -- for
14 certain factors that the Wisconsin and Minnesota
15 data results are higher than what would be typical
16 of the national average hours for a number of
17 reasons. First of all, well the first two reasons
18 are closely related. Because Wisconsin and
19 Minnesota residents have a high awareness of indoor
20 air quality issues, the building codes in those
21 states are more stringent when it comes to
22 infiltration, so those homes typically have lower
23 air infiltration than the average home in the United
24 States, so for those combined reasons, the survey
25 results -- people in Minnesota and Wisconsin will --

1 DOE expects will use constant circulation a lot
2 more, so DOE wanted to account for that.

3 And then the last point there is that
4 Wisconsin and Minnesota homes are located in a
5 northern climate region, which is not indicative of
6 the climate of other climate regions, and so that's
7 another factor that contributes to the fact that
8 homes in Wisconsin and Minnesota may use constant
9 circulation more than in say, the hot dry region in
10 the south.

11 MR. BROOKMAN: Let's just pause just for a
12 moment.

13 MR. JASINSKI: Sure.

14 MR. BROOKMAN: Jim Vershaw, you have your
15 hand raised. Is your question related to these --
16 the earlier slide?

17 MR. VERSHAW: Yes, the earlier slide.

18 MR. BROOKMAN: Please. Go ahead.

19 MR. VERSHAW: As far as using three points
20 to characterize the curve, I firmly believe that we
21 ought to be ... get an accurate fit ... might be able to
22 be more particular point ... five points for the curve
23 which ...

24 MR. BROOKMAN: Jim, I don't know what you
25 can do, but you're kind of breaking up, we're

1 hearing two out of every three words. We're getting
2 the gist of it, but if you can do --

3 MR. VERSHAW: Well, I'm hearing myself
4 back on the phone. That better?

5 PARTICIPANT: Talk some more, it sounds
6 better.

7 MR. BROOKMAN: Yes, it sounds better, just
8 keep going, and loudly.

9 MR. VERSHAW: I want to go back --

10 MR. BROOKMAN: That's better, yes, go
11 ahead.

12 MR. VERSHAW: I think we ought to use five
13 points to describe the curve, you shouldn't use
14 three points. That's the first point. Second
15 point, was -- okay, I forgot.

16 MR. BROOKMAN: Okay, you can return to
17 that and we're going to continue with the
18 presentation point and then we can back up as
19 necessary. So, Sam, back to you.

20 MR. JASINSKI: Thanks. Were there any
21 questions or comments related to this slide?

22 MR. STANONIK: Frank Stanonik, AHRI. On
23 your equation, okay now the text says test by
24 national average heating and cooling fan operating
25 hours. And the equation talks about an input

1 capacity. Which input is that? By heating input or
2 by cooling?

3 MR. JASINSKI: For furnaces, it would be
4 your input heating capacity -- I'm sorry, for the
5 heating hours it would be the furnace input heat
6 capacity.

7 MR. STANONIK: I guess I asked my question
8 badly. So the question -- my question really is, so
9 this hours you would calculate separately heating
10 hours and --

11 MR. JASINSKI: No, I'm sorry. So these
12 calculations, these values are based on national
13 averages, so these aren't values that you would
14 calculate specific to each model. We did these
15 calculations based on national average data and have
16 proposed a specific value for hours that would be
17 used across all products.

18 MR. STANONIK: Okay. So then you use the
19 heating input?

20 MR. JASINSKI: Yes, the national average,
21 I believe it was from RECS 2005, the average heating
22 input capacity.

23 MR. STANONIK: Okay. And then the second
24 question is, the second bullet talks about, okay,
25 you used the results from information in Wisconsin

1 and Minnesota to estimate national average. So
2 first of all, I'm assuming that meant you made some
3 adjustments to adjust for the fact that you're
4 getting data from, let's say, a northern climate --

5 MR. JASINSKI: Yes.

6 MR. STANONIK: -- to somehow reflect an
7 average, a national average, and part of that is
8 using national average energy use?

9 MR. JASINSKI: No, the specific
10 adjustments that were made were, for instance, well,
11 the resulting average -- weighted average based on
12 survey responses for say, the Minnesota or
13 Wisconsin, I mean, specifically DOE expects that
14 those results are 50 percent higher than what would
15 be typical for other homes in the northern region,
16 and 90 percent higher than what would be typical in
17 the south hot, dry region.

18 MR. STANONIK: Okay. And if you'll
19 indulge me one last question on this slide, and this
20 is a serious question because I'm not familiar with
21 those Wisconsin, Minnesota studies, but so in these
22 homes where people were using the fan for constant
23 circulation, was there any let's say entry in the
24 data that might identify when those homes were
25 perhaps opening windows in the temperate times?

1 MR. JASINSKI: I can't say with 100
2 percent certainty, but I don't believe so. And just
3 as a note, one of the backup slides, which I know
4 there were some issues with the printouts, but if
5 you access the presentation on line, there's a
6 backup slide, number 64, provides the details of how
7 DOE translated the survey results into estimations
8 of hours and used these adjustment factors.

9 MR. BROOKMAN: Charlie Stephens.

10 MR. STEPHENS: Charlie Stephens. Listen,
11 Harvey made a point earlier that if you go back far
12 enough that we think, based on our own limited data
13 -- which we're trying to get more of right now, we
14 should have more data on this very shortly, which
15 we'll provide to the Department -- there's a high
16 correlation between circulation, or constant
17 circulation and high end air filtration, electronic
18 air filtration systems. That in the past it's --
19 most people are circulating to filter the air. And
20 I've learned that anecdotally by lots of
21 conversations with contractors who recommend this,
22 and program it, and their clients. So that's -- I
23 think that's potentially true.

24 I don't know about the Wisconsin and
25 Minnesota data, but in recent times, the code has --

1 the national energy codes have clamped down on air
2 tightness and ventilation may now be playing a
3 larger role in the future, in other words, and there
4 are a significant number of systems in our part of
5 the world compared to what there used to be, where
6 these systems are being timed to run for the
7 purposes of ventilation and there is a fresh air
8 inlet on the system. That's a recent phenomenon,
9 but it may be a forward looking phenomenon. We may
10 see more of that.

11 So I think what I didn't find in the
12 proposal here is a very good rationale -- I know we
13 don't have much data, but there's not a very good
14 rationale for your adjustment. And I really would
15 be a lot happier if we could find some more data and
16 get a better rationale for how we can estimate how
17 accurate this figure you're using is. If you are
18 willing to tell us what we need to know in order to
19 get that data, there's some chance that I can get a
20 lot more data, at least in our part of the world, if
21 somebody tells me. I have the budget to do it. I
22 just need to know -- I don't want to bring you data
23 that isn't what you needed. But we really, I think,
24 need a lot more data before we can nail this number
25 down. I'm not very happy with kind of what I see

1 here as arm-waving.

2 MR. BROOKMAN: Okay. Jim Vershaw is on
3 the line. Jim, go ahead.

4 MR. VERSHAW: Yes, Jim Vershaw here again.
5 ... Go back to the ... data where we wanted to do five.
6 The other point was that we feel that there should
7 be latitude on where the data is taken. In other
8 words, don't make it exactly one, or exactly point
9 three five, have a little bit of ... when you say five
10 points ... we want to get well spread out data points,
11 five should be just fine ...

12 MR. BROOKMAN: Thank you. Jim, you're
13 still breaking up, I don't know whether you've got
14 some other alternative that you could use, or
15 whether your cell phone needs to be charged or
16 what's going on there, but you can think on that.
17 Did you hear most of that?

18 MR. JASINSKI: Yes, I thought so.

19 MR. BROOKMAN: Yes, I think we got most of
20 it.

21 MR. MESSMER: You're clear on what he's
22 saying. He's saying --

23 MR. JASINSKI: Instead of targeting point
24 one, have some tolerance so you don't have to hit
25 that exactly --

1 MR. MESSMER: Right, because it takes a
2 while to get to any given test point.

3 MR. BROOKMAN: Okay. That's what I heard
4 as well. Dave, you want to --

5 MR. WITTINGHAM: Yes, just to kind of
6 reiterate what Jim was saying. There's many systems
7 when you go to the low end of the low end in regard
8 to static, or high end, systems can become unstable,
9 particularly when you're trying to measure air flow.
10 And the air measurement device, and the piece of
11 equipment that you're trying to measure, the
12 stability of those can be real critical.

13 MR. BROOKMAN: Okay. Good.

14 MR. JASINSKI: Thank you. So moving on,
15 DOE proposes a value of zero for hydronic air
16 handler off mode operating hours, because DOE
17 expects that hydronic air handlers are not typically
18 equipped with a seasonal off switch, or the
19 consumers will not turn off power to the hydronic
20 air handler. There's a definition provided for
21 seasonal off switch which essentially states that "a
22 seasonal off switch is a switch that cuts power to
23 the product and results in a distinguishable
24 difference between standby mode and off mode
25 electrical energy consumption.

1 So the idea here is that DOE does not
2 believe that hydronic air handlers typically have
3 such a switch, and in effect there is no
4 distinguishable difference between off mode and
5 standby mode electrical energy consumption.

6 And lastly, DOE estimates or proposes to
7 estimate that the average annual standby mode fan
8 operating hours is equal to the remainder of annual
9 hours not assigned the other modes discussed:
10 heating, cooling, constant circulation, or off mode.

11 So all that translates to this table, and
12 here are the results of those efforts. As you can
13 see, in the heating mode, the estimate is 830 hours,
14 constant circulation mode is 400 hours, cooling mode
15 is 640 hours, off mode zero as I mentioned, and then
16 the equation there for standby mode is essentially
17 the total annual -- total hours in a year minus the
18 hours that are estimated for the other modes of
19 operation.

20 Now you'll notice that there are two sets
21 of values, the single stage heating values that I
22 just mentioned, but DOE is proposing to estimate the
23 heating mode hours differently for multistage -- for
24 units that have multistage heating. The difference
25 being that the 830 hours that was estimated for the

1 single stage heating is divided by the heating
2 capacity ratio, and the heating capacity ratio is
3 the ratio of the output heat capacity in the low
4 heat setting to the output heat capacity ratio in
5 the high heating setting.

6 And on the next slide, I'll go into a
7 little bit more detail about that, the methodology
8 and the impacts of that. But does everybody have
9 the summary of the estimate hours?

10 So to go into detail about the multistage
11 hours. DOE proposes to account for the differences
12 in operation between single stage heating and
13 multistage heating, or modulating heating units in
14 its estimated annual heating fan operating hours.
15 DOE finds that low heat setting -- in multistage
16 units the low heat setting is typically -- typically
17 accounts for 90 percent of heating operation time.
18 And as a result, it requires more heating operation
19 hours when compared to a single stage unit to
20 provide the same total delivered heating in a given
21 installation.

22 So, as a result, DOE proposes to use the
23 following equation to determine average annual
24 heating operation hours for multistage and
25 modulating furnace fans, which is to take the 830

1 that is estimated for single stage and divide it by
2 that heat capacity ratio. So just for reference, an
3 example of a heat capacity ratio would be a model
4 where the low heat output -- low output heat is
5 roughly 70 percent of the high output heat capacity,
6 and that would result in heating hour estimate of
7 around 1185 hours.

8 So essentially, this is how DOE is
9 accounting for the fact that multistage heating
10 units have a longer operating, fan operating time in
11 the heating mode.

12 So there's lots of requests for comments
13 regarding these -- the operating hours, with some
14 specific comments, but the first one is generally
15 whether those operating values are reasonable
16 estimations of national average operating hours.
17 And I'll go back to the table so we can refer to
18 them.

19 MR. BROOKMAN: Aniruddh.

20 MR. ROY: With respect to the studies that
21 occurred in Wisconsin and Minnesota, I think these
22 two states have the indoor air quality issues -- or,
23 yes, indoor air quality issues, and so in the
24 national average I feel it would be better if DOE
25 also consider other states to give a better

1 representation of those hours, not just Wisconsin
2 and Minnesota. So those are our comments.

3 MR. BROOKMAN: Okay. Thank you. Greg.

4 MR. WAGNER: I was going to say, looking
5 at the circulation mode at 21 percent of the hours
6 represented on the single stage heating, I'm a
7 manufacturer, I'm going to target that for making
8 sure that I have the lowest watt consumption in all
9 the modes, so make sure I design something for that.
10 It's a big number out of that percentage of the
11 total run time.

12 The other thing is that the cooling mode
13 is included in here, and as we covered earlier,
14 that's covered under the SEER calculation, so it's
15 already a regulated part of it. I think, going back
16 to what we originally talked about definition, the
17 heating mode should be the only one that is part of
18 some regulatory action to evaluate what furnace fan
19 performances, as per the mandate originally laid
20 out.

21 MR. BROOKMAN: Okay. Thanks. Craig.

22 MR. MESSMER: Craig Messmer. We're seeing
23 a lot of the newer homes, very, very tight homes
24 starting to have a lot more circulation hours than
25 that. In fact, they may never shut off. So I don't

1 know if you factored that into this equation.

2 MR. BROOKMAN: This is nation-wide?

3 MR. MESSMER: Right, I don't know, maybe
4 there needs to be something that's stated for these
5 new tight homes. The FER's going to be grossly
6 different.

7 MR. BROOKMAN: Charlie Stephens.

8 MR. STEPHENS: I'm getting ready to launch
9 a study into that out in our area, but -- and that
10 is true except that in our area they tend to be
11 timed to meet ASHRAE 62.2 which is really what's
12 referenced in the code, and that tends to have them
13 running timed at about eight hours a day, typically
14 out where we are, in that mode. So whether or not
15 that overlaps the heating and cooling function is
16 another issue which we have to investigate. But I
17 hope to have some good data on that -- that's a
18 separate study we're about to launch. And I'll
19 provide the data.

20 What I wanted to ask was, well there are
21 two things. One is, how consistent are these with
22 the kinds of values that we see in the test
23 procedure for heating -- for furnaces, heat pumps
24 and air conditioning in terms of weight averaging?
25 You know, the ratings for -- I mean, I would hope

1 they would be somewhat consistent since some of
2 these products are used in that very same mode
3 sometimes in the very same climate zones. So I'm
4 just pointing that out that they should be
5 consistent. If they aren't, if they're radically
6 different, then maybe we ought to think about why,
7 making sure we know why.

8 The other thing is, how these things are
9 used makes a difference to me. We'll get into the
10 energy use here shortly, but I'm not very happy with
11 energy use and using these numbers as an energy use
12 metric. I think if they were used to weight average
13 a fan efficiency, watts per CFM, CFM per watt or
14 whatever, I'm happier with that, because I think you
15 won't be nearly as far off the mark with your
16 average number at the end.

17 The variation that we're going to see in
18 annual energy use is much larger than you're going
19 to see in the variation of the efficiency of the
20 fan, I think, even using these weight average
21 numbers to come up with a single national number.
22 If it was a single national watts per CFM, you're
23 not going to be too far off, I think. But you're
24 going to be way off in Butte, Montana and Waco,
25 Texas, if you try to put the same air handler in

1 those two places. The number that you come up with
2 is going to be really, really, really way wrong in
3 both of those places. And I don't think it's
4 constructive to lead people to believe that it's
5 useful. Whereas, you won't be nearly as far off if
6 you're publishing a single weighted average fan
7 efficiency number, based on these same weightings.
8 Just my two cents on that.

9 MR. BROOKMAN: Okay. Thank you.

10 MR. JASINSKI: So specific questions about
11 some of those -- some of them mentioned. DOE is
12 also requesting comment on whether hydronic air
13 handlers are designed to provide multistage or
14 modulated heat. This is just an instance where
15 hydronic air handlers are relatively newly
16 commercialized product and as we've discussed, there
17 are a lot of variations, so DOE is requesting
18 comment on whether those specific variations are
19 commercially available or -- you can provide that in
20 written comment if you can identify hydronic air
21 handler models that provide multistage or modular
22 heating.

23 MR. BROOKMAN: Yes, okay, Charlie's got
24 some data. Okay.

25 MR. JASINSKI: Another question is whether

1 or not the methodology presented for determining
2 multistage heating hours is appropriate.

3 MR. BROOKMAN: Craig.

4 MR. MESSMER: Well, we have multistage
5 hydronic air handlers, but we have no data on this.
6 We didn't know we needed to have any, so I'm not
7 sure how we're going to be able to reply to that
8 other than saying that we have multistage air
9 handlers.

10 MR. JASINSKI: Sure.

11 MR. BROOKMAN: Charlie, go ahead.

12 MR. STEPHENS: Yeah, I'll just --
13 multistage is -- you're kind of maybe using the term
14 a little off. It's not necessarily multistage, but
15 it is variable capacity. If you have a variable
16 speed air handler, and we use the ones by the major
17 manufacturers for this, with a hydronic coil, or you
18 can order one from Area Brands that makes the Life
19 Breath line -- they have a variable speed version of
20 this thing. You can use an outdoor reset control on
21 this thing to manage the pump for the hot water, or
22 to manage the temperature of the hot water, and you
23 can vary the heat being delivered to the house, and
24 you can vary the air flow to match the temperature.
25 And we've done a lot of projects like that in homes

1 that actually use them in that way, so it's -- it's
2 not exactly multistage because there's no burner,
3 but you do manage the hot water in similar ways,
4 either with the pump or the temperature of the
5 water, and you can manage your air flow to hit, for
6 instance, a delivered air set point temperature,
7 which is frequently what's done. So you should take
8 that into account, I think.

9 MR. JASINSKI: Thank you. That's very
10 helpful.

11 MR. BROOKMAN: Craig.

12 MR. MESSMER: Charlie brings up a good
13 point. What are we talking about multistage? Are
14 we talking about the heat generation portion of the
15 system, in this case the boiler with setback
16 controls? Or are we talking about just multiple fan
17 speeds as being the stage?

18 MR. JASINSKI: So similar to -- well,
19 essentially the air flow control settings, and that
20 goes back to tying -- DOE's assumption that air flow
21 control settings are typically designated for
22 specific functions. So in product literature, DOE
23 finds that different air flow control settings are
24 designated for heat, and in the instances of a
25 multistage units, one air flow control setting will

1 be designated for high heat output, and a lower one
2 would be designated for a low heat output. So in
3 the context of this proposed procedure, it would be
4 the air flow control setting that's designated for
5 low heat.

6 MR. MESSMER: Okay. Some systems, like
7 heat pumps, for example, the capacity of the system
8 changes not just with the air flow, but with the
9 outdoor unit. Same thing with a boiler. Same thing
10 with some other types of systems. So the percentage
11 of low stage is going to be different than if you
12 had just a simple air flow change, whereas maybe the
13 water temperature stays the same in the hydronic
14 coil. I'm not sure how to handle that, but it's
15 something we need to consider.

16 MR. BROOKMAN: Harvey Sachs.

17 MR. SACHS: Harvey Sachs, ACEEE. Sam, I
18 think your use of the term is somewhat idiosyncratic
19 in terms even of my limited understanding. I'm
20 pretty sure we saw four speed PSC motors long before
21 we had any significant penetration of modulating
22 heating devices. And in fact, my understanding,
23 which is not terribly good, but reasonable field
24 experience, is that this was to match to static
25 pressure to get the air flow you desired. That was

1 done very roughly. So that multistage to me, as an
2 industry term, is about the energy source supplying
3 to the coil, and it's not about the fan settings.
4 So I think you may well have confused several of us.

5 MR. JASINSKI: Okay. Well, just that as -
6 - to repeat. Essentially, you know, Greg has
7 brought this up multiple times in that the difficult
8 task here is to essentially separate thermal
9 performance from air flow performance. And within
10 the confines of the statutory limitations that we're
11 working under, our goal here is to rate air flow
12 performance. So in this context, DOE has made
13 assumptions about how air flow control settings play
14 into design decisions, and have come up with, based
15 on what we found in -- from discussions, comments,
16 and product literature, that in designing a fan to
17 be used in these systems, so designing a fan to be
18 used in a multistage system, for instance, that
19 there is a relationship between the air flow control
20 setting and a specific heating stage. So DOE here
21 is not confusing the two, they're simply asking and
22 assuming, and asking about that assumption, that
23 they are related, that in fact, when a manufacturer
24 produces a multistage heating unit that has multiple
25 heat outputs from the burner, that those outputs are

1 designated for a specific air flow control setting
2 of the circulation fan. There's a mapping going on,
3 essentially, not that they're the same entity.

4 MR. SACHS: (off mic) Application
5 specific. That's about ... in my experience.

6 MR. BROOKMAN: Charlie Stephens.

7 MR. STEPHENS: I think it might just be a
8 matter of terminology here. I mean we == when we
9 look at an air handler, specifically, ignoring the
10 heat source, we look at multispeed versus variable
11 speed, typically, to sort of separate out the ones
12 that you either have to wire for different tap
13 speeds, or some of the dumber ECM products that
14 actually look more like a multispeed PSC motor than
15 a true variable speed motor.

16 But I think the real difference in an air
17 handler is you've got a lot more choices with
18 speeds, typically, you've got a lot of dip switches
19 that you can play with on a variable speed motor,
20 versus a PSC or multitap motor. But, that being
21 said, they respond differently, and they're
22 controlled differently. So the question is, in our
23 mind, it's a matter of control. Are you controlling
24 to a single speed, or does the motor adapt to the
25 conditions that it sees and the controls -- and this

1 gets complicated. This is where I think people
2 earlier have pointed out, you know, that when you've
3 got an air handler that adapts to what it sees in
4 terms of external static or temperature, or its
5 being controlled on another variable like outdoor
6 air temperature or something like that, return water
7 temperature, whatever you want to use, you get a
8 more complicated paradigm, if you will.

9 But I think, again, for the test procedure
10 and giving this thing a rating, it just has to be
11 rated at a certain air flow point and external
12 static pressure point, regardless of what control
13 settings were used to put it there. I think if you
14 can just figure out how to rate the thing at those
15 points using as few variables as possible, we'll
16 understand in the field how that plays out when we
17 control it.

18 MR. BROOKMAN: Okay. Jim Vershaw also has
19 a comment or a question. Go ahead, Jim.

20 MR. VERSHAW: Can you hear me this time?

21 MR. BROOKMAN: Yes, sounds better.

22 MR. VERSHAW: Well, I've only dialed in
23 three times so I'm little bit late on the comment,
24 but if you go back to -- I'm with the gentleman
25 who's questioning, who's using the number of hours

1 in this whole calculation, and what's the value that
2 brings, because it's an arbitrary number that's
3 supposed to be kind of representative of some place
4 in the country, but it depends upon so many things.
5 Why not just -- the performance of the appliance
6 based on what the end condition? That gives you the
7 thing without throwing in hours that confuses what's
8 really going on depending on where you are and how
9 you're using the problem.

10 MR. BROOKMAN: Okay.

11 MR. JASINSKI: So here --

12 MR. BROOKMAN: Harvey Sachs.

13 MR. SACHS: Harvey Sachs, ACEEE. If I
14 could be so bold as to translate Charlie Stephens
15 and Jim Vershaw, I think you would find a lot of
16 support for expressing this metric in watts per CFM
17 instead of trying to do it in kilowatt hours per
18 year. It may require a little bit of a stretch. It
19 may require a lot of support. But I haven't heard
20 anyone defending the efforts to remove ourselves
21 further from the data with a lot of assumptions and
22 extrapolations to get this as annual energy
23 descriptor instead of a steady state descriptor.

24 MR. JASINSKI: Maybe this will become more
25 clear when we provide examples, but the proposed

1 metric is actually in the units of watts per CFM.
2 The estimate average annual energy consumption is
3 normalized by the operating hours as well as the air
4 flow in maximum air flow control setting, so the
5 resulting metric will be in terms of watts per CFM.
6 And I think that will become -- I'm going to provide
7 an overview of the variations of the FER
8 calculation, and then immediately after that show
9 some examples of how FER will be calculated for
10 specific models. So maybe that will clear up some
11 confusion.

12 MR. BROOKMAN: Going in that direction.

13 MR. JASINSKI: Like I said, there are some
14 variations of the FER equation. At the top I've
15 provided general form, so FER here. As we stated
16 previously, it's just the estimated average energy
17 consumption which essentially is the sum of
18 operating hour -- the estimated operating hours
19 times power consumption in all the rated modes,
20 depending on the product, normalized -- again,
21 divided by the sum of the operating hours for the
22 rated modes, times the maximum air flow control
23 setting, and all that is multiplied by 1000 to put
24 the final resulting metric in the units of watts per
25 1000 CFM, which I think a lot of manufacturer are

1 familiar with. I think that's how fan performance
2 is characterized for the CAC rulemaking.

3 So the first variation that I've provided
4 is for non-hydrionic furnace fans. Again, for non-
5 hydrionic furnace fans, standby and off mode
6 operation are being excluded, because those --
7 consumption in those modes is being covered in
8 ongoing rulemaking activities for products that fall
9 into those categories. Here you can see the
10 specific variables that follow the general form
11 under those constraints.

12 Next is heating and cooling hydrionic
13 furnace fan, to designate them from heating only
14 hydrionic furnace fans. And here I've highlighted in
15 red that standby mode and off mode are included here
16 and it's important to note not only is annual energy
17 consumption in those modes included in the
18 numerator, but a key difference is that the
19 estimated operating hours is included in the
20 normalization factor in the denominator here also.
21 And later on in the rating metric examples and
22 comparisons, the impact of that will come to light.

23 Following that is the heating only
24 hydrionic furnace fans variation. Excuse me, before
25 I go on, you'll notice that this is actually IFER

1 which stands for integrated fan efficiency rating,
2 and the reason is because standby and off mode here
3 are integrated, pursuant to EPCA when possible, any
4 measurement of standby and off mode should be
5 integrated in the overall metrics. So that's the
6 reason there is a variation for integrated fan
7 efficiency rating.

8 So, then the last variation, heating only
9 hydronic furnace fans. Again, DOE expects that
10 there are some hydronic furnace fan products out
11 there that are not intended to be paired with a
12 cooling system, which may or may not be accurate.
13 But in that particular variation you'll notice that
14 there are no terms for accounting for cooling
15 operation. So these are the different variations of
16 the FER equation.

17 MR. BROOKMAN: Yeah. So questions on the
18 equations? We're about to describe some rating
19 examples. So maybe that will be illuminating.

20 MR. SACHS: In the third equation --

21 MR. BROOKMAN: Harvey Sachs.

22 MR. SACHS: Harvey Sachs. -- we have a
23 term CH times E-sub-max. I assume that's E-sub
24 cooling instead?

25 MR. JASINSKI: No, it's intentionally max

1 because, as proposed earlier, DOE is proposing to
2 rate in the maximum air flow control setting, which
3 expects is designated typically for cooling
4 operations.

5 MR. SACHS: Thank you. So this refers
6 back to the earlier ambiguity. Thank you.

7 MR. JASINSKI: Sure.

8 MR. BROOKMAN: Charlie.

9 MR. STEPHENS: Charlie Stephens. Just a
10 quick -- how are we differentiating between heating
11 and cooling hydronic and heating only?

12 MR. JASINSKI: So DOE found that there are
13 certain hydronic air handlers that are not designed
14 to be paired with an external evaporator coil,
15 therefore the thinking is that the fan is not
16 designed to provide cooling, which would -- I'm
17 sorry, go ahead.

18 MR. STEPHENS: Well, actually, we're using
19 those with cooling, and in fact you can do that, do
20 cooling when you use a chilled water -- you use
21 chilled water from a heat pump to do that. You
22 don't use an external coil, you would only use --

23 MR. JASINSKI: Right.

24 MR. STEPHENS: So we use a fan speed that
25 did cooling.

1 MR. JASINSKI: I guess the important
2 question is then, is there a need for a distinction?
3 I guess what we're trying to do is prevent using the
4 IFER for hydronic furnace fans that provide heating
5 and cooling for something that might not be designed
6 to do that.

7 MR. STEPHENS: The difference -- this is
8 Charlie again -- the difference comes in when you
9 either have an external refrigerant coil on the
10 system or you don't. But the fan speed, the fan
11 speed may be the same. You may be doing cooling in
12 the maximum -- what you call the maximum E-max, but
13 the external static that it's working against may be
14 different, depending on whether you're doing it with
15 a DX coil or you're doing it with chilled water. I
16 don't know how you're going to make that
17 distinction, but we're doing both of those things
18 actually, so --

19 MR. JASINSKI: Thank you.

20 MR. STEPHENS: It depends on whether you
21 have a boiler or a heat pump, or a water heater or a
22 heat pump doing the heat.

23 PARTICIPANT: Sorry, to address Charlie's
24 situation, you could just have one formula and if
25 there's no cooling, CH goes to zero, and the formula

1 looks like the bottom one, right?

2 MR. STEPHENS: Yeah, well, I don't know
3 how the inter -- I haven't thought about how the
4 interplay goes between the external static. You
5 have an extra coil in once case and you don't have
6 an extra coil in the other. So the values that --
7 yeah, the E values are, you know, it's a matter of
8 whether it's E-heat, which is one coil, or an add-on
9 coil I think is the differences in the E you're
10 using.

11 MR. JASINSKI: Just to provide an analogy
12 I guess that might clarify so that we can -- so that
13 when you provide written comments you understand
14 what DOE is trying to understand here is that,
15 analogous to maybe a furnace manufacturer who is
16 designing a furnace that is not intended to be
17 paired with a cooling coil, they might design that
18 fan differently than they do for one that is
19 designed to have a cooling coil. So that's what
20 we're trying to do here. Does there need to be a
21 distinction for a hydronic air handlers or any
22 products that may not be -- the fan design is not
23 intended to provide cooling. It would fall into one
24 of these bins, but the question is we don't want to
25 use the wrong equation for, say, a hydronic air

1 handler, if it exists, that is not intended to
2 provide cooling.

3 MR. BROOKMAN: Charlie.

4 MR. STEPHENS: One quick -- I don't know
5 of any that are not designed to do cooling. All the
6 ones that we use like -- and I don't like to mention
7 names -- but like Tranes 4TEE (ph) air handlers,
8 Carrier's FE-4s, those. We use those. They're
9 designed to do cooling or whatever, and the Life
10 Breath product is designed to do cooling as well, so
11 all the ones we use will or will not do cooling,
12 depending on what you want.

13 MR. JASINSKI: Okay. Thank you.

14 MR. BROOKMAN: Craig.

15 MR. MESSMER: Craig Messmer. It really
16 depends on what the goal is of this rating metric.
17 If the goal is to get the field to determine what
18 the energy use is on an annual basis, then having
19 separate equations sort of makes sense, because you
20 don't have cooling in one, okay. But if the goal is
21 to be able to rate across the board, how do you
22 compare a non-hydronic furnace fan FER with a
23 heating only hydronic furnace fan IFER? How do you
24 know which one's more efficient?

25 I would propose that you have just one

1 equation and that's it. And just plug in some
2 standard values for cooling or whatever if it
3 doesn't have it. That allows you to compare
4 different products across different product types.
5 We've already kind of agreed, sort of, that none of
6 this is going to give anybody any indication of what
7 their energy use is going to be during the year, so
8 I think we can take that goal off the table. So
9 that's what I would recommend.

10 MR. BROOKMAN: Greg.

11 MR. WAGNER: Yeah, I'll just dovetail
12 that. We talked a lot about that, and some of this
13 calculation and manipulation, you get the hours and
14 all the other stuff. We're just doing a lot of work
15 to accomplish something that it sounds like a lot of
16 folks don't want to get, and it's not necessarily
17 going to be helpful to their consumer, because
18 ultimately, they need to know what is the cost of
19 energy per whatever that function of that device is.
20 And we're losing sight of that by doing a lot of
21 this extraneous calculation, manipulation of data.

22 MR. JASINSKI: Okay. I'll move on.

23 **Rating Examples and Comparison**

24 Next I want to provide some rating
25 examples to hopefully get everyone a little bit more

1 familiar with the fan efficiency rating and how it
2 compares across different types of products.

3 So this is something you've seen before.
4 Again, using the same non-weatherized gas, non-
5 condensing furnace fan with a four speed PSC motor,
6 we'll use the proposed annual operating hours, and
7 this table essentially walks through the calculation
8 of estimated annual energy use. So you can see that
9 in the power column, those are the measurements that
10 are taken at the operating points which are
11 identified by the reference system, multiplied by
12 the estimated annual operating hours. You can see
13 the annual consumption by function in the last
14 column. And then in the bottom, the total.

15 I've provided a reiteration of the FER
16 equation here, and then below that you can see the
17 actual values for each of those different factors.
18 So at the top, the annual -- the estimated annual
19 energy consumption, normalized by air flow in the
20 maximum air flow control setting, which in this case
21 is 1050 CFM, and that is multiplied by the total
22 annual rated operating hours, which in this case
23 does not include standby or off mode, so it's
24 essentially just the sum of the annual operating
25 hours, multiplied by 1000, which results in a fan

1 efficiency rating for this particular model of 376
2 watts per 1000 CFM.

3 So next -- I don't have a depiction of the
4 -- or a graphic of the measured data, but this is
5 for a heating and cooling hydronic air handler
6 furnace fan that uses an ECM motor. So again, the
7 first column shows the power which was identified
8 using the same methodology as before, multiplied by
9 the annual operating hours. And I've highlighted in
10 red here that the standby operating hours and power
11 consumption are considered for this particular
12 product, the hydronic air handler, which you can see
13 impacts the total annual operating hours, as well as
14 the annual energy consumption.

15 So again, same representation in words of
16 what's going into the integrated FER calculation
17 here. And then below, the numbers that correspond
18 to those things. Of note here, you'll notice that
19 the annual rated operating hours amounts to the
20 total annual rated operating hours, whereas in the
21 previous example that number was much lower because
22 it excluded standby operating hours, and again,
23 multiplied by 1000 to result in an integrated FER
24 rating of 45 watts per 1000 CFM.

25 To bring these two together and to provide

1 a little bit more context, essentially what this
2 graph shows is both of those ratings -- it shows the
3 contribution in each mode to the total of that
4 rating. And so the one all the way to the left is
5 the non-weatherized gas, non-condensing furnace fan
6 that uses a four speed PSC that we've seen
7 throughout the presentation. All the way to the
8 right is the example that I just presented of the
9 hydronic air handler heating and cooling that uses
10 the ECM. And then to bridge the gap, to show --
11 because the difference between the hydronic air
12 handler is one that it includes standby, but also
13 that it also uses a different motor type, I provided
14 a non-weatherized gas, non-condensing example that
15 uses an ECM to show the comparison between PSC and
16 ECM performance. And below, in case you missed any
17 of that, I've provided information regarding how the
18 acronyms match up to the specific types.

19 MR. BROOKMAN: Dave.

20 MR. WITTINGHAM: This is Dave with Allied.
21 I think if you go back to the prior two slides, it
22 really illustrates the problem of having two
23 different measurement and metrics. That if you're
24 looking truly at fan performance, when you include
25 the standby power, it really skews the number so

1 from a comparison standpoint, it is going to cause
2 confusion, and even adds to the value of the, in a
3 negative way, of the metric itself. Because if you
4 look at the power that it's using when it's moving
5 air, in the first scenario, it's kind of in between
6 the values. This number is below any of the values
7 that when it's truly moving air. Thank you.

8 MR. BROOKMAN: Frank Stanonik.

9 MR. STANONIK: I think Dave hit a key
10 point. If this is supposed to be a fan efficiency
11 measurement, and the key idea is how much energy I'm
12 using to move air, that's the function of this
13 product, then injecting the standby laws really
14 doesn't fit that descriptor. And in this particular
15 case, it just being allocated here, where in the
16 other cases it got allocated somewhere else. I mean
17 standby loss for this equipment is somewhere, but it
18 seems so arbitrary to stick it here and drag that
19 number down in this one instance.

20 MR. BROOKMAN: Charlie.

21 MR. STEPHENS: Charlie. I would agree.
22 I'm a little bit ambivalent about how you do it, but
23 I think you need to make things consistent. You
24 either need to bring the standby power in from the
25 other air handlers besides hydronic, and I think

1 most manufacturers already have that number as long
2 as the test methods are consistent from what they
3 have to do to get that from like a Carrier FE-4,
4 whatever, 4TEE, whatever, then you should bring it
5 in here. Or, you should separately list it out, or
6 take it out of that one. Because I really do think,
7 again, all those hours and everything, your hourly
8 allocations are going to change depending on where
9 you are, and that -- even the standby number is the
10 residual of whatever's not active mode, essentially,
11 and that varies.

12 So I agree with the other commenters that
13 that really should not be in one type of air handler
14 and not in the others, or maybe it should be
15 separate for the hydronic, because as you say, it's
16 not covered anywhere else, but it needs to be apples
17 and apples.

18 MR. BROOKMAN: Okay. Harvey.

19 MR. SACHS: I would look forward to
20 comments from industry, including the motor
21 manufacturers. What we've seen with a number of
22 other technologies is the standby power is the
23 result of other design considerations, when standby
24 power was not considered something that was an
25 important design variable. And if it is somehow

1 made visible in ways that matter to the customer of
2 the advanced motor, we may see that the 75 or 80
3 kilowatt hours a year go down a great deal. It may
4 well be, as we've seen with power supplies,
5 analogous to power supplies in some respects for
6 computers, that we can get the functions we want and
7 save money with some redesign that only gives us
8 three watts.

9 So I'm certainly sympathetic to the view
10 that incorporating that standby into the annual
11 energy consumption. It's something that's hard to
12 do and decreases the value and can only be justified
13 if that's the only construction of the statute that
14 can be allowed. Otherwise, separately reporting
15 that would certainly be a whole lot better as a
16 signal for innovation and approaching our energy
17 efficiency goals as a nation.

18 MR. BROOKMAN: Okay. Thank you. Final
19 comments on 49 and the preceding slides that build
20 up to that?

21 MR. JASINSKI: Doug, I have one specific
22 question. One thing that's not represented here is
23 that some of the impacts that we're pointing out as
24 being less than desirable to some, between the
25 hydronic air handler rating here and the non-

1 weatherized gas, from including standby, might also
2 be characteristic of a comparison between a single
3 stage and multistage unit, because if we go back
4 here, the calculation for the annual heating hours,
5 that 830 would actually be divided by that heat
6 capacity ratio. So that 830 would increase, like I
7 said before, something typical might be around 1185,
8 and the result would be that the total for say, a
9 multistage -- this is a single stage I believe --
10 the total for a multistage might be a little bit
11 larger than that. And again, it would cause a
12 discrepancy in the comparison.

13 So one question is whether or not
14 normalizing by the total annual operating hours, or
15 the same number of hours regardless of how you come
16 to that total, would be beneficial as opposed to
17 calculating them for each specific model?
18 Essentially eliminating differences in the
19 denominator. Something to think about.

20 MR. BROOKMAN: I think include in your
21 comments. Greg, go ahead.

22 MR. WAGNER: Certainly that 8300 hours or
23 8760 number of hours versus 1800 hours skews that
24 data hugely, and since you're only running it at 11
25 watts in the standby mode, it does a huge disservice

1 to have two numbers that are ostensibly supposed to
2 be comparable, not being in the same ballpark. So
3 something has to be adjusted, the hours, standby
4 mode, something to take away that factor.

5 MR. BROOKMAN: Charlie.

6 MR. WAGNER: I would say the last thing is
7 in circulation mode, the same thing holds, since it
8 is a significant amount in this particular case,
9 you'd want to drive the circulating watts down
10 considerably to, you know, you may not do anything
11 about the other modes, but you drive those watts
12 down and you'd have much better FER, yet it's not
13 necessarily a better product. That's not a good
14 factor.

15 MR. BROOKMAN: Charlie.

16 MR. STEPHENS: Yeah, I just would add to
17 what Harvey said, I agree with what he said about
18 separating it out so it's not trivialized. But the
19 other thing is standby is particularly egregious
20 everywhere because it provides no service to
21 anybody. It's just power consumption for nothing.
22 And we should really be willing to invest a couple
23 of bucks to actually fix that. And I don't think we
24 will, I mean, if you bury 75 kilowatt hours in 700,
25 it's not going to be a big number, but if you

1 separated it out and say, look, this could be 25
2 instead of 75, and you multiply that times millions.
3 I mean that gets to be a power plant or two. So we
4 really need to be able to focus on that.

5 MR. BROOKMAN: Okay. Are we shifting
6 gears?

7 MR. JASINSKI: Yes, I'm going to --

8 MR. BROOKMAN: I'd like to invite everyone
9 to stand up and just stretch for a moment while
10 we're shifting gears here. And you can stay
11 standing. Now we're going to hear from Detlef
12 Westphalen. Actually Deet-lev (ph) Westphalen.

13 **Certification, Compliance and Enforcement Overview**

14 MR. WESTPHALEN: Detlef Westphalen, yes,
15 with Navigant. Sam and I had a fight about how many
16 of the slides that he'd allow me to present, and it
17 wasn't many. There might be a reason that he wanted
18 me to present these couple here, but anyway.

19 Certification, compliance and enforcement.
20 There's really only one slide here with some request
21 for feedback. I realize what's not mentioned here
22 is that -- and it's listed in the NOPR -- that there
23 are also some changes associated with what's
24 required -- proposed to be required in a
25 certification report for these products. And I'm

1 not going to dwell on that unless somebody wants to
2 get into that.

3 But this slide is about sampling plan for
4 residential furnace fans. DOE proposes to create a
5 new section for sampling plan specifications for
6 manufacturers to determine the certified ratings,
7 and DOE proposes to adopt the same statistical
8 sampling procedures that are applicable to
9 residential furnaces. Those are in sections 18 and
10 they also refer to section 11 of 10CFR429.

11 And this third bullet, I'm just going to
12 read it. DOE believes product variability and
13 measurement repeatability associated with the
14 electrical energy consumption measurements proposed
15 for rating residential furnace fans are similar to
16 those associated with electrical energy consumption
17 measurements required for residential furnaces. As
18 I said, I'm just going to read that and then request
19 comment.

20 MR. BROOKMAN: Yes, Aniruddh.

21 MR. ROY: So the interpretation as far as,
22 you know, what EPCA's guidance has been for DOE is
23 to open up the scope to various products. But when
24 it comes down to certification requirements, it's
25 narrowed down to furnaces, residential furnaces.

1 That's something we fail to understand because in
2 the case of confidence limits, you have different
3 confidence limits for residential central air
4 conditioners and heat pumps, and what is specified I
5 think under residential furnaces is about 97.5
6 percent. So these products are subject to different
7 confidence limits as far as DOE certification is
8 concerned. So we think it's kind of unfair to just
9 extend the 97.5 to all the products, because
10 currently the manufacturers are rating central air
11 conditioners, I believe, to 90 percent. So that
12 should be taken into consideration.

13 Another factor we hear with AMCA 210 is
14 that Section 4.1.2 specifies a random uncertainty of
15 -- or measured random uncertainty of 95 percent. So
16 I think DOE should take that into consideration also
17 before coming up with a confidence limit of 97.5
18 percent. In fact, my question originally before you
19 stated that slide was, has DOE evaluated the
20 feasibility of the 97.5 confidence limit thus far on
21 the proposed FER metric?

22 MR. WESTPHALEN: Well, I would say at this
23 point, Sam mentioned that there was some testing
24 conducted, and obviously the scope of the testing
25 that's going to be conducted for such a rulemaking

1 is much more limited than all of the testing that a
2 lot of the manufacturers do in their own labs. DOE
3 would certainly welcome data that would provide some
4 indication of what the confidence levels perhaps
5 should be if the proposed levels aren't appropriate.

6 MR. BROOKMAN: Dave.

7 MR. WITTINGHAM: Yeah, this is Dave from
8 Allied. While the measurement of the electrical
9 power should be fairly stable and accurate, although
10 there are some special requirements for variable
11 speed motors -- you have to have true RMS type
12 devices which some manufacturers may or may not
13 have. When you introduce the measurement of air
14 flow into this equation, the variability of air flow
15 measurement is considerably higher. The measurement
16 uncertainty, the tolerances of motors, fans, the
17 manufacturing process, there is a fairly high degree
18 of variability in the air flow of measurement.

19 Greg, I mean, your area of expertise is to
20 build air moving devices, and Greg can allude to the
21 difficulty of consistent and accurate air
22 measurements. And I think that is something that
23 DOE needs to consider in this, moving forward, that
24 the measurement uncertainty tolerance of components
25 within this. We need to have a reasonable tolerance

1 in this and absolutely the rating and enforcement
2 confidence limits need to be the same. We have an
3 issue, a unitary small (ph), where we have a
4 different rating confidence limit and an enforcement
5 confidence limit. I think that's something that we
6 should absolutely try to prevent here.

7 MR. BROOKMAN: Greg.

8 MR. WAGNER: As any of you that have
9 conducted air flow measurements know, it's difficult
10 to get accurate, precise measurements. And even
11 under laboratory conditions, as Aniruddh alluded,
12 AMCA will define what some of those uncertainty
13 confidence levels are. It's much greater than what
14 it is for what they do currently with the furnace
15 testing where it is the temperature and a meter
16 device to establish what that capacity is. That's a
17 fairly robust measurement system. When you go to
18 measure air flow, it's not as consistent, as Dave
19 just outlined. That's another reason, a good
20 reason, for keeping with the standard that's already
21 used and accepted in terms of measuring output and
22 capacity of products, which DOE recognizes in terms
23 of the AFUE, and adding on something of an
24 electrical consumption with that, because you
25 already have an understanding of what that tolerance

1 and uncertainty window is for measurement of
2 capacity.

3 MR. BROOKMAN: Okay. Harvey.

4 MR. SACHS: Thank you, Detlef. My brain
5 is getting old and I don't remember the statistical
6 sampling procedures for residential furnaces. But
7 it brings me back to my initial, not my initial, but
8 one question earlier to Eric and Mohammed, and this
9 section is called certification, compliance and
10 enforcement. What is going to be certified? This
11 IFER or FER determined measurement -- no,
12 calculation -- or the underlying measurements that
13 support it? What is the manufacturer going to be
14 held responsible for?

15 And I ask this in part because it directly
16 relates back to the question whether we'd rather
17 have five air flow measurements occur at different
18 static pressures, or rather have multiples --
19 multiple measurements at three? So there's just an
20 awful lot of ground to be covered, I think, before
21 any of us has an understanding of what is being
22 asked.

23 MR. WESTPHALEN: I think part of what
24 you're referring to, Harvey, is the proposed
25 requirements for certification reports. And I kind

1 of brought this up here with me, a cheat sheet, so I
2 didn't have to memorize it.

3 MR. SACHS: I don't have it.

4 MR. WESTPHALEN: And I'll read it. So for
5 -- and it's different for furnace fans used in
6 hydronic air handlers, but for furnace fan used in
7 HVAC products other than hydronic air handlers, the
8 represented value of the fan efficiency rating, the
9 FER, the maximum air flow capacity at the reference
10 system external static pressure, in cubic feet per
11 minute, whether the product has multistage or
12 modulating heating, and if so, the maximum and
13 minimum output heat capacities in British thermal
14 units per hour. And whether the HVAC product is
15 designated for use in manufactured homes.

16 MR. SACHS: But these are all data you
17 require to be revealed. Not all of these are
18 certified.

19 MR. WESTPHALEN: These are all items that
20 are proposed to be required as part of the
21 certification report.

22 MR. SACHS: Okay. So in terms of my
23 question, the FER would be a required disclosure
24 subject to compliance, but none of the underlying
25 data would need to be disclosed to the Department,

1 although many of us would hope that they would be in
2 the engineering literature from the manufacturer.

3 MR. WESTPHALEN: That's correct. Usually
4 DOE reserves the right to inspect test report data
5 which would have --

6 MR. SACHS: Yeah. Thank you.

7 MR. BROOKMAN: Terry.

8 MR. SMALL: I have one comment -- this is
9 Terry Small -- that you might want to consider, is
10 the idea that maybe the manufacturer be allowed to
11 obviously have the choice of testing each model.
12 Other possibility might be to use an AEDM, perhaps,
13 to rate models. Just a thought, if you've
14 considered that, or would consider that as part of
15 your rulemaking.

16 MR. WESTPHALEN: I'm not aware that there
17 has been discussion as part of the discussion
18 specifically on this test procedure development
19 regarding allowing AEDMs. But I would imagine
20 that's something that DOE could consider. And
21 certainly if your written comments could elaborate a
22 little bit more, that might be helpful.

23 MR. KHAN: This is Mohammed, DOE. Detlef
24 just kind of took the words out of my mouth. And
25 I'm sure that you will submit comments, and I hope

1 that you could elaborate on that option, explaining
2 what potential benefits there would be, right,
3 versus the burden that's involved. What kind of
4 measurements are there going to be to try to
5 validate such a program, how reliable it's going to
6 be, so forth and so on. Those are the kinds of
7 things that DOE would need to be able to consider in
8 making that kind of determination.

9 MR. BROOKMAN: Charlie.

10 MR. STEPHENS: Charlie Stephens. I just
11 would add that we have done quite a bit of
12 laboratory testing of heat pump systems, which
13 obviously involve the air handlers, and it involved
14 testing the air flows, and we were quite pleased
15 that we were able to validate pretty much all the
16 manufacturers' fan curves, as well as their ratings
17 in the lab. So we -- whatever the manufacturers are
18 doing to measure the air flow and develop their fan
19 curves seem to be what we found if we went to
20 measure the same things, almost across the board.
21 So I don't -- we're not very discouraged with what
22 the manufacturers produce in their own literature.
23 So we know it's possible, and when we actually go to
24 measure it, we get the same numbers, oddly enough,
25 which is encouraging to us.

1 So I think this is actually already
2 happening in some places. And as hard as it is to
3 measure, we must be measuring pretty much
4 identically to the manufacturers. We had four
5 different manufacturers' equipments in the lab, and
6 several different capacities, and we didn't really
7 find anything off the mark when we were doing our
8 own work. So somebody's doing fairly consistent
9 work out there, and I don't have any reason to
10 suspect that we couldn't continue that.

11 MR. BROOKMAN: Dave.

12 MR. WITTINGHAM: Just a comment on that,
13 and I think the manufacturers do make every effort
14 to publish accurate air flow data. But when you
15 look at something that's held to a 97.5 percent
16 tolerance limit, it's a completely different row.
17 And that's what this is advocating.

18 MR. MESSMER: And Charlie, it's Craig. I
19 can echo that, that's the challenge. What is that
20 confidence limit? And we test per AMCA standards
21 as described there. We have oftentimes testing in
22 comparison to the manufacturers, and occasionally
23 there are differences in the amounts that are given,
24 and we test, you know, hundreds if not thousands of
25 units annually, and I would just say that I would

1 have a very strong problem with meeting anything
2 close to 97 percent.

3 MR. BROOKMAN: Let me inquire on this
4 point, because I think Aniruddh referenced a number,
5 but maybe it's late in the day -- I thought that's
6 all I heard. Would the two of you suggest what the
7 confidence level should be?

8 MR. WITTINGHAM: Well, I think -- this is
9 Dave with Allied -- I think at the high side, it's
10 probably a 90 percent confidence limit. I mean
11 that's what we have in place for the air
12 conditioning side. But actually, I think there's
13 some work that would need to be done to validate
14 repeatability of this over a section of products
15 before I could give a full answer to that.

16 MR. BROOKMAN: Frank?

17 MR. STANONIK: If you could go back to the
18 slide that actually has the FER calculation -- I
19 don't want to use it as an illustration, but that
20 one, yes. I mean, one of the byproducts of the very
21 -- the current significant discussion going on about
22 certification and enforcement is that at least our
23 members have certainly become quite a bit more
24 appreciative of the significance of the confidence
25 limits. And I think because of that, to answer a

1 question like this, as Dave mentioned, we probably
2 would want to do -- try and do a much more rigorous,
3 I call it, air analysis, to come up with let's call
4 it a documented number, as opposed to the historical
5 practice, which was kind of, yeah, that kind of
6 looks good. I'll just tell you, I'm not aware of
7 any data that supported any confidence limits for
8 any of the equipment that we deal with today. They
9 were just numbers that seemed to fit.

10 But in this case, if you're looking at,
11 you know, you've got, as an example, you've got the
12 Emax of the cooling hours, you've got the -- you
13 have at least three electrical measurements, and
14 then you have the air flow measurement.

15 PARTICIPANT: I don't mean to interrupt,
16 but there's actually nine measurement points that
17 are being proposed, and then there's a curve fit
18 based --

19 MR. STANONIK: Okay. So you have nine
20 electrical -- okay, nine electrical --

21 PARTICIPANT: Nine measurements.

22 MR. STANONIK: Nine measurements and in
23 terms of what's done today, okay, so it makes some
24 reference to -- well, today we measure electrical
25 consumption on a furnace at the same confidence

1 limits. Well, yeah, but again, that's kind of --
2 because that's the cards we were dealt. But
3 especially for something like this, we can't answer
4 your question right now because we're probably going
5 to have to look and say, try and do to the best of
6 our skills here and maybe we hire some outside
7 skills, a true air analysis and say, okay, if I had
8 to do this like in this manner and really account
9 for all the possible measurement errors, what does
10 the confidence come out at? And I have no idea.
11 Well, I'll take that back. I'm pretty sure it's not
12 going to be 97.5 percent confidence limit.

13 MR. BROOKMAN: Can you do it fairly
14 quickly, Frank?

15 MR. STANONIK: Not me, but if we need to,
16 we can probably find somebody that can.

17 MR. BROOKMAN: Do you have --

18 MR. STANONIK: Well, I'm sorry, Doug. The
19 key is going to be identifying what we would agree
20 are reasonable errors on those measurements.

21 MR. BROOKMAN: That's what I was thinking.
22 And I was wondering if you have the kind of
23 specification here in math form that now allows you
24 to check against these formulas and the like.

25 MR. STANONIK: I'm going to defer to

1 Aniruddh here, because he's been talking to the
2 manufacturers about this one more than I have.

3 MR. ROY: Aniruddh Roy, AHRI. I'm not
4 sure if we'll be able to come up with a proposal by
5 the comment deadline, but I would encourage DOE
6 that, in the final rule, to at least perform a study
7 rather than just refer to part 429.18 because that
8 pertains to furnaces, and use that as a
9 justification for the confidence limits for
10 electrical measurements, because it's significantly
11 different, as you've heard from everyone over here
12 at the table, it's significantly different from the
13 AFUE calculation.

14 MR. WESTPHALEN: Sure.

15 MR. BROOKMAN: Charlie, and then to -- go
16 ahead.

17 MR. STEPHENS: Harvey first.

18 MR. BROOKMAN: Yeah, Harvey first.

19 MR. SACHS: Harvey Sachs, ACEEE. I just
20 want to caution us that we're using the terms
21 confidence interval and even error analysis somewhat
22 loosely. There is a significant danger that we
23 start talking about confidence bands that are two-
24 sided, and we are adamantly opposed to punishing a
25 manufacturer for putting out a product that performs

1 better than it's certified to do. So it does matter
2 in terms of the confidence intervals, whether we're
3 doing a one-sided or a two-sided error analysis.

4 MR. BROOKMAN: Okay. Charlie.

5 MR. STEPHENS: Yeah, Charlie Stephens. In
6 our work in the HVAC world, we strive for a 90
7 percent confidence interval, and we're generally
8 quite happy with that unless we can identify a
9 potential source of systematic bias. In which case
10 we may try to go for 95 percent. We never look for
11 more than 95, but 90 we find in our work for
12 predicting equipment performance, is adequate
13 because by the time you pile on application-specific
14 factors, those things are washed out. So we'll see.
15 I'm optimistic that we can get to 90 percent, but I
16 wouldn't be pushing very hard for anything more than
17 that.

18 MR. BROOKMAN: Okay. Thank you. Jim
19 Vershaw is on the line. Jim, you're next.

20 MR. VERSHAW: To Charlie who mentioned,
21 though, that manufacturers were doing a good job was
22 exactly why we use ASHRAE 37, not 51. In terms of
23 confidence level, 97.5 is going to be ... if the motor
24 were --

25 MR. BROOKMAN: Jim, we're really losing

1 you now, try something different here.

2 MR. VERSHAW: Is this better?

3 MR. BROOKMAN: No -- keep talking, let's
4 try it.

5 MR. VERSHAW: Okay. If you do -- 97.5
6 isn't going to work, 90 might, but I haven't got
7 data to prove it, but I know 97.5 is going to take
8 at least three samples of everything to make the
9 numbers come in line.

10 The other big issue that we have with DOE
11 certification versus enforcement is that the
12 certification rules are different many times than
13 the enforcement rules, and in many cases the tests
14 that you use to get your certification would
15 actually fail the enforcement. So a lot of work has
16 to be done there in order to get that pulled
17 together. Thank you.

18 MR. BROOKMAN: Thank you. We got all of
19 that, that came through clear. Thank you. Okay.
20 So additional comments on these points? Did you
21 have anything else you wanted to cover, Detlef, on
22 this series of issues?

23 MR. WESTPHALEN: No, I think it was just
24 the one slide plus the request for comment, and we
25 move on to closing remarks, which I assume --

1 MR. BROOKMAN: Yes. The Department of
2 Energy, as is typical, has made a Xerox copy of the
3 business cards of attendees, and also I'm going to
4 hand out this evaluation form. Please take a few
5 moments to fill it out.

6 And as Detlef mentioned, now is an
7 opportunity for anybody that wishes to do so to make
8 closing remarks, raise issues that you don't think
9 have been adequately covered during the span of the
10 day. Terry first.

11 **Closing Remarks**

12 MR. SMALL: Terry Small with Mortex. I'd
13 just to just make two comments in general, and one
14 of them being just the cost for particularly the
15 small manufacturer to be able to perform all the
16 necessary testing on what would be a, maybe, a small
17 volume of actual units being sold in a given year.

18 So Greg has just kindly reminded me that a
19 true AMCA certified unit, you can have them build a
20 wind tunnel for you -- it's about eight, ten feet in
21 diameter and 40 feet long or something, looks like a
22 rocket ship. I'm wondering that if we do an error
23 analysis, and we look at the sensitivity, or maybe
24 accumulate tolerances and all that, if there's any
25 possibility we could possibly look at maybe a

1 different way to get the CFM value. Maybe more in
2 the line with a temperature rise calculation, you
3 know, like could be used in the field, would be used
4 in the field, which might be substantially quicker
5 and thus less expensive. Maybe require less capital
6 equipment. It would be probably much more
7 achievable for a smaller manufacturer.

8 And I guess that I'm just thinking back to
9 all the field data that was on external static
10 pressure that was collected. I'm assuming that how
11 was the CFM information developed on all of the
12 field data? Was that just with a hot wire
13 anemometer or a for velocity, or how was all the --
14 or how was the CFM, on a temperature rise basis?

15 MR. BROOKMAN: Charlie.

16 MR. STEPHENS: No, just -- we use what's
17 called a twofold plate that actually slides into the
18 filter slot in the unit, and it's proven to be
19 pretty accurate. It's been verified against
20 laboratory measurements to be very close.

21 MR. SMALL: For CFM measurement?

22 MR. STEPHENS: Right, for CFM measurement.

23 MR. SMALL: And of course I'm embarrassed
24 to say I'm not really aware of that particular
25 device, but for instance, could a small manufacturer

1 use that device in our lab without having to buy
2 \$140 or \$200,000 AMCA-certified wind tunnel to get
3 the measurement? I guess my closing comments are
4 that I think if you're making tens of thousands of
5 each model a year, you can amortize the cost to do
6 all this testing, you know, as Jim Vershaw was
7 saying, it looks like to him at 97.5 percent
8 confidence level, you'll have to do probably at
9 least three tests per model. For a manufacturer
10 that's making a few hundred of a particular model a
11 year, that will be absolutely prohibitive. So we
12 might as well just -- we'll have to drop the model,
13 drop the models or whatever, do something different.
14 Thank you.

15 MR. BROOKMAN: Harvey Sachs.

16 MR. SACHS: Terry, my other role was a
17 small manufacturer, although not this industry. I
18 think if you check in with AHRI and Craig Messmer
19 sitting next to you, the advocates, I think, have a
20 pretty good record trying to find ways that small
21 manufacturers can compete fairly, and niche products
22 can compete fairly. And we're all ears. We didn't
23 come to the table to try to put you out of business.

24 MR. SMALL: Terry Small again. Well, you
25 know, I'm thinking that what came to my mind was,

1 you know, we all have a furnace stand and then using
2 a temperature rise methodology to get CFM value at
3 low speed and a CFM value at high speed. Certainly
4 you calculate into a CFM value that could be used in
5 the formula. And I don't have a feel for the
6 repeatability or the accuracy. But certainly
7 something like that, running two or three tests
8 would be not that much of a problem in coming up
9 with something that looked like it was, you know,
10 when you lay out the -- or you do the formulas, tied
11 with a reasonable confidence interval, maybe 90
12 percent, I think could be maybe very feasible for
13 the smaller guys. But I'm just not sure about --
14 the way the NOPR is written exactly, whether it's
15 going to be feasible for the smaller manufacturers.

16 MR. SACHS: Harvey Sachs again. There are
17 various waiver procedures, and I certainly don't
18 talk ever for DOE, but there are ways of doing the
19 combination. I hadn't thought about temperature
20 rise, but when you brought this up what occurred to
21 me was put a long duct in front of the unit and a
22 flow hood. So a flow hood and an electrical
23 measurement and, you know, you might make me happy.
24 I don't know if you'd make DOE happy.

25 MR. SMALL: This is Terry again. I'm

1 thinking that if, you know, we're talking about the
2 test procedure here. We're getting ready to put the
3 test procedure in concrete. I'm wondering if it
4 could be demonstrated by a small manufacturer that
5 we could get good results with something that's not
6 a \$200,000 AMCA wind tunnel. Would there be -- and
7 we could show DOE maybe that we could even validate
8 our model and we could use that to perhaps, on an
9 AEDM, to simulate. I just wonder if DOE would
10 consider that as another option or possibility.

11 MR. KHAN: This is Mohammed Khan, DOE.
12 And I actually planned to say what I'm about to say
13 at the very end anyway, but. Those kinds of ideas,
14 alternatives to what has been presented and proposed
15 here today, is something that we want to hear about.
16 So in your comments summarizing many of the comments
17 that you've already made here today, in addition to
18 that, maybe you could include any kind of
19 alternative approaches that you think would be very
20 viable, make more sense, less burdensome, more cost-
21 effective, then we certainly want to know about it.
22 So it's something that we will, in fact, consider.
23 So please submit that.

24 MR. BROOKMAN: Eric Stas.

25 MR. STAS: I have one follow up question

1 for you. You talk about buying a wind tunnel. What
2 if you go to the third party testing and use
3 somebody else's wind tunnel and you all share it
4 kind of thing? How much do the costs drop in that
5 situation?

6 MR. SMALL: Well, Eric, we did some very
7 preliminary -- you know, we haven't really had a lot
8 of time to get ourselves organized for this, or at
9 least my company hasn't. And so we -- just to give
10 you an idea, we started out, we just listed all the
11 various models and all the possible capacities of
12 heating device in the model. And we've got four or
13 500 models, and this is at the first pass. And we
14 were thinking also, it might take a day if we did it
15 ourselves, but it would take a shift if ITS, if a
16 third party did it too. And so you're looking at a
17 lot of testing.

18 Now, we make an electric furnace that has
19 a bunch of different capacities of strip heaters,
20 you know, five kw, eight kw, ten kw, 50 kw -- and
21 quite frankly, I don't believe that the FER value is
22 going to be any different, depending on how many
23 heating elements -- I'm talking about electrical
24 heating elements -- that you're inserting into the
25 furnace. So maybe instead of 400, we might be

1 looking at 100, but you're still looking at a
2 tremendous amount, whether you paid -- if you paid
3 an outside third party, you'll have estimated about
4 \$2000 I believe here, so that would certainly be a
5 couple of hundred thousand dollars. It's going to
6 be expensive, one way or another.

7 The problem is, if we were selling several
8 hundred thousand units a year, then you're looking
9 at, you know, a fairly small amount per unit. But
10 if you're selling 5000 units a year, or 2000, and
11 you have all these different models -- by the way,
12 we build our products strictly to order. So we wait
13 for the customer to order it. We have a lot of
14 options. Some of the kw's on an electric furnaces
15 we probably never built. But it's there in the
16 catalog if they wanted, you know, a seven kw, we
17 could make that. So you're going to force us to
18 have tested the 7 kw even though we may never sell
19 it. Because I doubt if you would want us to take
20 the order first and then test it later.

21 So I think for the smaller -- I think for
22 smaller manufacturers, this could be problematical,
23 and I don't necessarily think, you know, it's not
24 going to add anything to the consumer, really. In
25 fact, It may take somebody like us off the market,

1 you know, who will do the odd combination of heating
2 devices and all that. So I just think that ought to
3 be taken into consideration. We'll make some
4 comments on it.

5 MR. BROOKMAN: Thank you. Aniruddh.

6 MR. ROY: Aniruddh Roy, AHRI. I just want
7 to supplement what Terry said in terms of the
8 manufacturer testing burden. With regards to
9 furnaces first, and then I'll expand it to other
10 products. For the longest time, furnaces, you know,
11 the federal descriptor was the AFUE metric. The
12 AFUE metric is still there, but now, manufacturers
13 are also subject to standby and off mode
14 requirements, and you have the FER rating, which is
15 specified at different static pressure measurements
16 outside of ASHRAE 103 and federal test procedure.
17 And of course you have the air flow measurements
18 also which are required in order to establish the
19 FER metric.

20 In addition to that, manufacturers have to
21 conform with what's going on in Canada for the
22 furnace fan rating which is a totally different
23 metric, so that's going to add an additional burden.

24 We encourage DOE to try and harmonize and
25 create a metric which essentially can be used all

1 over North America, not just in the US. And also
2 consider the confidence limits. Because now if
3 manufacturers are required to conform with the 97.5,
4 there are other products that have confidence limits
5 that are different, and so that could also pose an
6 additional test burden overall on manufacturers. So
7 those are our closing remarks.

8 MR. BROOKMAN: Thank you. Additional
9 closing remarks? Yes, Frank.

10 MR. STANONIK: Frank Stanonik, AHRI. It's
11 more a question then, just because I lost track of
12 it. Obviously we're going to be interested in
13 sharing the slides with members who weren't here, a
14 copy of slides that does have the equations on it
15 will be available where?

16 MR. KHAN: Mohammed Khan, DOE. Frank,
17 perhaps you may have come in -- I think you came in
18 a little bit late, and you may have missed my
19 comment about that problem. First, I apologize that
20 the printing came out the way it did. But on the
21 DOE web page the presentation is there, so you can -
22 - it is available, yes.

23 MR. STANONIK: Very good.

24 MR. BROOKMAN: Yes, Craig.

25 MR. MESSMER: Craig Messmer. First, I'd

1 like to thank the Department for having this
2 meeting. I thought it was pretty good from my
3 perspective. I thought I was heard. I'm just going
4 to leave it with this. I hope this is not the last
5 time we have a chance to have an input into this
6 test procedure, that July 30th isn't the last time we
7 get asked what do we think. Thank you, and see you
8 again.

9 MR. BROOKMAN: Thanks. Harvey Sachs.

10 MR. SACHS: I'd like to thank everybody,
11 but particularly Jim Vershaw who put up with this
12 awful system for a whole day.

13 MR. BROOKMAN: Dave, then Greg.

14 MR. WITTINGHAM: Again, I would like to
15 thank the Department and everyone for their
16 participation. I think the number -- most of the
17 topics have already been touched upon. The burden
18 is obviously a sensitive issue with the
19 manufacturers as well as the tolerance enforcement
20 criteria. But I think I would strongly recommend
21 that whatever the Department look at, as we look at
22 a possible modification that allows integration of
23 this test procedure with existing AFUE or a
24 modification of that test, that when a unit is being
25 tested, you can pick up another point or two, if E-

1 sub-b is not sufficient, to pick up another point or
2 two within that test process, without forcing
3 another whole test setup to gather the data. I'd
4 appreciate it.

5 MR. BROOKMAN: Thank you. Greg.

6 MR. WAGNER: I too would like to echo the
7 thanks. It's been an enjoyable day. I also thank
8 the Department of Energy for ensuring job
9 opportunities for fan guys like myself in the
10 future. And Mrs. Wagner thanks you for that as
11 well.

12 Seriously, this is a good process. I
13 would ask that you take a look at some of the
14 proposals that have been put forth to try and reduce
15 the amount of burden of testing that goes with
16 adding a new metric. I think what the goal is to
17 get some measure of what that furnace fan
18 performance is, can be accomplished well within
19 what's being done today, in a manner that is useful
20 and consistent, to be able to distinguish between
21 good products, poor products, and to drive energy
22 efficiency going forward.

23 And from there, output, after you figure
24 out what the test method is, then you can start
25 putting some idea around what the confidence levels

1 would be, as someone indicated earlier, without
2 really knowing what these test process is, there is
3 a lot of uncertainty about the measurements, not
4 just the process itself.

5 With that, I echo what Craig said. I hope
6 this is not the last opportunity to make the comment
7 in addition to our written comments, because I think
8 there is a huge opportunity here to put forth a good
9 test standard that would be a limited amount of
10 burden, but a great deal of useful information for
11 all involved.

12 MR. BROOKMAN: Thank you. Final comments?
13 So then, for my part, I will just thank you. I
14 thought we had a very, very constructive day, and
15 I'll turn it back to Mohammed for closing remarks.

16 **Closing Remarks from DOE**

17 MR. KHAN: Mohammed Khan, DOE. I'm just
18 going to say thank you. We heard a lot of comments
19 and opinions which I think the Department certainly
20 appreciates. And I'm also going to reiterate the
21 fact that, again, your comments are important. We
22 need to have them. And when you submit those
23 comments, please be sure to include in detail,
24 additional alternatives that we heard, we touched on
25 today. And I can assure you that we will consider

1 them in full. So with that --

2 MR. BROOKMAN: We should thank those that
3 joined us via the web.

4 MR. KHAN: Absolutely.

5 MR. BROOKMAN: And hope this worked for
6 you and the Department's always looking for ways to
7 improve access to these proceedings, so let them
8 know about that as well.

9 MR. KHAN: Thank you.

10 MR. BROOKMAN: Safe travels to everyone.

11 Applauds (Whereupon, at 3:53 p.m., the
12 meeting in the above captioned matter was
13 adjourned.)

14

15

16

17

18

19

20

21

22

23

24

25

26

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings
before:

U.S. DEPARTMENT OF ENERGY

In the Matter of:

NOTICE OF ROPOSED RULEMAKING PUBLIC MEETING ON**RESIDENTIAL FURNACE FANS TEST PROCEDURE**

Were held as herein appears and that this is the
original transcript thereof for the file of the
Department, Commission, Board, Administrative Law
Judge or the Agency.

Further, I am neither counsel for or related to
any party to the above proceedings.

Wendy Greene

Official Reporter

Dated: June 20, 2012