

UNITED STATES OF AMERICA

DEPARTMENT OF ENERGY

**PRELIMINARY ANALYSIS PUBLIC MEETING ON
RESIDENTIAL FURNACE FANS ENERGY CONSERVATION STANDARDS**

U.S. Department of Energy
1000 Independence Ave., SW
Washington, D.C. 20585
Room 8E-089 Review Center

Friday
July 27, 2012

Facilitator:

Doug Brookman
Public Solutions
Baltimore, MD

Participants Identified:

Karim Amrane
AHRI

Timothy Ballo
Earth Justice

Alex Boesenberg
NEMA

Rob Boteler
Midtec Motor Corporation

Adam Christiansen
Appliance Standards Awareness Project

Michelle Cox
... Blake Corporation

Abigail Dakem
EPA

Tom Eckman
Northwest Power and Conservation Council

Michel Evanovich
Air Movement and Control Assoc. International, Inc.

Diane Jakobs
Rheem Manufacturing Company

Brian James
Southern California Edison

Paul Lin
Regal Beloit

Joanna Mauer
Appliance Standards Awareness Project

Sarah Medepalli
ICF International

Craig Messmer
Unico, Incorporated

David Ransom, Esquire
McDermott Will & Emery

Steve Rosenstock
Edison Electric Institute

Aniruddh Roy
Air Conditioning, Heating, and Refrigeration Institute

Charlie Stephens
Northwest Energy Efficiency Alliance

Greg Wagner
Morrison Products

Meg Waltner
Natural Resources Defense Council

Ted Williams
American Gas Association

Dave Winningham
Allied Air Enterprises, Lennox

Participants from DOE:

Michael Kido
DOE General Counsel's Office

Mohammed Khan
DOE

Ashley Armstrong
Department of Energy

Brenda Edwards
Department of Energy

Participants from Consultants:

Sam Jasinski
Navigant Consulting Incorporated

Christopher Lau
Navigant Consulting

Detlef Westphalen
Navigant Consulting

Alex Lekov
Lawrence Berkeley National Laboratory

Victor Franco
Lawrence Berkeley National Laboratory

Gregory Rosenquist
Lawrence Berkeley National Laboratory

Bingyi Yu
Lawrence Berkeley National Laboratory

Participants via the web:

Rachelle Cocks
Regal Beloit

Terrell Small
Mortex

Anush Mystery (ph)

Dan Williams

Jim Vershaw

John Hunley

Linda Wilson

Tom Chase

AGENDA

<u>ITEM</u>	<u>PAGE</u>
Welcome, Doug Brookman	6
Welcome for DOE, Mr. Khan	6
Introductions	7
Agenda Review, Doug Brookman	10
Introductory Remarks and Overview Mr. Khan	13
Opening Statements	14
Meeting Overview, Mr. Khan	26
Market and Technology Assessment, and Screening Analysis Mr. Jasinski	32
Engineering Analysis Mr. Jasinski	85
Markups, Energy Use Characterization LCC and Payback Period analysis Mr. Lekov	144
National Impact Analysis, Shipments Analysis Mr. Lekov	225
National Energy Savings, Net Present Value, Mr. Lekov	239
Manufacturer's Impact Analysis Mr. Jasinski	249
Final Comments of interested parties	259
Closing Remarks, Mr. Khan	264

1 a meeting on the related rulemaking that we're doing,
2 which is the test procedure for furnace fans, and I
3 think I see a lot of you here again today, and that's
4 great. And what I said at that meeting was of your
5 comments are very important, but also explained that
6 this rulemaking is unique really for two reasons.
7 One, it's a first time that we're developing a
8 standard and test procedure for furnace fans. The
9 other reason is that it's a product that is already a
10 part of - or is a component of a product that we
11 already cover. So that's basically unchartered
12 grounds, in a sense, but we look forward to your input
13 today and I look forward to a great discussion.

14 MR. BROOKMAN: Thank you. Let's start with
15 introductions. I'll start over here to my left,
16 please. Say your name and organizational affiliation,
17 and you can get used to turning the microphones both
18 on and off. If we leave them on, then we get feedback
19 in the system, please.

20 **Introductions**

21 MR. BOTELER: Rob Boteler. I work for Nidec
22 Motor Corporation in St. Louis and I chair the energy
23 committee for NEMA, the National Electrical
24 Manufacturers Association.

25 MR. BROOKMAN: Thank you.

1 MR. LIN: Paul Lin, with Regal Beloit
2 manufacturer of electric motors.

3 MR. BOESENBERG: Alex Boesenber, National
4 Electrical Manufacturers Association, regulations.

5 MR. MESSMER: Craig Messmer, with Unico,
6 Incorporated in St. Louis.

7 MR. WAGNER: Greg Wagner, with Morrison
8 Products.

9 MS. JAKOBS: Diane Jakobs, with Rheem
10 Manufacturing.

11 MR. ROY: My name is Aniruddh Roy, Air
12 Conditioning, Heating, and Refrigeration Institute.

13 MR. CHRISTIANSEN: Adam Christiansen with
14 the Appliance Standards Awareness Project.

15 MR. WILLIAMS: Ted Williams, American Gas
16 Association.

17 MR. JAMES: Brian James, Southern California
18 Edison.

19 MR. WINNINGHAM: Dave Winningham, Allied
20 Air, and Lennox.

21 MR. ROSENSTOCK: Steve Rosenstock, Edison
22 Electric Institute.

23 MR. ECKMAN: Tom Eckman, Northwest Power and
24 Conservation Council.

25 MR. KIDO: Michael Kido, Department of

1 Energy, Office of General Council.

2 MR. KHAN: Mohammed Khan, DOE.

3 MR. BROOKMAN: Please. Stand up.

4 MR. WESTPHALEN: Detlef Westphalen, Navigant
5 Consulting.

6 MR. JASINSKI: Sam Jasinski, Navigant
7 Consulting.

8 MR. FRANCO: Victor Franco, Lawrence
9 Berkeley National Laboratory.

10 MR. LEKOV: Alex Lekov, Lawrence Berkeley
11 National Lab.

12 (Several inaudible introductions.)

13 MS. MAUER: Joanna Mauer, Appliance
14 Standards Awareness Project.

15 MR. RANSOM: McDermott Will and Emery.

16 MR. BROOKMAN: And let me just note for the
17 record that those of you that didn't speak into a
18 microphone, we didn't get all your names on the
19 record, but most of you have -- hopefully all of you
20 registered so we know who's here.

21 One thing we have been doing recently is
22 we've been asking those who have been joining us via
23 the web to read their names so we know who is joining
24 us via the web. Can you do that, and their
25 organizational affiliations are also there, that would

1 be a good thing. They're not, just names. Okay.

2 WEBMASTER: So we've got Anush Mystery (ph),
3 Dan Williams, Jim Vershaw, John Hunley, Linda Wilson,
4 Rachelle Cox, Terry Small, Tom Chase, and that's it.

5 MR. BROOKMAN: Thanks to those of you that
6 are joining us via the web.

7 **Agenda Review**

8 MR. BROOKMAN: All of you received a packet
9 of information as you came and registered this
10 morning. Please take a peek at that, particularly the
11 agenda, that's where I'm starting with a brief review.

12 Following this agenda review we're going to
13 have an overview presentation, the purpose of the
14 public meeting, regulatory authority and rulemaking
15 from Mohammed. Following that, those introductory
16 remarks, there's an opportunity for anybody who wishes
17 to do so to make opening statements, summary
18 statements surrounding the issues that are of concern
19 to you today.

20 And then from there we'll launch straight
21 into the more detailed comment that's in this Power
22 Point packet that all of you received. Market and
23 technology assessment and screening analysis.

24 We'll take a break mid-morning, round about 10:45
25 or so. Following that, engineering analysis,

1 following that, markups, energy use characterization
2 and LCC and payback period analysis.

3 We'll take lunch round Around about 12:30 or
4 so. Immediately following lunch, or whenever we get
5 there, LCC and payback period analysis continued, then
6 national impact analysis. We'll take a break mid-
7 afternoon, preliminary manufacturer impact analysis,
8 next steps in the late afternoon, 3:30 or so, and then
9 finally, closing remarks, another opportunity for
10 anybody who wants to, to make additional comments or
11 statements. So two opportunities for open ended
12 comment. We do hope, however, that the bulk of the
13 commentary will be focused in on the content that's
14 being presented because that will keep it organized
15 for us.

16 I'd ask for your consideration, if you
17 would, please. Many of you have attended these
18 meetings previously. Please speak one at a time.
19 Please say your name for the record each time you
20 speak. I'm going to be cuing individuals by name as
21 best I can. I also wish to encourage follow on
22 comments, sometimes the back and forth is very useful
23 for the Department as they're trying to consider this
24 information.

25 If you keep the focus here, turn your cell

1 phones on silent mode, limit the sidebar
2 conversations. You will need to turn these
3 microphones on and off please. We do have many web
4 participants joining us. If those of you joining us
5 via the web, if you would keep your telephones on
6 mute, it will limit the amount of feedback we receive
7 here in the room, and if you raise your hand, then we
8 will find a way to fit you into the conversation as
9 best we can that's going on here. So please feel free
10 to join us and be proactive.

11 And then finally, as there are 100-and
12 however many slides here, a lot of slides, I would ask
13 for your consideration, please try to be concise
14 today, share the air time. There's a lot to cover.
15 We're going to do it very efficiently, I know we will,
16 and so that's the task for the day. Questions and
17 comments on any of this?

18 Okay, so then, we're going to start off
19 then, Mohammed Khan. And Mohammed, I've been asked,
20 please use the Lavalier microphone, as the other one
21 provides feedback. You want to hit the microphone and
22 introduce yourself, name and organizational
23 affiliation.

24 MS. DAKEN: Abigail Daken, US EPA, Energy
25 Star Program.

1 MR. BROOKMAN: Thank you.

2 **Purpose of Public Meeting, Overview**

3 MR. KHAN: Good morning everyone. Thank you
4 for participating in today's meeting on the U.S.
5 Department of Energy's preliminary analysis on energy
6 conservation standards for residential furnace fans.
7 My name's Mohammed Khan and I'm the project manager
8 for this rulemaking activity.

9 Today's meeting serves multiple purposes.
10 Mainly, our goal is to have a two-way discussion. We
11 want to convey the key points and concepts associated
12 with this rulemaking, as well as to hear and listen to
13 your thoughts and potential concerns.

- 14 • So first the Department wants to present its
15 methodologies and characterize its analysis to
16 date.
- 17 • Second, DOE wants to discuss specific issues
18 and invites comment from all participants at
19 today's meeting, on the methodologies,
20 assumptions and data sources used in the
21 preliminary analyses.
- 22 • The last thing we want to describe the
23 downstream analyses and next steps in the
24 rulemaking process.

1 But as Doug mentioned, if anyone has an
2 opening statement they want to make, we can allow
3 that.

4 MR. BROOKMAN: So let's have opening
5 statements. We'll hear from Diane first. Please get
6 that microphone close to you.

7 **Introductory Statements**

8 MS. JAKOBS: I don't know, I'm just assuming
9 that Sam did a lot of this work, and I just want to
10 compliment him on the breadth of it. It's really
11 intimidating, all the detail. And just - I tried to
12 go through it. I've got all my post it notes and
13 things, and just in general, I think some of the
14 costing - I checked with our procurement people and we
15 might be using some of your numbers in our
16 negotiations with Nidec and Regal Beloit, I think. It
17 looks like you got a better deal than we do. And you
18 used, it seems, like from ASHRAE 103 E-sub-AE, so I
19 was kind of on familiar ground with that in some of
20 your analysis, so that was good.

21 We did - you were asking us for data, and
22 I'm on -- AHRI, we have been trying to collect data
23 and just in our lab only, it was like Friday and
24 Monday we got FER data for three samples and it looks
25 like your numbers are a little low compared to mine.

1 So just in general, I think there's a lot of good
2 engineering work and certainly some economic analysis
3 that I think I can learn a lot from, but I was very
4 impressed. Thank you.

5 MR. BROOKMAN: Thank you, Diane. Thank you.
6 Other comments here at the outset. Your name, please.

7 MR. ROY: Aniruddh Roy, Air Conditioning,
8 Heating, and Refrigeration Institute. We'd like to
9 make one comment with respect to the timing of today's
10 meeting. The test procedure has not been finalized
11 yet and comments or the deadline for providing
12 comments on the test procedure is July 30th. And so we
13 just wanted to comment on the timing of the energy
14 conservation standards meeting. Because I think a
15 bunch of the stakeholders are going to be submitting
16 comments, or expected to provide something to DOE by
17 July 30th, and so we feel that the timing of this
18 meeting is inappropriate, especially given the fact
19 that that analysis takes into account the FER metric
20 which hasn't been - at least the test procedure hasn't
21 been finalized yet.

22 MR. BROOKMAN: Okay. Thank you. Yes, Adam.

23 MR. CHRISTIANSEN: This is Adam from ASAP.
24 I've got some prepared comments that I'd like to
25 submit for the record. So the Appliance Standards

1 Awareness Project leads a broad-based coalition effort
2 that works to advance standards which deliver large
3 energy savings, monetary savings, as well as
4 environmental benefits. Thank you for the opportunity
5 to participate in today's workshop. We very much
6 appreciate the significant work of DOE and its
7 contractors to advance this important docket.

8 Standards for residential furnace fans have
9 potential to deliver large benefits. Per DOE's
10 analysis in the PTSD we're going to discuss today, the
11 energy savings from these products could be as high as
12 1.67 quads of primary energy. The national economic
13 benefits of a strong, but reasonable standard could
14 total between \$3.8 and \$10.7 billion dollars over the
15 life of the standard.

16 In general, we think the approach DOE has
17 taken in this docket is reasonable. We are pleased to
18 see that DOE has taken steps to address the
19 complicated aerodynamics in cabinets. As DOE has
20 noted these effects influence ultimate energy
21 consumption of furnace fans. We're also very
22 supportive of an energy standard being developed on a
23 rating method that includes measurements from multiple
24 operating points. Single point rating methods are
25 simply not adequate to capture the complicated

1 operation of a furnace fan in a meaningful way.

2 One area of concern for us that I'd like to
3 highlight is the issue of the scope of coverage. DOE
4 has excluded split system central air conditioning and
5 heat pump blower coil units and single package central
6 air conditioning heat pump units in the preliminary
7 analysis. These products represent about 37 percent
8 of products that contain furnace fans. It is unclear
9 to us that the SEER and HSPF ratings fully capture the
10 furnace fans. We think DOE should consider including
11 in this rulemaking, air handlers that are part of a
12 blower coil and single package central AC and heat
13 pump systems. And we hope today's hearing will offer
14 an opportunity to discuss the issue.

15 Again, we look forward to participating in
16 the hearing and engaging with DOE and other
17 stakeholders in this rulemaking process and we're
18 looking forward to the discussion today.

19 MR. BROOKMAN: Thank you. I'm going to ask
20 each of you to speak up. Hey, Greg, are you hearing
21 okay back there now? Is it getting any better?
22 Crackling. Yeah, we've got a guy working on it.
23 We'll see if we can improve that. There's also a fair
24 amount of feedback up here in the front, I don't know
25 whether everybody can hear that or not, but we'll be

1 working on it.

2 Karim, did you have a comment here at the
3 outset? Get to the microphone, please.

4 MR. AMRANE: Karim Amrane, AHRI. I just
5 wanted to restate a little bit this issue of the
6 timing here. I think DOE has a process rule that
7 basically lay out how things have to be done. They
8 have to be done, and test procedures must come before
9 energy efficiency standard. And here we are doing two
10 things at the same time. DOE has spent a lot of time
11 doing this analysis based on this metric that may or
12 may not be what was going to end up being as test
13 procedures. So again, either we are wasting our time
14 today or DOE has already decided that that's going to
15 be the metric. So I would like to understand why DOE
16 is doing two things at the same time. I would like an
17 answer from DOE, maybe legal counsel as well.

18 MR. BROOKMAN: Do you want to do that now?
19 I'm looking at Michael Kido.

20 MR. KIDO: The timing for this particular
21 activity, just to emphasize, we're at a preliminary
22 stage right now. There's no proposal right now with
23 respect to the standards. My understanding is that
24 with respect to the analysis that we've got right now,
25 because it's preliminary, it is based on the procedure

1 that has been proposed earlier. So this is an attempt
2 to try to get some feedback with respect to the
3 overall approach that the Agency is considering.

4 If there's a need for additional time to
5 analyze what it is that the Agency is considering as
6 part of today's meeting, we can consider possibly
7 looking at providing a longer comment period. That's
8 something that we could look at. But I think the way
9 that you should view this particular meeting, it's one
10 that's purely preliminary in nature.

11 MR. BROOKMAN: Okay. Thank you. Other
12 comments here at the outset? Alex, please.

13 MR. BOESENBERG: Alex Boesenberg, National
14 Electrical Manufacturers Association. I want to thank
15 the Department for welcoming us here today and ... a
16 month without a public meeting is ... (Problem with
17 microphone.) So we weren't sure if we needed to come.
18 In fact, it was sort of a hunch to attend. We knew
19 there were motors that drove fans, so we thought we'd
20 show up, and the number of people who have said, oh,
21 boy, we're glad you're here, makes us glad we came.

22 My members will be listening from a motor
23 standpoint. I'm going to be listening from a slightly
24 larger systems standpoint as Mr. Khan already alluded
25 to, the fan itself is not only a component of a

1 previously regulated product, but also there's a fan
2 in the housing of the motor that drives it and other
3 effects. And I'm going to be watching for how the
4 system is discussed because of the precedent that that
5 sets for some of the rulemakings we have where it's
6 pretty hard to divorce the individual components. So
7 I'm very interested in seeing how the Department
8 approaches that and what that bodes for some of our
9 other rulemakings that involve composite systems.
10 Thank you.

11 MR. BROOKMAN: Thank you. Yes, it is Craig,
12 right?

13 MR. MESSMER: Craig Messmer. I want to let
14 everybody rest assured that I will not be talking
15 about small duct high velocity at this meeting, since
16 it is excluded, thank you very much. But I will keep
17 my comments to the topics, and the technical support
18 document weighs about six and a half pounds, so you
19 get an A-plus on the report. Thank you.

20 MR. BROOKMAN: Okay. Steve Rosenstock.

21 MR. ROSENSTOCK: Steve Rosenstock, EEI.
22 Again, thank you. I thought the Department did a good
23 job with the technical support document. We will have
24 comments, but I think there's some really bigger
25 issues for the Department in terms of not just

1 furnaces and air conditioners, but also other products
2 where they're looking at components. For example, the
3 DOE has rules on battery chargers now. Well, battery
4 chargers are components of dozens and dozens of
5 products, and so it's always interesting, you look at
6 the component, you make it more efficient, but what
7 are you doing to the whole product? Is it making the
8 whole product more efficient or are there laws of
9 unintended consequences where the product can be -
10 you're not changing the efficiency of the whole
11 product, or even worse, you're actually increasing the
12 energy usage of the whole product.

13 And I think going forward, there is possibly
14 going to be a resource issue. You have a furnace fan
15 rulemaking, you have an air conditioner heat pump
16 rulemaking, you have a furnace rulemaking, and do you
17 do them all together? Do you do them separately? You
18 know, three separate tracks? You're kind of talking
19 about energy use for heating and cooling.

20 So I think going forward, this component
21 versus system is going to be a bigger issue, not just
22 in terms of energy, but in terms of resources of DOE
23 and stakeholders. Thank you.

24 MR. BROOKMAN: Thank you. Steve was
25 speaking clearly. Greg, was that better or the same?

1 MR. WAGNER: The same.

2 MR. BROOKMAN: Okay.

3 MR. WAGNER: Actually, that microphone is
4 very clear.

5 MR. BROOKMAN: Okay. We're still working on
6 it. Yes, please, Dave.

7 MR. WINNINGHAM: Dave Winningham, Allied
8 Air. First of all, I'd like to thank the Department
9 for the detail of the work that went into this. A
10 couple of key issues, I think, that the Department
11 needs to consider.

12 The increasing burden that this and other
13 metrics are placing on the HVAC manufacturers is
14 increasing. As this proliferation of metrics
15 increase, these costs are going to be passed along to
16 the consumer. The net result of this could
17 potentially be a reduction in the affordability of the
18 products within this industry. I think we've seen
19 some of that as we went from 10 SEER to 13 SEER.

20 While the energy conservation side of this
21 is very important, we need to look at ways that we can
22 reduce the burden of this and other metrics. The test
23 procedure that has been proposed is a completely
24 separate set up, completely separate test procedure
25 than the AFUE test procedure that is applied to the

1 majority of the products that this is referenced to.

2 I would ask - and we will make comments in
3 regard to the test procedure - that the Department
4 look at ways that the data needed for these metrics be
5 aligned with other test procedures and test setups.

6 I would also like to comment and second
7 Diane's findings that some of the assumptions going
8 into - in regard to the cost differential of the
9 components, as well as the performance of the
10 products, needs to be reviewed thoroughly. I would
11 agree that we could use some help negotiating our
12 motor prices, because they don't align with the
13 Department's assumptions.

14 MR. BROOKMAN: Okay. Thank you. Greg.
15 Thank you for getting that close.

16 MR. WAGNER: Greg Wagner, Morrison Products.
17 I want to echo the gentleman's sentiments from the
18 Edison Electric Institute. The combined rulemaking
19 process of all the various standards that go into the
20 various appliances creates a huge burden to comply
21 with each one of these regulations. In addition to
22 that, appliances being regulated as components versus
23 being regulated as systems can lead to sub-optimal
24 systems, rather than optimal overall energy use.

25 In this case we're looking at electrical

1 energy versus performance of the appliance in the
2 furnace case. Consumers are going to be looking at
3 two different numbers, and they're going to have to
4 make a decision on which number is more important, the
5 electrical or the furnace performance. So the
6 question is going to be, how do they evaluate and how
7 do they make choices based upon these two different
8 numbers. So combining standards to where it reduces
9 the regulatory burden is good. It also helps the
10 consumer in making the appropriate choice for energy
11 efficient designs.

12 MR. BROOKMAN: Okay. Other comments here at
13 the outset? We have one individual, Terrell Small has
14 raised his hand. Terrell, unmute your phone and
15 hopefully as you speak, you should come here into this
16 room.

17 MR. SMALL: Doug, can you hear me?

18 MR. BROOKMAN: Yes, we can hear you but
19 speak up.

20 MR. SMALL: Yes, Doug. First, I'm sorry
21 that I'm not up there. This is Terry Small with
22 Mortex, and I'm sorry I'm not up there with you guys.
23 I want to thank Mohammed and his team at DOE for all
24 the hard work that went into this, including Sam and
25 his team, and of course you, Doug, for moderating it.

1 We're a small manufacturer that builds
2 products in some of the niche markets that would be
3 impacted by this. Some of the slices of the pie chart
4 in the summary, the very thin ones, are where we are.
5 And this is going to be a big burden on us, and of
6 course our customers who will ultimately have to pass
7 the cost of doing all this through to, particularly in
8 this weak economy. We build to order, very low
9 quantities. Some models that we offer are never built
10 during the year, so the burden of having to test
11 something that you're not selling is going to be
12 particularly bad. I would highly recommend that AEDM
13 be allowed that perhaps would lessen some of the
14 testing burden.

15 We also disagree with some of the production
16 cost. We pay a lot more for our motors than is
17 basically described in some of the economic analysis,
18 so that in my mind, calls into question some of the
19 initial economic analysis that was done.

20 And finally, I agree with Diane and the
21 group that the values, what are called baseline
22 values, look like to me that they may have been
23 generated from published data, you know, which is
24 maybe not the best way to generate that stuff. The
25 published data is based on ASHRAE 103, and whereas the

1 test NOPR that DOE is proposing is amped (ph) at 210.
2 I think that table is just completely premature.
3 We're thinking that some of our values will be above
4 those values that are in that table.

5 But anyway, thank you for allowing us to
6 participate in this.

7 MR. BROOKMAN: Yes, thank you. Terry, and
8 to all of you via the webinar, the Department does
9 wish to make this accessible to you, so if you wish to
10 speak, raise your hand and we'll fit you in. Final
11 comments here at the outset before we move on. Okay,
12 then to Mohammed.

13 **Overview**

14 MR. KHAN: First, let me thank everyone for
15 those really good comments. I think it is on, let me
16 just speak up. Again, let me just first thank
17 everybody for those very good comments. Those were
18 comments that - those are the kinds of comments that
19 we're looking for. Let me also add that with those
20 comments, I'd like to get written comments and
21 certainly any kind of data or information that you
22 might have to support some of the assertions that I
23 just heard. And, for example, the gentleman here to
24 my left mentioned that in trying to bolster the
25 performance of the fan and motor assembly, it could

1 have some unintended consequences, such as reducing
2 the overall furnace performance, and there's a risk of
3 a consumer having to trade off one for the other. I
4 think what I'd be interested in knowing is how far can
5 we actually push that motor performance - fan assembly
6 performance before there actually is a decline in the
7 entire system? So if there's any kind of data,
8 modeling, or information that you have on that, that
9 would be great. So with that, I'm going to resume my
10 presentation.

11 Comments. Comments are central to the
12 success of this rulemaking. All participants are
13 encouraged to submit summary comments and raise any
14 additional issue relevant to the rule. As indicated
15 in the Federal Register notice which was published on
16 July 10th, the close of the comment period is September
17 10th.

18 Let me also point out here on this slide,
19 the sample call-out box. We will use these throughout
20 our presentation to identify certain issues the
21 Department seeks detailed information on. For
22 reference, please note that the numbering of the issue
23 boxes correspond to the issues listed in the executive
24 summary of the technical support document.

25 Again, because your feedback is very

1 important, I want to make sure everyone is clear on
2 how to submit comments. This slide provides the
3 postal, courier, and e-mail addresses which are
4 appropriate for submitting your comments. Please
5 include the information here at the top so that your
6 comment is properly identified and catalogued. While
7 not provided on this slide, you may also submit
8 comments via www.regulations.gov. Regulations.gov is
9 a new, on-line tool for submitting comments on all
10 federal government proposed rules. Let me also point
11 out again that the comment period closes on September
12 10th.

13 **Meeting Overview**

14 This slide outlines the agenda for today's
15 meeting. Following my introduction and overview, we
16 will discuss all of the preliminary analyses including
17 the market and technology and screening analysis,
18 engineering analysis, and all other analyses presented
19 here before we describe the next steps.

20 So what's driving this effort? The Energy
21 Policy and Conservation Act, as amended by the Energy
22 Policy Act of 2005, charges DOE to establish
23 applicable energy conservation standards or energy use
24 standards for electricity use for the purposes of
25 circulating air through ductwork. After being amended

1 in 2007 by the Energy Independence and Security Act,
2 EPCA requires DOE to address standby mode and off mode
3 energy use in its standards that are adopted after
4 July 2010. EISA 2007 also says that the energy use
5 associated with standby mode and off mode must be
6 integrated into the energy conservation standard
7 unless existing standards already account for standby
8 mode and off mode, or integration is not technically
9 feasible. If integration is not technically feasible,
10 EPCA requires separate standards for standby mode and
11 off mode energy use.

12 This slide summarizes the Department's
13 activities for furnace fans to date. As I said at the
14 outset of our meeting, DOE currently does not have a
15 test procedure or standard for furnace fans, but has
16 made significant progress. For the test procedure
17 which DOE is developing in parallel to the standards
18 rulemaking, DOE published a Notice of Proposed
19 Rulemaking on May 15, 2012, and on June 15 it held a
20 public meeting. The comment period for the test
21 procedure NOPR remains open until July 30th. I
22 encourage all of you to submit comments on the test
23 procedure NOPR, so please appreciate that there are
24 only three days left to do so.

25 The energy conservation standard effort was

1 initiated on June 3, 2010 when the Department
2 published its framework document for its standards
3 rulemaking. DOE then solicited and heard comments
4 regarding the framework document at its June 18, 2010
5 public meeting.

6 And today we're holding our public meeting
7 for the preliminary technical support document which
8 DOE published a notice for just over two weeks ago on
9 July 10th. I'd like to remind you that the comment
10 period for this phase of the rulemaking closes on
11 September 10th.

12 One last point on this slide, DOE's
13 preliminary analyses also was conducted using the test
14 procedure proposed in the NOPR. And again, comment
15 period for that ends July 30th.

16 DOE proposed a performance metric for
17 furnace fans that provides a measure for annual
18 electricity consumption, normalized by annual
19 operating hours and air flow. The FER equation
20 reflects cooling, heating, and constant circulation
21 operating times. Integrated fan efficiency rating or
22 IFER modifies FER to account for standby mode and off
23 mode operation, and is applicable to hydronic air
24 handlers.

25 In deciding whether a new or amended

1 standard is economically justified, DOE must determine
2 whether the benefits of the standard exceed its
3 burdens. DOE is directed by EPCA to consider seven
4 factors in making this determination. This slide
5 lists the seven factors as well as the corresponding
6 analyses that DOE performs. Throughout the day we
7 will be describing the analyses in detail to make the
8 relevance and relationships between each analysis and
9 the seven EPCA factors.

10 This slide depicts the rulemaking stages and
11 shows the sequence and relationships between the
12 various analyses the Department conducts. DOE is
13 currently in the preliminary activities phase wherein
14 it conducts the sets of analyses shown here. What's
15 important to recognize here is that the results or
16 outputs of the proceeding analyses are inputs to the
17 downstream analyses. Because of this relationship,
18 it's important for the Department to receive your
19 input on its methodologies and any relevant data to
20 help insure accuracy and completeness.

21 Now just in case you haven't already fully
22 read each page of the Federal Register notice, and the
23 17 chapters and the 17 appendices of the technical
24 support document, we prepared this slide to point out
25 the key documents that describe the preliminary

1 analysis activities.

2 • First is the executive summary that provides an
3 overview of the preliminary activities in the
4 TSD, summarizes key analysis results and lists
5 the issues that the Department seeks your comment
6 on.

7 • Chapter two of the preliminary TSD provides a
8 review of analyses and a discussion of the
9 comments DOE received from interested parties on
10 the framework document, including DOE's
11 interpretations and responses.

12 • And finally, the Federal Register notice itself,
13 which discusses in a broader sense, the
14 rulemaking process, the preliminary activities
15 analyses, and where to find the relevant
16 documents on the DOE web page.

17 This concludes my portion of the
18 presentation and we'll proceed with the market and
19 technology assessment and screening analysis portion.

20 MR. BROOKMAN: Next we're going to hear from
21 Sam Jasinski.

22 **Market and Technology Assessment and**
23 **Screening Analysis**

24 MR. JASINSKI: Thank you, Mohammed. My name

1 is Sam Jasinski from Navigant Consulting. I'm going
2 to start by providing or giving a discussion about the
3 market and technology assessment with a lead into the
4 screening analysis. As Mohammed showed you, we
5 provided these roadmaps to just to kind of show you
6 how each analysis fits into the broader scope of the
7 rulemaking process.

8 The market and technology assessment has two
9 essential parts, the market assessment and the
10 technology assessment. The purpose of the market
11 assessment is to provide a quantified and qualified
12 characterization of the furnace fan, and in this case,
13 residential HVAC market. As Mohammed described, the
14 earlier - Mohammed described the statutory language
15 that's driving this rulemaking. DOE has interpreted
16 that language to provide a tentative definition for
17 furnace fan. Furnace fan means any electrically
18 powered device used in a residential heating,
19 ventilation, air conditioning product for the purpose
20 of circulating air through the ductwork.

21 DOE realizes that a significant number of
22 products may fit this broad interpretation of the
23 statutory language and the resulting definition. So
24 this graphic here tries to provide a summary of HVAC
25 products or key HVAC products that contain a furnace

1 fan, include a furnace fan, according to this
2 definition. I don't know how easy that is for
3 everyone to see, but essentially the HVAC system here
4 is simply applied to indoor and outdoor units. And
5 the boxes in red indicate the components of HVAC
6 systems that contain a furnace fan according to that
7 definition.

8 On the left you can see a lone outdoor unit,
9 it says weatherized and packaged unit. That's
10 essentially an entire HVAC system in itself. And to
11 the right, leading out from the condensing unit - can
12 you read this graphic? Each path represents a unique
13 system. So for instance, a condensing unit can be
14 paired with a coil only unit, and then a coil only
15 unit can be paired with an electric furnace and
16 modular blower. So that particular path would
17 represent one variation of an HVAC system, and so
18 forth.

19 As I mentioned, DOE realizes that a
20 significant number of HVAC products contain a furnace
21 fan according to that definition. The provisional
22 scope of coverage includes furnace fans that are
23 integrated in 63 percent of furnaces, air
24 conditioners, and air handling units that include
25 furnace fans.

1 In this pie chart here, provides a market
2 share according to the same products that were shown
3 in the previous graphic by shipments. The products to
4 the left that are in black are those that are
5 excluded, are not considered in this rulemaking, and
6 those include single package central air conditioners
7 and heat pumps, as well as split central air
8 conditioners and heat pump or coil units. The
9 remainder of the - yes.

10 MR. BROOKMAN: Let's - Diane first. Go
11 ahead.

12 MS. JAKOBS: Okay. Would you mind just
13 going back a slide? So when you talk about coil only
14 unit, I was trying - are you referring to like coil
15 only ratings that we do?

16 MR. JASINSKI: Here this is just a
17 representation of the product. So that would be the
18 coil only component of a larger HVAC system.

19 MS. JAKOBS: Well, what's a coil only unit?

20 MR. JASINSKI: That's the - what you're
21 referring to, that would be something - it's not the
22 coil only rating, it's a coil that would be paired
23 with a furnace, or with a modular blower. It's
24 essentially just the - it's a coil that would be
25 paired with a condensing unit.

1 MS. JAKOBS: Oh, okay. So you're talking
2 about the coil only, so the homeowner buys it as a
3 component and then it's matched with -

4 MR. JASINSKI: Yes.

5 MS. JAKOBS: Okay. Thank you.

6 MR. JASINSKI: Anybody else?

7 MR. BROOKMAN: Dave and then Abigail.

8 MR. WINNINGHAM: Yes, it appears as if you
9 have a conflict in between your information. You show
10 the indoor unit as a blower coil unit being covered in
11 this slide. In the next slide, you show it not. And
12 then in the introduction, 1.2 Excluded products, it
13 specifically calls that, you know, "Excluded products,
14 other products that incorporate furnace fans such as
15 central air conditioning, CAC floor coil units.

16 MR. JASINSKI: So it might be a little bit
17 easier if these graphics were on the same slide, but
18 the intent here is to show that DOE's broad
19 interpretation of the language would mean that - for
20 this slide, the red only means that it would meet that
21 definition. So according to the definition the blower
22 coil only unit - I'm sorry, the blower coil unit
23 contains a furnace fan according to that definition.
24 However, for the preliminary scope of coverage of this
25 rulemaking, that's being excluded. So it is a furnace

1 fan, but it's not being considered in this rulemaking.

2 MR. WINNINGHAM: Okay. Thank you.

3 MR. BROOKMAN: Okay. Abigail.

4 MS. DAKEN: That was in fact my question.

5 So I'm going to follow up with another one instead,

6 which is, I assume you're going to get into why you

7 are not considering these later on in the

8 presentation?

9 MR. JASINSKI: Yes - well, I'm not sure that

10 it's explicitly stated in the presentation. We

11 provide details about the scope of coverage in chapter

12 two as well as chapter three of the TSD.

13 MR. BROOKMAN: Joanna.

14 MS. MAUER: Joanna Mauer. So we recognize

15 that fan energy is captured to some extent in the test

16 procedures for central air conditioners and heat

17 pumps. Our concern is that the external static

18 pressures that are assumed in the test procedures for

19 central AC and heat pumps are unrealistically low,

20 point one to point two. DOE's analysis of field data

21 for the furnace fan test procedure rulemaking has

22 shown that external static pressures in the field are

23 more like point seven - sorry, point five to point

24 seven, in that range. So clearly there's a

25 significant difference. And we're concerned that the

1 central AC and heat pump test procedures don't
2 accurately reflect fan energy consumption in the
3 field, and this can also result in air handlers not
4 being able to provide sufficient air flow in the
5 field, which can affect both comfort and heating and
6 cooling efficiency.

7 Now, we've heard from manufacturers that
8 changing the external static pressure values in the
9 central AC and heat pump test procedures would
10 represent a significant burden because they'd have to
11 re-rate all of their products. And we understand that
12 concern, and we think a way around this is to include
13 furnace fans that are part of blower coil and single
14 package central AC and heat pump products in the
15 furnace fan rulemaking. And the SEER and HSPF ratings
16 could be left alone.

17 MR. BROOKMAN: Thank you. Charlie
18 Stephens.

19 MR. STEPHENS: Charlie Stephens. We have
20 some additional concern that these products that are
21 indoor units for AC and heat pump systems are also
22 sold separately. I know, I've installed or overseen
23 the installation of a number of them myself, so I know
24 it happens. And I also am someone who specifies these
25 things and I have to specify them typically by model

1 number, or several model numbers because there's no
2 other metric to use for these things when they are
3 sold separately as part of - when they're not part of
4 a split system. I can't specify them by HSPF or SEER,
5 you know, I'm only specifying an air handler. So it
6 gets a little difficult at times to tell a contractor
7 who doesn't sell this brand but sells somebody else's
8 brand, exactly what it is you're specifying because
9 there is no metric for these things. There is no
10 rating for these things, and some contractors, quite
11 frankly, don't understand the importance of what the
12 specification is.

13 So these things are sold fairly commonly as
14 air handlers for houses out where I live, and I think
15 they need - we're very concerned that they need some
16 sort of a separate rating, regardless of the fact that
17 they are often found as an indoor unit in a split
18 system. So we would like to see the Department
19 include those in some way. We would also like to have
20 them included in a way that isn't overly burdensome to
21 test in addition to the other testing, so some
22 consistencies would be nice. But in the meantime, we
23 feel strongly that they should be included in this
24 rulemaking.

25 MR. BROOKMAN: Other comments here before -

1 Diane.

2 MS. JAKOBS: I'm not sure I followed which
3 thing Charlie was talking about.

4 MR. BROOKMAN: Diane, you've got to get
5 close to that microphone, please.

6 MS. JAKOBS: I'm sorry. I didn't know which
7 thing -

8 MR. STEPHENS: (off mic) The box that has
9 black - not considered in this rulemaking.

10 MS. JAKOBS: So an air handler that would be
11 matched with that heat pump. Okay.

12 MR. BROOKMAN: Okay. Terry Small has his
13 hand up. Terry, speak, please.

14 MR. SMALL: Yes, Terry Small with Mortex.
15 Sam, I'm wondering, are you excluding, for instance,
16 these type products that would be used in multifamily,
17 perhaps considered commercial fan coils? They may
18 have, particularly in the hydronic, you know, they may
19 have a hot water source that's a boiler or a big hot
20 water heater, may have a chiller attached. Is all of
21 that type product excluded from this?

22 MR. JASINSKI: The scope of coverage of this
23 rulemaking is limited to residential products, so this
24 was an issue that was brought up during the test
25 procedure public meeting also. We're asking for

1 manufacturers, especially of hydronic air handlers
2 because they're somewhat of an emerging product, to
3 provide information about how they are used, so that
4 we can consider factors like when they're used in
5 multifamily homes, to be sure that we keep the scope
6 of coverage limited to residential products.

7 MR. SMALL: Well, you know that it's been
8 traditional that fan coils or ceiling mount units or
9 wall mount units have been used in the larger
10 multifamily apartment buildings, et cetera. So I think
11 you need to be pretty specific. Of course, I guess
12 you're asking for comments, but I mean there's a gray
13 area here that is not well laid out in the way you
14 described it here.

15 MR. BROOKMAN: Okay. Thank you. Final
16 comments before we move on? Okay.

17 MR. JASINSKI: So, with that identified in
18 the scope of coverage, DOE has identified nine key
19 product classes that represent most of the energy use
20 associated with furnace fans considered in this
21 analysis, because they are associated with the
22 products that have the highest number of shipments.
23 And because these are pretty important, I will go
24 through the labor of reading through each one of
25 those.

1 MR. BROOKMAN: Sam?

2 MR. JASINSKI: Yes.

3 MR. BROOKMAN: Hold on a second, if you
4 would please. Jim Vershaw has his hand up. Jim, does
5 your comment relate to the previous slides?

6 MR. VERSHAW: Yes.

7 MR. BROOKMAN: Speak up.

8 MR. VERSHAW: This discussion about whether
9 or not fan coil units and other things should be
10 included in the standard points out the issue when you
11 try to put standards around components of systems.
12 The gentleman who was concerned about an air handler
13 for special installations not having ratings, which
14 really should be a system rating. This is going to
15 create over and over and over, issues on how to
16 regulate components of systems when we ought to look
17 at the system level performance of these things. In
18 particular with heat pumps and air conditioners in
19 which blower coils are always part of the performance
20 and the standard set at the certain external static
21 pressure, we do that. If you start putting another
22 standard on top of that - a consumer who only buys an
23 air conditioning system or heater once or twice in his
24 lifetime, will be totally confused as to what's going
25 on and it will all be lost - all this effort will be

1 lost on the consumer. It's important that we start
2 thinking about this in terms of systems. Thank you.

3 MR. BROOKMAN: Thanks, Jim. Okay.

4 MR. VERSHAW: Oh, and one more thing. The
5 gentleman who's speaking right now - his voice is
6 fading in and out and I'm having a hard time picking
7 up everything he's saying.

8 MR. BROOKMAN: Thanks - we're working on it.
9 We're having trouble with the audio today. We're
10 going to ask him to speak loudly. So thanks for
11 flagging that. Back to Sam.

12 MR. JASINSKI: Thank you. I'll pick up
13 where I left off. I want to read through the nine key
14 product classes.

- 15 1. Non-weatherized, non-condensing gas furnace fans
- 16 2. Non-weatherized, condensing gas furnace fans
- 17 3. Weatherized gas furnace fans
- 18 4. Non-weatherized oil, non-condensing furnace fans
- 19 5. Non-weatherized electric furnace and modular
20 boiler fans
- 21 6. Heating and cooling hydronic air handler fans
- 22 7. Manufactured home non-weatherized gas non-
23 condensing furnace fans
- 24 8. Manufactured home non-weatherized gas condensing
25 furnace fans

1 9. And lastly, manufactured home electric furnaces
2 and modular boiler fans.

3 Important to note here is that DOE
4 differentiated these product classes by application
5 and internal structure that impacted air flow and
6 furnace fan performance.

7 DOE also identified 12 additional product
8 classes that represent significantly fewer shipments
9 and significantly less energy use for the preliminary
10 analysis. DOE grouped each non-key product class
11 with a key product class to which it is closely
12 related in internal structure and fan performance
13 related - I'm sorry, application and fan performance
14 related internal structure, which as I mentioned, are
15 the primary criteria for differentiating between the
16 key product classes.

17 I'm going to toggle between the next slide
18 and back to this one because I think it will provide a
19 snapshot of what I mean here.

20 As I mentioned, here are the groupings. You
21 can see on the left, the column on the left is the key
22 product classes for this rulemaking, and then to the
23 right you can see the proposed additional product
24 classes that I'm speaking about that have the fewer
25 shipments and significantly less - contribute - I'm

1 sorry, significantly less energy use than the primary
2 product classes, and this shows the groupings. I won't
3 read through the 12 additional product classes, but
4 that just provides a graphic for what I mean as to the
5 method that is being used.

6 DOE assigned the baseline FER or IFER and
7 analysis results of each key product class to the non-
8 key product classes with which it is grouped. And if
9 DOE continues with this approach in the NOPR, it would
10 result in proposed efficiency levels for each
11 additional product class that is equivalent to the
12 proposed efficiency level with the key product class
13 with which it is paired.

14 So as an example, I'll use the top one, if
15 DOE continues with this approach, the baseline and
16 analysis results for weatherized gas furnace fans
17 would be assigned to weatherized non-condensing oil
18 furnace fans, and the result would be that in the
19 Notice of Proposed Rulemaking whatever efficiency
20 level trials standard level was proposed for the
21 weatherized gas furnace fan would also be proposed for
22 weatherized, non-condensing oil furnace fans.

23 Anybody has any questions?

24 MR. BROOKMAN: Steve Rosenstock.

25 MR. ROSENSTOCK: Steve Rosenstock, Edison

1 Electric Institute. So is this another situation
2 where the products on the left are being used as a
3 proxy - the results are going to be proxy for the
4 products on the right side of the table?

5 MR. JASINSKI: Yes.

6 MR. ROSENSTOCK: So, eventually, from the
7 previous slide there's nine product classes, and then
8 with this there might be 21 product classes with the
9 final rule. Is that -

10 MR. JASINSKI: Yes.

11 MR. ROSENSTOCK: Okay. Just to give -

12 MR. JASINSKI: Yes, and a clarification -
13 there's only three key product classes shown here
14 because all the 12 additional product classes are
15 grouped with them. The six remaining key product
16 classes don't have any additional product classes.

17 MR. BROOKMAN: So it would be nine plus
18 three?

19 MR. JASINSKI: No, it would be the nine plus
20 the 12 that are shown here, so 21.

21 MR. BROOKMAN: Okay. Joanna.

22 MS. MAUER: Joanna Mauer. I just want to
23 make sure I understand. Are you saying that the same
24 FER values would be used for the other product
25 classes? The same values?

1 MR. JASINSKI: Yes.

2 MS. MAUER: So I guess what's the benefit of
3 having the separate product classes as opposed to
4 combining them into one?

5 MR. JASINSKI: Well, as I'll get to in the
6 next slide, this is an issue that DOE is requesting
7 comment on. Essentially because the products that
8 make up the additional product classes have so few
9 shipments, there's not a lot of data readily available
10 to perform a detailed analysis to the level that is
11 possible for the key product classes. So a little
12 early, I'll ask that manufacturers and other
13 interested parties provide comment on, and data, about
14 shipments, the prevalence and also performance-related
15 data for the 12 additional product classes.

16 MR. BROOKMAN: Diane. Close. Get that
17 microphone close.

18 MS. JAKOBS: Close, okay. Just from your
19 own FER values, it seems like the manufactured homes
20 units, they were much lower, and we don't build those,
21 but I don't know if there's something special about
22 those where they should be a key product class.

23 MR. JASINSKI: A major factor for the
24 difference is that in the proposed test procedure, DOE
25 is proposing to use a reference system external static

1 pressure of three-tenths inches water column for
2 manufactured home products, whereas for the non-
3 manufactured home products, the proposed reference
4 system external static pressure is - are on the order
5 of half an inch water column, and point six five
6 inches water column.

7 MS. JAKOBS: So it was point six five, so if
8 you have a manufactured home furnace that doesn't come
9 with a coil, wouldn't that have the point six five
10 then too?

11 MR. JASINSKI: No, that would - that would
12 have a point three inches water column. Any
13 manufactured home product class would use that
14 reference system external static pressure.

15 MS. JAKOBS: Okay. I'll have to look at
16 that. We talked about that in our meeting, and nobody
17 was real forthcoming from the manufactured home group.

18 MR. JASINSKI: Comments are always welcome.

19 MS. JAKOBS: Okay. And I'll just have to
20 look into that, I don't -

21 MR. BROOKMAN: Tom Eckman.

22 MR. ECKMAN: I think one of the - as I
23 understand it, one of the reasons is because the
24 manufactured homes don't have return ductwork at all,
25 basically, a single return pickup in the - near the

1 furnace, so there's no - there's a supply side, but
2 there's no return side ductwork.

3 MR. BROOKMAN: Thanks, Tom. Steve
4 Rosenstock.

5 MR. ROSENSTOCK: Again, Steve Rosenstock,
6 EEI. This is kind of a - for that first category, is
7 a weatherized gas furnace fan for single family home,
8 non-manufactured home, is going to be used - is a
9 proxy for the manufactured home even though they have
10 significantly different external static pressures?

11 MR. JASINSKI: Yes. Well, yeah. In this
12 case one approach that DOE could take is that it would
13 use the same raw data from the weatherized gas furnace
14 fan and potentially use a different reference system
15 external static pressure, so in that case one
16 potential approach could be to assign a different
17 baseline and different analyses result based on the
18 lower external static pressure. But this is - these
19 are the type of comment that DOE is asking for, really
20 comments on what is the appropriate approach for
21 handling the additional product classes in the absence
22 of the amount of detailed data that's available for
23 the key product classes?

24 MR. BROOKMAN: Terry Smith, you're next.
25 Pardon me, Terry Small. I apologize. Terry.

1 MR. SMALL: This is Terry Small with Mortex.
2 I guess I'm a little confused. So on your baseline
3 FER values, they were in the executive summary, there
4 are nine product classes. Really that should have
5 been 21 values including the additional product
6 classes? If they all have different baselines? I'm
7 confused.

8 MR. JASINSKI: So the approach that's being
9 presented here is that the baselines that are assigned
10 to the key product classes, you would assign those to
11 the additional product classes with which it's
12 grouped. So essentially, anywhere you see a value for
13 weatherized gas furnace fan, you would just duplicate
14 that value for the additional product classes that are
15 grouped with weatherized furnace fans. So if you
16 expanded that table, there would be 21 values, but for
17 each additional product class it would just be a
18 duplication of whatever the value of the key product
19 class for which it's grouped. Does that answer -

20 MR. SMALL: Well just to comment. I think
21 that the - certainly on some of these product classes,
22 particularly the hydronic and all that, you're going
23 to have some huge variations once you get into the
24 additional product classes. So I don't think you're
25 going to find that one size is going to fit all, but

1 that's just my opinion, thank you.

2 MR. BROOKMAN: Terry, those kinds of
3 comments in detail will benefit the Department when
4 you sent them in.

5 MR. JASINSKI: Yeah, to add to what Doug is
6 saying - sorry.

7 MR. SMALL: And Doug, what's interesting
8 about is unfortunately - you know, we're a small
9 manufacturer. We just don't have the resources. I
10 mean I wish I had all of our product - I wish that
11 there was a final test procedure then we could test
12 our products in about a year's time we could tell you
13 where we thought we were. I mean, we're completely
14 flying in the dark on this. We're not certain about
15 the test procedure, and just to figure out where we
16 are on all these different products is going to
17 require quite a bit of testing.

18 MR. BROOKMAN: Thanks, Terry.

19 MR. SMALL: It's almost as if we're getting
20 the carts in front of the horse pretty substantially
21 on this, and I would really - I would really caution
22 that we show down on this before we start setting
23 values, but that's my opinion, thank you.

24 MR. BROOKMAN: Thank you. Detlef.

25 MR. WESTPHALEN: Detlef Westphalen,

1 Navigant. I think one of the things with these 12
2 additional product classes is that we're not sure all
3 of them exist. For instance, the manufactured home
4 weatherized gas furnaces, and, you know, this is a
5 framework, a structure with which to say okay, suppose
6 significant quantities of these are sold. This is a
7 proposed place to put them within the analysis
8 structure. And so, you know, we're presenting this
9 and requesting comment and also information on, you
10 know, are these important product classes and what
11 kind of sales levels are associated with them and what
12 kind of characteristics do they have that would allow
13 us to determine, are these the appropriate alignments.

14 MR. BROOKMAN: Okay. Thank you.

15 MR. JASINSKI: Yes, to add to what Detlef
16 said, in addition to comments on whether these
17 products exist, and if they do what the level of
18 shipments are, Terry Small mentioned that there are
19 factors that would create discrepancies with the key
20 product classes with which they're paired. If in your
21 comments you could detail what those are, that could
22 provide information for DOE to modify the framework
23 and could address those discrepancies.

24 MR. BROOKMAN: Final comments on these -
25 actually I guess there are a couple of slides as they

1 talk about these groupings. Okay.

2 MR. JASINSKI: So as I said, this is just a
3 callout box with the questions that we've been
4 discussing. DOE is interested in comments here and
5 written comments on the methodology for
6 differentiating the product classes that I mentioned,
7 by application, and internal structure. And DOE also
8 seeks comment and data regarding the market for the 12
9 additional product classes and their expected energy
10 performance, specifically historical and future
11 shipment data and energy performance data that would
12 be useful to estimate FER or IFER for those product
13 classes.

14 MR. BROOKMAN: We have another comment from
15 Terry Small. Go ahead, Terry.

16 MR. SMALL: Yes, I'd just like to add one
17 other thing. What is really interesting about this
18 fantastic HVAC industry and market we have is that the
19 industry has evolved such that it meets the needs of
20 the consumer, particularly in indoor situations. No
21 two houses are the same, and the application of HVAC
22 to houses and apartments varies a lot so you have a
23 lot of different products, a lot of different heat
24 loads or cooling loads to meet. And I would be very
25 worried that if you set too low of a bar for the

1 product class -- the overall nine product classes, you
2 may wide that inadvertently some of these additional
3 product classes that wouldn't meet the value, to serve
4 a particular application in people's homes or
5 apartments here in the US. It's much easier to
6 prescribe what is happening with an outdoor unit which
7 sits outside the house or apartment, than it is what
8 has to be fit into - and a lot of this could be
9 replacement also remember, so there's not very much
10 new construction going on. Most of this is really,
11 for the foreseeable future, going back in and
12 replacing existing equipment. It could be a real
13 problem. So I would recommend that you carefully look
14 at these additional product classes and take into
15 account, maybe the uniqueness of their design, and,
16 you know, just the application. Thank you.

17 MR. BROOKMAN: Thank you. We're moving on,
18 Sam.

19 MR. JASINSKI: Another important aspect of
20 the market assessment, as I said, is to identify
21 manufacturers and their market share. Here DOE found
22 that the top seven gas furnace manufacturers represent
23 99 percent of the gas furnace market. And the pie
24 chart on the left shows that market distribution by
25 shipments - market share distribution by shipments.

1 In addition, ten oil furnace manufacturers represent -
2 the top ten oil furnace manufacturers represent over
3 90 percent of the market and here's a table here that
4 shows on the left, the manufacturers that have an
5 estimated - at least an estimated market share of ten
6 percent, and on the right, the remaining oil furnace
7 manufacturers that are estimated to have a less than
8 ten percent market share.

9 And just to note for related products and
10 also products like modular blowers that are often part
11 of the discussion for CAC and heat pump issues, the
12 market share distribution is very similar to the gas
13 furnace market share distribution. The manufacturers
14 are the same and the percentages vary by only a few
15 points.

16 MR. BROOKMAN: Craig.

17 MR. MESSMER: Yeah, looking at that pie
18 chart, I didn't see any -- this is Craig Messmer - I
19 didn't see any analysis in the technical support
20 document for small companies. Is that in there?

21 MR. JASINSKI: There's no analysis yet. The
22 analysis that would relate to small businesses would
23 be something that would occur in the NOPR stage of the
24 manufacturing impact analysis. So at this stage, in
25 the preliminary analysis, DOE is just striving to

1 identify small business manufacturers, so that during
2 the NOPR phase those small business manufacturers can
3 be included in that manufacturing impact analysis.

4 MR. MESSMER: So that will be included in
5 the cost benefit analysis, then?

6 MR. JASINSKI: Yes, so I guess it's
7 important to raise another request that if you are a
8 small business manufacturer and you're not included in
9 that list that's included in the preliminary technical
10 support document, please let DOE know so that you can
11 be included in those downstream analyses.

12 MR. MESSMER: Thank you.

13 MR. JASINSKI: The second part of the market
14 and technology assessment is the technology
15 assessment, and the important outcome of the
16 technology assessment is identification of
17 technologies that manufacturers can use to improve the
18 efficiency of furnace fans in their products. Here is
19 a table that shows the technology options that DOE
20 identified.

21 • The first is inverter technology for PSC motors.
22 These are motor controls that can be used to
23 extend the air flow and flexibility of PSC
24 motors. Flexibility here just means the ability

- 1 to match the demand.
- 2 • Second, X13 fan motors. I will say here that DOE
3 is using X13 to - as a generic term for constant
4 torque permanent magnet motors, and these motors
5 are - well, we realize that X13 may be the name
6 of a specific model by a specific manufacturer,
7 but they're often discussed in the industry and
8 referred to as X13, so that's the same - we're
9 continuing that convention here. And these are
10 more efficient than PSC motors because they have
11 typically - they're more - they operate more
12 efficiently and they also have an extended air
13 flow range.
- 14 • ECM fan motors, again here, ECM is also
15 trademarked, I believe. Here DOE is using this
16 as a generic term for constant air flow permanent
17 magnet motors. And these adds the energy
18 benefits of X13 motors because they operate more
19 efficiently and again, extend the air flow range
20 available.
- 21 • Next, backward inclined impellers. These are
22 impellers with backward facing inclined blades
23 that can be more efficient than the standard or
24 forward curved impellers.

- 1 • Next, toroidal (ph) transformer. And here I
2 noted that these are only for the standby and off
3 mode product classes, or the product classes for
4 which standby and off mode are being considered
5 in this rulemaking. Toroidal (ph) transformer
6 has an annular - well, I won't read these in
7 detail, but essentially their construction makes
8 them more efficient than the conventional
9 laminated core power transformers that are
10 standard in products.
- 11 • Next, switching mode power supplies, similar to
12 toroidal (ph) transformers for the standby and
13 off mode product classes, and these are more
14 efficient than the solid state power supplies -
15 I'm sorry, these are solid state power supplies
16 that are more efficient than the conventional
17 transformer-based power supplies.
- 18 • Next, fan housing design modifications.
19 Optimizing the shape of the fan housing has the
20 potential to increase furnace fan efficiency.
- 21 • Next, air flow path design. Modifying the HVAC
22 product envelope and elements in the air flow
23 path, such as the heat exchanger, to reduce
24 external static pressure also has the potential

1 to improve efficiency of furnace fans.

2 • And lastly, ECM control relay. Again, also
3 particular to standby and off mode product
4 classes. This is the use of a control relay on
5 an ECM to disconnect it when it's not needed to
6 eliminate the standby power that's associated
7 with the controls of the ECM motor.

8 Any questions before I move on?

9 MR. BROOKMAN: Brian, please.

10 MR. JAMES: Brian James, Southern California
11 Edison, on behalf of the California IRUs. Backward
12 inclined impellers isn't necessarily a straightforward
13 energy efficiency improvement. It is more efficient
14 over a narrow range, but outside of that range it can
15 actually be less efficient, as well as noisier in
16 residential applications. So, that should be taken
17 into consideration that it's efficient only over a
18 narrow range.

19 MR. BROOKMAN: Thank you. And this is the
20 kind of comment the Department would wish to elicit in
21 this spot, I believe, that is, comments on these and
22 others that may be missed. Charlie Stephens.

23 MR. STEPHENS: Charlie Stephens. I've been
24 wondering since we started here where to address this,

1 and I guess this is as good a place as any, so pardon
2 me if I go backwards, but this touches on everything.
3 I've been confused ever since I started reading the
4 technical support document here, about whether we're
5 regulating fans or air handlers. And what I see here
6 in the beginning, in the introduction is that, you
7 know, a fan is a component of an HVAC product, and I
8 presume that most of those HVAC products that we're
9 talking about are air handlers. Now that definition
10 is entirely consistent with the list that I'm looking
11 at here on the slide in terms of what design options
12 you're looking at. They pertain to the definition
13 that DOE put forward of that being an electric motor
14 and an impeller and a housing and a control, period.
15 Not the cabinet, not the air flow path, nothing else.
16 I mean there's no other option I see here that relates
17 to an air handler. These all relate, literally, to
18 the fan.

19 And I can't help but go back and think of an
20 analogy here where DOE right now, for instance, is
21 considering regulating pumps, which are in an
22 electrically powered device for moving water through
23 pipes. Not all altogether different from this,
24 different fluid. And DOE - I mean the proposal I see
25 if you insist on the definition of fan that you have

1 today, regulating - would you regulate pumps as a
2 component of a residential or commercial appliance
3 product, clothes washers? Are you going to regulate
4 pumps by regulating the manufacturers of clothes
5 washers? So if you insist on this thing being only
6 about fans, I'm not sure I understand even the
7 regulation proposals for hydronic air handlers. I
8 mean if you get into that, there's lots of things you
9 could do to those to make them more efficient in terms
10 of moving the air through them, but they have a fan.
11 Hydronic air handlers have a fan in them like the
12 others, but you seem to ambivalent about what you're
13 regulating here. And I think if you really are
14 regulating air handlers, then this list is woefully
15 short.

16 And, if on the other hand, you're actually
17 regulating fans, well, this is the right list. But I
18 think the Department first and foremost needs to
19 decide whether it's regulating fans or air handlers.
20 And if it's air handlers in the end because you're
21 regulating the manufacturers of air handlers, then
22 this list is not adequate, and we'll add to it as we
23 go through in our comments. But I think - I've been
24 confused all the way through this document because
25 people seem to be using this term fan and air handler

1 interchangeably. And based on your own definitions
2 here, they're not interchangeable.

3 MR. BROOKMAN: Thanks, Charlie. Yes,
4 Abigail.

5 MS. DAKEN: To follow on a little bit on
6 Charlie's comment. I'm wondering about the air flow
7 path design, if you're regulating the fan itself and
8 not the air handler, whether that's appropriate to
9 regulating the fan.

10 The other comment I would make is that I'm
11 sort of listening to people talking about improving
12 the efficiency of the fan, and whether that is done at
13 the cost of the efficiency of the entire system. I'd
14 like to understand that better, but I wonder whether
15 the difference that Charlie is referring to, between
16 regulating air handlers and regulating fans, might
17 help explain it.

18 MR. BROOKMAN: Greg. Thanks for getting
19 that close.

20 MR. WAGNER: I'll try. Greg Wagner. To
21 give a little example on the efficiency of components
22 versus systems, with the advent of 13 SEER, 14 SEER
23 regulations, coils have grown in size to take up more
24 space in the heating volume, if you will, inside any
25 residence, and so it's reduced the size that's

1 available to furnaces, and as such, furnaces have
2 shrunk in size since the advent of the 13 SEER
3 regulation. That leaves less room for blowers and
4 they're less efficient when they're smaller in size.
5 So there are systems that have to be designed to meet
6 the performance for the other regulations, and those
7 drive what happens in terms of design options
8 available to people that are putting together the
9 furnace, the air handler systems.

10 MR. BROOKMAN: Okay. Yes, Diane.

11 MS. JAKOBS: There's also - it's just
12 physics, but if you have higher velocity air you
13 improve the heat transfer between the gas heat
14 exchanger or the - any heat exchanger. So we can get
15 a higher AFUE by increasing the air flow, which will
16 burn more watts. So that's kind of a - one goes up
17 and one goes down.

18 MR. BROOKMAN: Thank you. Yes, Dave.

19 MR. WINNINGHAM: Yes, this is Dave from
20 Allied. Just to kind of add to Diane's, for our gas
21 furnace, 80 percent versus a 90 percent furnace. The
22 majority of the power consumption is on the gas side,
23 but the heat exchanger for an 80 percent, for
24 instance, typically less restrictive than a 90
25 percent, to extract more efficiency, you put a

1 secondary coil which is going to typically either
2 require more power in the blower system, so this
3 additional metric could drive some unintended
4 consequences as part of that.

5 MR. BROOKMAN: Okay. Thank you. Yes,
6 please, Greg.

7 MR. WAGNER: I was just going to echo that
8 that secondary heat exchanger is another one where it
9 is energy consumed to pull out, extract, more energy
10 and the cost difference between those, since you're
11 doing 98 percent in the gas part of it versus two
12 percent in the electrical consumption, you want to get
13 the most benefit from the gas part of it from an
14 energy efficiency standpoint. So those are some
15 things to answer your questions of the beginning,
16 Mohammed, so that's why system effects are the
17 important part that we need to look at, not just
18 components.

19 MR. BROOKMAN: Diane - follow on?

20 MS. JAKOBS: Okay. There is just one thing
21 from your TSD that I learned, and I was aware of it in
22 Rheem's furnaces, but I thought I was a special case,
23 but it looks like the - actually the condensing
24 furnaces had lower FER values, or lower E-sub-AE
25 values than the non-condensing, which was the inverse

1 of what I thought. But maybe because we all use, or
2 almost all of us use these two ... coils, and to go back
3 to Harvey's air straighteners, maybe we're helping
4 them and so we have this space in there for the
5 secondary coil. I don't know it was just an unusual
6 thing that I notice from your data. It is motor
7 differences? I don't know. It was weird.

8 MR. JASINSKI: (comment off mic)

9 MS. JAKOBS: I think -- I know I've stated
10 that but your data doesn't reflect that. The 80-plus
11 has lower electrical consumption.

12 MR. BROOKMAN: Do you have any follow on or
13 should we move on?

14 MR. JASINSKI: We can move on. When we
15 present the table based on value, we can explore that.

16 MR. BROOKMAN: Okay.

17 MR. JASINSKI: Because that'll - it'll make
18 it easier for everyone to see what she's referring to.

19 MR. BROOKMAN: Yes, please.

20 MR. LIN: Paul Lin from Regal Beloit. This
21 table, and I thought in the analysis you had a higher
22 efficiency PSC in the analysis, but I don't see that
23 on your table here.

24 MR. JASINSKI: In the engineering analysis
25 when we get to it, there is an efficiency level that's

1 associated with an improved PSC, and an improved PSC
2 in this sense just means a PSC motor that has - the
3 baseline is described as a furnace fan that relies on
4 a PSC motor that has three or fewer air flow control
5 settings, improved - there are - an improved PSC in
6 this analysis just refers to those that have more - a
7 larger number of air control settings which
8 contributes to a wider range of air flow and also
9 flexibility.

10 MR. BROOKMAN: We have another individual
11 who wants to - who's raised his hand. Jim Vershaw,
12 you're next.

13 MR. VERSHAW: Hi, this is Jim Vershaw. I'm
14 with Ingersoll Rand Trane. A few comments. At first
15 I agree on the backward inclined impeller comment. If
16 those were usable in the conventional furnaces,
17 obviously they would have been used a long time ago.
18 They are very loud and very tight tolerance, and
19 they're difficult to manufacture and they have a very
20 limited area where you can actually use them with good
21 efficiency.

22 Second comment has to do with improving the
23 efficiency of fan systems on furnaces, remember that
24 in the heating mode all of the heat goes into the
25 motor, either goes into moving the air or goes into

1 the air stream, so as you take that efficiency of that
2 motor up, you're going to have to put more gas into
3 the furnace to maintain the house load. So there is
4 an effect on how much gas will be used versus how much
5 electricity is going to be used.

6 The other issue is as you look at higher
7 statics, remember the PSC motor will unload and
8 actually use less energy at high statics, whereas the
9 ECM, the ... DC motor will use more energy at the high
10 statics. So as we start looking at different static
11 points for measurement for fan versus for systems,
12 that's going to be very confusing as to what the
13 system is really doing, and then the consumer will be
14 unable to determine how to choose - how to utilize
15 that information. Thanks.

16 MR. BROOKMAN: Okay. Thank you. We're
17 going to keep pressing on here.

18 MR. JASINSKI: After technology options are
19 identified, DOE conducts a screening analysis, and the
20 screening analysis is to evaluate the technology
21 options according to the following criteria:

- 22 • technological feasibility,
- 23 • practicability to manufacture, install, service
- 24 • impacts on utility or product availability

1 • and lastly, impacts on health or safety.

2 The technology options that don't meet these
3 criteria are screened out or not considered in the
4 downstream analyses.

5 DOE screened out three technology options.
6 This table summarizes those technology options and
7 the reasons they were screened out. First, housing
8 design modifications. In this case DOE is requesting
9 more data. DOE did not find any quantified data that
10 quantified energy savings associated with specific
11 design modifications to the housing. So if
12 interested parties have that available, if they could
13 provide that, DOE would really appreciate it.

14 Secondly, the air flow path design
15 technology option, and this speaks to a lot of the
16 discussion that was happening earlier. DOE is
17 constantly considering the trade off between system
18 efficiency and component efficiency because of the
19 unique nature of this rulemaking. So in terms of how
20 definitions are set, how product classes are
21 differentiated, DOE is attempting to not neglect the
22 fact that there are system impacts to the decisions
23 that are made with regard to the framework and
24 methodologies that we are using. So this particular

1 case, air flow path design was identified as a
2 technology option because DOE recognizes that there
3 is an impact on the fan efficiency related to the air
4 flow path design. Similar to the test procedure, the
5 fan being tested as it is factory installed in the
6 HVAC product for similar reasons. But in this case,
7 the air flow path design technology option was
8 screened out because DOE understands that there are
9 impacts on thermal performance. However, on
10 quantifying them and understanding the tradeoffs is
11 something that DOE requires more information for, and
12 because of the impacts and a lot of the examples that
13 were provided by manufacturers here, there is a
14 chance that if overall system efficiency is impacted,
15 that product utility could be impacted. And as I
16 stated earlier, one of the screening analysis
17 criteria is product utility. So for those reasons,
18 the air flow path design was preliminary screened out
19 for this analysis.

20 Lastly, ECM control relay. This is the
21 standby and off mode technology option where relay
22 would be used to eliminate the standby power
23 consumption of ECM motors when they're not being
24 used. Again, this impacts product utilities,
25 specifically reliability, because the control - if

1 ECM motor controls are turned off and on repeatedly,
2 DOE has received comments that that could shorten the
3 life of the motor which has an impact on product
4 utility.

5 So after the screening analysis, DOE
6 retained six technology options for the following
7 engineering analysis. For more information about the
8 screening analysis, you can refer to Chapter 4 of the
9 TSD.

10 MR. BROOKMAN: Let's just pause there.
11 Comments on these technology options which the
12 Department is suggesting in a preliminary way might
13 be screened out. Adam.

14 MR. CHRISTIANSEN: So just with regard to
15 the fan housing design modification, I believe - I'd
16 have to go back to my computer, but I believe there
17 was a study done in early 2007 -

18 MR. BROOKMAN: Louder, Adam.

19 MR. CHRISTIANSEN: Sorry. I believe there
20 was a study done early 2000's by GE that they looked
21 at things like inlet cone of the fan housing, some
22 curved sections, you know, improving the outlet
23 dimensions of the fan, and they actually quantified
24 some of those energy savings in that report. Those
25 are things that don't necessarily take up a whole lot

1 of space within an air handler, and I think DOE
2 should - I'll forward along the document to the
3 appropriate person if you don't know what I'm talking
4 about, but I think it's something that should be
5 looked at.

6 MR. BROOKMAN: Craig Messmer and then to
7 Diane.

8 MR. MESSMER: Craig Messmer. Can you
9 explain what you meant by air flow path design? Is
10 it just the fan scroll housing? Is it the inlet
11 conditions or the discharge?

12 MR. JASINSKI: (off mic)

13 MR. BROOKMAN: Sam, sorry, your microphone
14 is not working.

15 MR. JASINSKI: Sounds like it's on now,
16 sorry. Yes, the air flow path technology options
17 here refers to the envelope -

18 PARTICIPANT: It's off again, sorry.

19 MR. BROOKMAN: Use this one.

20 MR. JASINSKI: Thanks. Does that answer
21 your question?

22 MR. MESSMER: Yes, and to follow up on that.
23 What is the baseline air flow path design? I think
24 you're going to find that products from different
25 manufacturers have different air flow path designs,

1 and you're going to have a widely different FER for
2 different manufacturers. And if we don't establish
3 what the baseline is, so how do we know what the
4 improvements are going to be in the future, or even
5 if the FER baseline is valid.

6 MR. JASINSKI: Yeah, in this particular
7 case, DOE did not assign a baseline value because it
8 was screened out, meaning because the air flow path
9 design technology option was not considered in the
10 engineering analysis.

11 MR. MESSMER: I guess what I'm saying is
12 that it should be.

13 MR. JASINSKI: Okay.

14 MR. BROOKMAN: It should be screened out.

15 MR. MESSMER: No. It should be considered.

16 MR. BROOKMAN: It should be considered.

17 Thank you. That's clarification. Diane. Please.

18 MS. JAKOBS: I wanted to go back to your
19 comment about -

20 MR. BROOKMAN: To Adam's comment. Yes.

21 MS. JAKOBS: -- the paper about - we've
22 looked at that paper too and at ASHRAE just last
23 month, I was talking to some of Greg's engineers
24 about whether what's important is that we're getting
25 close to the wheel in that study, or they're giving

1 more space between the sides of the housing and the
2 wall of the jacket. Because one of the things,
3 because we have all these components, they all have
4 to fit together and mix and match. We have fixed
5 widths, so we're trying to get a lot of air flow.
6 We're trying to use the space we have, and I know our
7 old Rheem air handler design had really tight - the
8 sides of the housing were tight to the wheel, and we
9 felt like that improved our air flow. It was very
10 difficult manufacturing and we're always fighting
11 about - because in manufacturing they had trouble
12 getting the wheel into the housing and people on the
13 line would pry it apart and then it would be out of
14 alignment.

15 But Craig's engineers there told me that it
16 was really that we had more room between the side of
17 the jacket and the housing, it wasn't - so all these
18 things all work together, the air is everywhere and
19 it's hard to distinguish exactly what - you know, you
20 change one thing and you might be changing something
21 else without realizing it.

22 MR. JASINSKI: So are you suggesting that
23 air flow path design should be screened out or should
24 be retained or what?

25 MS. JAKOBS: Well, as a manufacturer if I

1 was starting from scratch and I could redesign my air
2 handler furnace, I would work on air flow path
3 design, because that doesn't cost me anything.

4 MR. BROOKMAN: Charlie, I see Dave's not in
5 his ..., Dave do you want to jump in here?

6 MR. WINNINGHAM: Yes, I would encourage that
7 the path design needs to be included. There are
8 various configurations and designs of blowers, the
9 development angle, the tolerances, the type of wheel,
10 the angle of the blades into the wheel, the internal
11 restrictions - all of these things are - can be
12 critical and can have a significant difference on the
13 performance. You know, we're all trying to squeeze
14 it into the smallest possible envelope, but there
15 needs to be a consideration for the design path, or
16 the air path because that can be a much more cost-
17 effective option to improve efficiency, rather than
18 adding, you know, premium components.

19 MR. BROOKMAN: Okay. Thank you. Charlie
20 Stephens.

21 MR. STEPHENS: Charlie Stephens. I would
22 concur with all of the comments that have gone before
23 me here, and the Department seems to, in screening
24 this out - I mean assuming we're - the subject of
25 this rulemaking is actually air handlers. Air flow

1 path design, based on my own experience in the field,
2 can often improve thermal performance when the air
3 flow path is improved, and can improve the product
4 utility, but the Department seems to have assumed
5 that it's negative, or that because it's potentially
6 negative that it should be screened out. I strongly
7 disagree with that, based - I'm not going to name the
8 products that I have worked with, but believe me some
9 of them could have improved everything with a better
10 air flow path. And I think it is a way to achieve
11 efficiency relatively cost-effectively.

12 MR. BROOKMAN: Several people are in the
13 queue. We're going to go in this order as
14 efficiently and concisely as possible. Greg. And
15 then Abigail, and then Steve, and then Adam, briefly.

16 MR. WAGNER: Okay. Greg Wagner. All these
17 - certainly the first two options, the fan housing
18 design and the air path design are significant
19 players in the performance and efficiency of these
20 products that we're looking to cover here, and you
21 can see in the E-sub-AE and the other numbers you've
22 been using that there's a broad distribution of
23 electrical consumption, and it's a function of those
24 different designs. And the question of how do you
25 get a baseline, which I think this is targeting to

1 where you start a baseline and then what is the max
2 technology piece, may be difficult to find because of
3 those parameters that are outside the scope of what
4 this is, which is a function of heat exchangers and
5 other things inside this unit. So I understand why
6 it's screened out, but to the point of everybody
7 making these comments, those things do affect the air
8 flow efficiency.

9 MR. BROOKMAN: Abigail.

10 MS. DAKEN: So I heard somebody say that the
11 fan is testing in situ in the HVAC product in which
12 its intended, and what I'm hearing the manufacturers
13 say is that as long as that is the case, they will in
14 fact be modifying the air flow design to try to
15 achieve higher efficiency. And so it seems strange
16 not to take it into account in the analysis, though
17 obviously, it's going to be complicated.

18 MR. BROOKMAN: Thank you. Steve Rosenstock.

19 MR. ROSENSTOCK: Steve Rosenstock, EEI.
20 Again, I guess I was a little - when I saw that in
21 the document, I was a little confused about it in
22 terms of are you talking about the air flow path
23 that's really controlled by the manufacturer, the air
24 flow path that's really a function of the house, the
25 duct work that's in the house, the existing house, or

1 the new house in terms of how you can modify that
2 path to make the fan system more efficient, I guess.
3 Or are you just talking about the air flow path just
4 within the fan housing unit, and that's it? Because
5 it seemed like you're saying product envelope. I
6 thought you were talking a little bit almost about
7 the duct work where the fan is being placed, or am I
8 misinterpreting? Again, --

9 MR. JASINSKI: The scope does not include
10 the duct work of the house.

11 MR. ROSENSTOCK: Specifically just talking
12 about within the fan unit, regardless of where -

13 MR. JASINSKI: Right. Yes, the HVAC product
14 itself.

15 MR. ROSENSTOCK: Okay. That threw me off a
16 little bit, thank you very much.

17 MR. BROOKMAN: Adam, thank you for being
18 patient.

19 MR. CHRISTIANSEN: This is Adam from ASAP.
20 I know I commented on the fan housing before, but I'm
21 encouraged by the conversation here about maybe
22 considering the air flow path design as well, so I
23 would support that as well.

24 MR. BROOKMAN: Okay. Thank you. We're
25 moving on to the next slide.

1 MR. JASINSKI: I would also - I'll just say
2 that to include the air flow path design, DOE would -
3 the type of information that would be very helpful
4 from industry participants and interested parties
5 would be specific, quantified savings related to
6 specific design changes, but also to echo what
7 Mohammed said to open the meeting, is that DOE is
8 also very interested in understanding where the
9 limits of those design modifications are as it
10 relates to impacting the overall system efficiency
11 negatively. So to include a design option for the
12 fan housing design and air flow path design, that's
13 the type of information that DOE's continually
14 looking for and would appreciate from interested
15 parties.

16 MR. BROOKMAN: Diane. Oh, let's hear from
17 Mohammed. Go ahead, Mohammed.

18 MR. KHAN: Sorry, Diane, I'll make this very
19 brief. I just want to add on to what Sam just
20 mentioned, looking - we're asking for the data about
21 the improvements that can be made with changing the
22 air flow path design. I would like to see that data
23 also include not only what levels of improvements
24 that you can make with whatever kind of changes, but
25 also include the cost element of it, so, you know,

1 how much - and I heard you earlier, Diane, saying
2 that, I think your words were, it doesn't cost
3 anything. But there's always some cost associated
4 with anything. So that was it, thanks.

5 MR. BROOKMAN: Diane, follow on.

6 MS. JAKOBS: One of the problems with what
7 you're asking - you know I certainly want to help you,
8 but like Rheem has one design, Lennox has one design.
9 You know we all have our individual designs, and we
10 certainly have opinions about each others designs, but
11 we don't spend a lot of time testing each others
12 furnaces. So I don't know if - I know I was - if we
13 can use the data from the AHRI directory, I don't know
14 if you can use the E-sub-AE and characterize heat
15 exchangers and try to sort out the data that way, but
16 certainly at the very maximum each individual
17 manufacturer could do is give information about their
18 own equipment, and you would have to analyze it, and
19 you shouldn't play favorites.

20 MR. JASINSKI: We would love to do that.

21 MR. BROOKMAN: Yes, please, Craig.

22 MR. MESSMER: Craig Messmer, just to follow
23 up with what Diane said and what I was trying to drive
24 at before, there is such a wide variety of air flow
25 path designs in the industry, when you do the

1 baseline, you have to establish what that's going to
2 be and what the air flow path is. You can have the
3 same motor, the same fans, the same everything and the
4 air flow path can make or break you on the FER. So
5 there has to be some discussion on this, at least with
6 the baseline. Otherwise you could pick an FER that
7 only one manufacturer could, in fact, achieve, and
8 that would not be good.

9 MR. BROOKMAN: This was very useful, this
10 last discussion. Now we're going to the last slide.

11 MR. JASINSKI: And this is just sort of a
12 summary of the results after the screening analysis.
13 These are the remaining six technology options that
14 were considered in the engineering analysis.

15 MR. BROOKMAN: So comments on the remaining
16 six? Joanna.

17 MS. MAUER: Joanna Mauer. Just a question.
18 Can you explain what you mean, the third option, ECM
19 fan motors where it says multi-staging? Can you
20 explain what you mean by the multi-staging?

21 MR. JASINSKI: Yes. They are used typically
22 with a furnace that also - a furnace or HVAC that has
23 multi-stage heating, and DOE found that in using the
24 FER metric or IFER metric, multi-staging contributes
25 to the efficiency improvements of that ECM fan motor,

1 so it's sort of a joint technology option that's used
2 together. So there's efficiency benefits of the motor
3 technology as I stated earlier, that it operates more
4 efficiently and has a wider air flow range, but also
5 that it's usually used in multi-stage products, multi-
6 stage heating products.

7 MR. BROOKMAN: Diane.

8 MS. JAKOBS: Well, we were just - Greg was
9 asking if we used PSCs and X13s in the multi-stage,
10 and we do. But we did a - we set up data collection
11 equipment with our modulating furnace and to just kind
12 of explain how it works, our modulating furnace goes
13 from 40 percent capacity to 100 percent, and what
14 happened was the furnace would run almost continuously
15 at 40 percent, and the blower is backed off and
16 running at a lower speed, but over a longer period of
17 time. So that's kind of the trade off that you would
18 address in the test procedure. But if you're going to
19 imagine it's running at 40 percent of the speed at a
20 longer time, so it's not on and off like most people
21 are familiar with.

22 MR. BROOKMAN: Steve Rosenstock.

23 MR. ROSENSTOCK: Steve Rosenstock, EEI.

24 Again, I'll just say for with the multi-stage
25 effector, you're also lowering the fan speed. However,

1 the efficiency metric as proposed is only based on the
2 maximum fan speed, correct?

3 MR. JASINSKI: No. the efficiency metric
4 has the consumption from each of three rated air flow
5 control settings. So if you look at the top of the
6 equation, you'll see that it's - actually, I'll just
7 go back to the slide so that everybody can see what
8 I'm referring to. So if you look at the equation, the
9 top is a summation of the operating hours times the
10 power consumption in each rated mode. So for FER it
11 would be cooling times the maximum - the power
12 consumption in the maximum air flow control setting.
13 The heating hours would be multiplied by the power
14 consumption in the heating mode, or the heating air
15 flow control setting, and then finally constant
16 circulation.

17 MR. BROOKMAN: Diane, go ahead.

18 MS. JAKOBS: And it's actually, for multi-
19 stage, you had us collect the watts at the lowest
20 heating speed, but then there's a ratio and we
21 increase the hours.

22 MR. JASINSKI: Right. These details are
23 provided in the test procedure NOPR. I don't have a
24 slide that can show that, but what she's referring to
25 is that the trade off that she mentioned earlier is

1 that you may be running the fan at a lower air flow
2 control setting, but the hours are increased to
3 account for that. So each of these variables CH, HH,
4 CCH, those are the hours that DOE is assigning to
5 those modes of operation, those are set values based
6 on analysis that DOE conducted.

7 So, for instance, CH is set at 640 hours,
8 heating hours is 830 hours, and then constant
9 circulation is 400. But for multi-staging to account
10 for that trade-off, the heating hours of 830 heating
11 hours, for a multi-stage unit, would be divided by
12 what's called the heat capacity ratio, and that's the
13 output - ratio of the output capacity in the lowest
14 heat setting divided by the output capacity in the
15 highest heat setting, usually results in something
16 around point seven, just for reference. And so that
17 would expand the 830 heating hours to, I think it's
18 1185, I'm not sure.

19 MR. ROSENSTOCK: Can you adjust the air flow
20 in the denominator as well?

21 MR. JASINSKI: The air flow in the
22 denominator is the max - only in the maximum, yes.

23 MR. ROSENSTOCK: But you adjust the hours.

24 MR. JASINSKI: Yes.

25 MR. ROSENSTOCK: Thank you.

1 MR. BROOKMAN: Final comments on this slide?
2 These issues, product classes, technology options are
3 very, very important. We spent a fair amount of time
4 on them. If we need to spend more time on them when
5 we return, we can and might, but now it's time to take
6 a break.

7 It's now 10:45. Surprisingly, we are
8 tracking the agenda, which is a surprise to me, but
9 let me know - we did have almost an extra half hour in
10 there because we were efficient on the front end, so
11 when we return we'll have to remain efficient to get
12 through the remainder of the day.

13 Here in the Forrestal Building you must wear
14 this badge visible above your waist. There are
15 restrooms on both ends of the hall. If you're going
16 to go for coffee, on the ground floor, which is
17 directly below us, go quickly if you're going to go
18 get coffee because we will resume at 11 o'clock.

19 And thanks for a good start. We really
20 gained ground on the content here. This was good.

21 (Whereupon, at 11:15 a.m., the meeting was
22 recessed for a 22 minute period.)

23 MR. BROOKMAN: So our apologies to those that
24 were joining us via the web. We somehow got
25 adisconnect going there, and we, for those that are

1 joining us by the web again, we've delayed the meeting
2 so that you could be included, and I'm pleased you're
3 back with us. We are going to resume with Sam and
4 launch into engineering analysis.

5 **Engineering Analysis**

6 MR. JASINSKI: Thanks, Doug. Yes, so I'll
7 move on to the engineering analysis. Here's the "you
8 are here" slide. The purpose of the engineering
9 analysis is to evaluate technologies that reduce
10 furnace fan electrical consumption and characterize the
11 relationship between the cost to the manufacturer of
12 implementing those technologies and the expected energy
13 consumption reduction.

14 To the left you can see a very stylized
15 representation of the expected relationship between the
16 cost and efficiency. And essentially, the primary
17 outcome of the engineering analysis are a set of cost
18 efficiency curves, one for each key product class in
19 this particular rulemaking that looks somewhat similar
20 to that. And those results feed into our downstream
21 analyses such as the life-cycle cost and payback period
22 analysis, national impacts, and so on which will be
23 discussed in further detail later on in the
24 presentation.

25 For the engineering analysis, here's a list
26 of some of the central sources of information that were
27 used, publications like Appliance Magazine, the
28 performance directories from AHRI, and if we look as

1 far back as GAMA, manufacturer interviews, product
2 tear-downs, and manufacturing cost modeling, and also
3 product energy testing was also conducted for this
4 rulemaking.

5 As I mentioned, DOE tests and tears down
6 products. DOE acquired units for testing and tear down
7 to assist in development of the FER and IFER values.
8 This table here just provides a general overview of the
9 types of products that DOE selected for testing and
10 tear down. Twenty-six units were selected, six
11 manufacturers were represented. DOE typically tries to
12 select test and tear down units to span a number of
13 manufacturers and even within - usually tries to select
14 products within the same product line of a single
15 manufacturer. And in this particular case, the
16 selections fell in that air flow capacity range, 800 to
17 2200 CFM, and that's typically the maximum air flow
18 capacity.

19 DOE also tries to select products that span
20 the available range of efficiencies, and in this
21 particular case, DOE targeted these technology
22 variations which we've kind of touched on in previous
23 discussions: the motor type, PSC, constant torque,
24 brushless permanent magnet - referred to as X13,
25 constant volume brushless permanent magnet - referred
26 to as ECM. Again, the air flow capacity range. Heat
27 exchanger type - there are a number of different types
28 of heat exchangers, depending on the application. Some

1 examples are clam shell, tubular, drum, hydronic - and
2 those refer a lot to the application, as I mentioned,
3 but also the geometry of the heat exchanger.

4 DOE also tried to isolate the variation
5 between non-condensing and condensing units. As was
6 discussed earlier and mentioned, there are impacts on
7 fan performance when there is the presence of that
8 secondary condensing heat exchanger. And finally, DOE
9 also tried to investigate different fan housing
10 designs. DOE is aware that there is at least one
11 proprietary design available.

12 MR. BROOKMAN: Aniruddh.

13 MR. ROY: Aniruddh. Aniruddh, with an H.

14 MR. BROOKMAN: Aniruddh.

15 MR. ROY: Or Roy is fine as well.

16 MR. BROOKMAN: No, no. I want to get it
17 right.

18 MR. ROY: Sam, one question I have for you on
19 on this slide is, you know, with respect to the table
20 ES.3.3 and 3.4, you have the backward incline impellor
21 technology in there. Was that also considered under
22 these technology variations?

23 MR. JASINSKI: So these represents the units
24 that were selected for test and tear down. To DOE's
25 knowledge there is not a commercially available product
26 that includes a backward incline impeller, so
27 information - I'll get into this - but information for

1 design options that are not commercially available in
2 an HVAC product, DOE relied on publications that had
3 detailed data about expected impacts on energy
4 performance and cost, if available.

5 MR. ROY: Okay. So the 63 percent reduction
6 that is shown in that table is based on that data?

7 MR. JASINSKI: The ECM -

8 MR. ROY: For that max tech -

9 MR. JASINSKI: Yes.

10 MR. ROY: Okay.

11 MR. JASINSKI: It's based on test and tear
12 down data as well as data from those reports.

13 MR. ROY: Okay. Thank you.

14 MR. JASINSKI: Anyone else? To develop the
15 cost efficiency curves, DOE goes through the following
16 four steps:

- 17 • First, DOE defines baseline specifications for
18 each product class;
- 19 • Next, DOE identifies design options from the
20 baseline to max tech as a pathway for improving
21 the efficiency of the furnace fan;
- 22 • Next, DOE conducts tear down analysis for the
23 selected products spanning the available range of
24 efficiencies;
- 25 • And then finally, DOE uses a cost model to
26 generate cost efficiency curves which account for
27 the full production costs.

1 As I mentioned, the first step is specifying
2 the baseline. DOE selected baseline models typical of
3 the least efficient furnace fans used in commercially
4 available HVAC models. For products that have previous
5 standards, usually the baseline is set at whatever the
6 current standard during that rulemaking, or previous
7 standard. However, because furnace fans are not
8 previously regulated, there is no previous standard,
9 and so DOE selected the baseline to be typical of the
10 least efficient furnace fan that's commercially
11 available.

12 Across all product classes, a baseline
13 furnace fan includes a PSC motor with three or fewer
14 air flow control settings, a forward curved impeller, a
15 standard sheet metal fan housing, a linear power supply
16 - and again, this is referring specifically to those
17 product classes where standby and off mode is
18 considered - and a laminated core power transformer.

19 Any comments on the baseline specifications?

20 DOE, as I mentioned, DOE reviewed -

21 MR. BROOKMAN: No comments on baseline
22 specification? I just thought I would give you a
23 chance. Okay. Go ahead.

24 MR. JASINSKI: DOE's publicly available
25 information, as well as the FER values and IFER values
26 that were calculated using the test data to determine
27 the baseline FER ratings that correspond with those
28 baseline specifications - we have a question?

1 MR. BROOKMAN: Steve Rosenstock.

2 MR. JASINSKI: On this slide or the -

3 MR. ROSENSTOCK: Thirty-four, the previous -
4 yes, that slide, thank you. So you test data from the
5 manufacturer or you did your own testing?

6 MR. JASINSKI: It's a combination of both.

7 MR. ROSENSTOCK: Combination.

8 MR. JASINSKI: DOE was able to find
9 performance data in specification sheets from
10 manufacturers, but then as I mentioned, DOE also used
11 some - used its own test data for -

12 MR. ROSENSTOCK: Were they the same tests?

13 MR. JASINSKI: Meaning?

14 MR. ROSENSTOCK: Same external static
15 pressure, same -

16 MR. JASINSKI: Yes.

17 MR. ROSENSTOCK: Okay. Next thing is,
18 basically on this table, for baseline sample, I want
19 zero for those cases, right, by way of a dash?

20 MR. JASINSKI: No, it's not zero. This is -
21 the dash here just represents not applicable in this
22 particular standard. I'll explain. So, standby and
23 off mode for a lot of these products is already being
24 considered in other rulemaking activities. So, for
25 instance, furnaces and also some products that might
26 fall into the CAC scope of coverage, there are test
27 procedures and standards, either already specified or
28 being proposed for those particular products. So their

1 standby is not going to be included in this rulemaking.

2 However, for hydronic air handlers, there's
3 no previous standard and there are no standards or
4 proposed test procedures for standby and off mode for
5 those products, therefore that's being covered in this
6 rulemaking.

7 MR. BROOKMAN: Greg and then to Charlie.
8 Steve, you weren't done. I'm sorry.

9 MR. ROSENSTOCK: No. So - so basically
10 because the furnace system has a standby test procedure
11 or off mode, you're not going to worry about it for
12 this, but doesn't federal law says for any product with
13 - that you're doing an efficiency standard that you
14 have to look at standby?

15 MR. JASINSKI: Yes, I'll let Michael Kido
16 speak to the statute.

17 MR. ROSENSTOCK: Okay.

18 MR. KIDO: Yes, that's correct, but given
19 that there's already some coverage of that particular
20 level of energy consumption in another portion, we're
21 already considering that element as part of another
22 test procedure. That's the way we're viewing it.

23 MR. ROSENSTOCK: Thank you. Okay, again, it
24 was just - so you're saying there are some standby
25 watts but you're not going to worry about it for this.

26 MR. JASINSKI: I think the confusion here -
27 and I think there's some detail provided, I believe,
28 especially in the test procedure NOPR, but the

1 justification behind this proposed approach is that the
2 fan is integrated - so well integrated into the
3 controls of the HVAC product, that there's no
4 distinguishable - that it's difficult to differentiate
5 the standby specific to the fan, as opposed to the
6 standby of the entire product. So the standby of the
7 entire product for those other products which I've
8 already covered, is already being considered in those
9 other rulemaking activities. There's no additional
10 standby watts that aren't being considered. What we're
11 saying is the same standby consumption of these
12 products is covered - is considered entirely by those
13 other rulemakings. And so the similar case would be
14 for hydronic air handlers, for this particular
15 rulemaking, we are proposing to account for all standby
16 and off mode consumption of hydronic air handlers.

17 MR. BROOKMAN: Greg, I think Charlie has a
18 comment that relates to this. Charlie, go ahead.

19 MR. STEPHENS: Yeah, I would suggest that
20 that's not true. As I suggested earlier, some of the
21 air handlers that we're concerned with are air handlers
22 that are also used as an indoor unit with a heat pump
23 system, for instance, in our part of the world. I
24 believe the Department hasn't finalized that test
25 procedure yet, to my knowledge, but I believe the
26 proposals show standby consumption for those systems
27 with an outdoor unit to be on the order of 33 watts.
28 Now the vast majority of that standby power is not in

1 the air handler, it's in the outdoor unit. Now while
2 you may be accounting for the standby consumption in
3 the air handler portion, it is not 33 watts, I can
4 assure you. And so you really do - if you're going to
5 regulate an air handler, again, this is still a
6 question I realize, but if you're going to regulate the
7 air handler it's not the same number that you're going
8 to have associated with these other rulemakings. It's
9 going to be a different number. It may be a component
10 in that other number, but when you sell this thing as
11 an air handler and not a heat pump system, split
12 system, those numbers are not the same and you need to
13 get the right numbers on this product when it's sold as
14 an air handler.

15 Secondly, by incorporating standby for
16 hydronic for air handler here, you have grossly
17 distorted the ratings for these things and how much
18 energy they use. In the examples that are published in
19 the PTSD, you've got a PSC equipped air handler, and
20 you've got an ECM equipped hydronic air handler. The
21 hydronic ECM air handler uses approximately one-half of
22 the electricity annually, based on your calculations,
23 as the PSC air handler, and yet its efficiency rating
24 is approximately eight times as good. So you've got a
25 rating here that says it uses one-eighth of the energy,
26 but it actually uses half the energy when you look at
27 the numbers in kilowatt hours. That is a highly
28 misleading arrangement. And so I would suggest to you

1 that you need to fix that.

2 MR. BROOKMAN: Thank you. Greg, and then to
3 Diane.

4 MR. WAGNER: Okay. Two - this is Greg
5 Wagner. Two comments. One to dovetail with what you
6 were just talking about, with regard to the differences
7 in product classes. This gets back to what we
8 originally talked about in terms of scope, scope of
9 what the law and regulations covers and the fact that
10 these products haven't been covered previously for the
11 standby watts, indicates they are a separate class, and
12 are not covered by this standard. So that's just
13 further indication regarding scope.

14 To on to a question I have for Sam, you
15 mentioned that when you did this baseline analysis, that
16 you did some testing and you took literature from the
17 manufacturers. Your testing was to the standard as
18 it's outlined currently, is that correct?

19 MR. JASINSKI: Yes.

20 MR. WAGNER: And you used the AMCA 210 type
21 of test process. The manufacturers don't use the AMCA
22 210, so your numbers and their numbers are going to be
23 different. They use either ASHRAE 37 which is
24 different from the ASHRAE 51 equivalent to the AMCA
25 210, or they use another test which is that 103 test.
26 So you can't add apples and oranges together.

27 MR. BROOKMAN: You think it would be
28 substantially different?

1 MR. WAGNER: Yes, there's different
2 corrections for density, and different method of
3 testing, and this is what we covered in the last
4 session and we did that in our written comments. And
5 we'll certainly reflect all those differences.

6 MR. BROOKMAN: Thank you. Diane, and then
7 back to Steve.

8 MS. JAKOBS: I did (off mic) ...

9 MR. JASINSKI: Diane, I think the microphone
10 is - there's trouble with the microphone.

11 MR. BROOKMAN: Is the mic on?

12 MS. JAKOBS: Oh, I pressed the button twice,
13 I guess. I had three samples of one furnace model, and
14 I got 405, 415, 416. So I mean it sounds like a little
15 bit, but compared to 380, that's more than ten percent,
16 I think.

17 MR. JASINSKI: So your samples were non-
18 weatherized, non-condensing?

19 MS. JAKOBS: Non-weatherized, non-condensing.
20 And before - I want to take back my - well, I'm not
21 sure about my comment before. Part of it, I might have
22 mixed myself up, whether a good number was higher or
23 lower, but I do think that this differentiation between
24 condensing and non-condensing, you know, is only 13
25 points on your chart, and that might reflect - it's
26 really what we were talking about the air flow path and
27 how you design it and what motor speeds you select,
28 that a non-condensing gas furnace might use more watts

1 to provide the same comparable performance. So it's
2 one of the things, it depends on your design because
3 turbulent air is good for heat transfer and we can get
4 our AFUE up, but it's not as good for the fan watts, so
5 those are all interact.

6 MR. BROOKMAN: Craig.

7 MR. MESSMER: Craig Messmer. Looking at the
8 FER, I'm not at all thrilled by dividing it by the
9 maximum CFM. It's going to skew a lot of numbers.
10 Some of that's going to depend on the design of the
11 product itself. Not everybody's - if it's a heating
12 product, the intent is BTUs and here you're kind of
13 dividing it by CFM. Nobody cares about the CFM, they
14 only care about the BTUs. If you're just going to do
15 the fan itself, then I don't see why you'd want to
16 divide by the maximum CFM to get an FER. It should be
17 an averaged number based on the CFM that's operating at
18 the different multi speeds, for example. So I think
19 that we're getting numbers that are so massaged that
20 you're not going to have any reality to them.

21 MR. BROOKMAN: Steve.

22 MR. ROSENSTOCK: Steve Rosenstock, EEI. I was
23 just also kind of curious if there was information out
24 - you know, the new boiler standards kick in in
25 September for higher AFUE, and then the automatic
26 temperature resets control mandates, and then the
27 furnaces kick in in May, next year, for all of them
28 that are not in the condensing furnaces. And then you

1 have the small motor efficiency standards kick in in
2 2015, which I think there's some correlation between
3 those small motors that are covered by DOE and then the
4 motors going into the furnaces. I believe a lot of the
5 same models are covered by - again, the manufacturers
6 will let me know which ones are - there's no
7 correlation? They're different fans? Okay. Scratch
8 that one, then.

9 I'm just kind of curious then if - I mean
10 it's really just for the boilers, if that makes a
11 difference in terms of some of these ratings.

12 MR. JASINSKI: I don't believe so.

13 MR. ROSENSTOCK: Okay. Thank you.

14 MR. JASINSKI: Rob.

15 MR. BOTELEER: Yeah, the small motor
16 regulation that goes into effect in 2015, it only
17 handles general purpose open motors. It does not
18 handle the type of motors that OEM specific.

19 MR. JASINSKI: Thanks.

20 MR. BROOKMAN: Let's move on.

21 MR. JASINSKI: Okay. Just a couple of
22 bullets, and I hope I remember all of these. As Greg
23 Wagner mentioned, there was some discussion during the
24 test procedure public meeting about the data that was
25 used to generate these values, and how manufacturers
26 using different setups might impact that. After the
27 framework document, or during the framework document
28 public meeting, DOE identified AMCA 210 as a standard,

1 and there were a lot of interested parties that
2 commented that that was a widely used and widely known
3 standard, and also was used to generate the air flow
4 performance tables that can be found in a lot of
5 specification sheets. I think there are even some
6 specification sheets that reference the standard in a
7 footnote. So it is important to get comments that
8 might indicate whether or not those values would be
9 different. And if manufacturer - comments related to
10 how familiar manufacturers are with AMCA 210 and
11 whether or not they use that or test setups according
12 to AMCA 210 is important.

13 To Craig's comments, the - normalizing by
14 maximum air flow capacity - we'll get to this request
15 for comment. The intent here is two things. There's a
16 relationship between - the higher efficiency motors
17 react differently to increased external static
18 pressures. For an ECM motor, it will consume more
19 power to maintain a constant air flow at higher
20 external static pressures, whereas a PSC will provide
21 less air flow and therefore the consumption will go
22 down. So normalizing by the maximum is a means to try
23 to limit how sensitive the rating metric is to that, so
24 that higher efficiency motors are not being penalized
25 because they're still providing more air flow.

26 And on the other side, is it's also a
27 mechanism to try to reduce the sensitivity of the
28 metric to changes in capacity because DOE expects that

1 air flow - maximum air flow capacity is specified with
2 some relationship to BTUs, as you mentioned. I know
3 there are a lot of numbers out there, you know,
4 anywhere between 350 to 450 CFM per ton. Ton here is a
5 reflection of the capacity. So that's just an overview.
6 Comments regarding those assumptions and whether or not
7 normalizing achieves those goals is something that DOE
8 is very interested in.

9 MR. BROOKMAN: Diane.

10 MS. JAKOBS: So one thing that I was a little
11 bit concerned about, these numbers, they look kind of
12 similar to what - if you were just going to measure the
13 CFM and measure the watts in an installation, you would
14 get kind of same order of magnitude numbers. And we're
15 already having trouble now where there are some hand
16 held tests, combustion analyzers, and people are trying
17 to, in the field, commission their equipment. And
18 they're saying that we're not meeting our AFUE rating
19 because they have this hand held analyzer that they're
20 testing their installed unit on, and I wish that we
21 could do AFUE testing with a hand held analyzer, but
22 it's much more complicated than that. And those
23 numbers, they look kind of the same, so I was thinking
24 that the IFER, actually looked better because it was
25 significantly different but my friends pointed out that
26 we were already on the path to submitting standby
27 watts. But these are similar order of magnitude
28 numbers to what they're talking about in California,

1 but a different test procedure, but so - just for what
2 that's worth. Thank you.

3 MR. BROOKMAN: Thank you. Okay. Jim
4 Vershaw, you're next.

5 MR. VERSHAW: Jim Vershaw, Ingersoll Rand. I
6 think I made this comment during the test procedure
7 thing. But we do not use AMCA 210 for either our
8 furnaces or our air handlers. If we were making a fan
9 only, we would, but this is an appliance that generates
10 heating and cooling, and that falls under ASHRAE 37,
11 and of course, furnaces are tested under ASHRAE 103.
12 So the numbers that you're going to get using 210 are
13 going to be different than what you find, at least in
14 our literature.

15 MR. BROOKMAN: Yes, Dave.

16 MR. WINNINGHAM: This is Dave from Allied. I
17 would echo what Jim has said. We do not use AMCA 210
18 either at Allied or at Lennox to generate air flow
19 tables. And would also recommend that these baseline
20 numbers be thoroughly reviewed before any minimum
21 threshold level is established.

22 MR. JASINSKI: So once the baseline has been
23 established, DOE identifies intermediate efficiency
24 levels as a path to more efficient products. Each
25 efficiency level above the baseline is defined by a
26 specific design option used to achieve that level. DOE
27 determined average percentage reductions in FER or IFER
28 for each efficiency level and applied these reductions

1 across all product classes. The reasoning behind that
2 is DOE found that manufacturers use similar components
3 and design paths to improve efficiency across all
4 product classes that DOE is examining. DOE does not
5 expect that the percent reduction FER associated with
6 each design option, whether commercially available or
7 prototype, will differ across product classes.

8 DOE based the reductions in FER associated
9 with commercialized technologies on measurements or
10 publicly available performance information, and DOE
11 based the FER reductions associated with prototype
12 technologies or those that aren't in commercial
13 applications on research reports that included detailed
14 performance data.

15 This table provides a snapshot of those
16 percent reductions in FER. As I mentioned, DOE
17 assigned the percentage reductions in FER to each
18 efficiency level to obtain FER values for intermediate
19 efficiency levels. DOE also assigned a reduction in
20 standby watts for the standby design options.

21 MR. BROOKMAN: Steve Rosenstock.

22 MR. ROSENSTOCK: Steve Rosenstock, EEI. And
23 again, I know we had the discussion about standby
24 before, but again, since you're analyzing this
25 component as a stand alone appliance, was there any
26 information about the standby power usage of these
27 components, and in some cases did they ever increase,
28 let's say, with level four, or the multi staging

1 control added a couple watts just because it's tracking
2 everything.

3 MR. JASINSKI: Yeah, those - that standby
4 consumption, in consideration of that, is considered in
5 the other rulemaking, so for instance, in this
6 particular case, in the components of the fan that are
7 being analyzed, I think the analysis shows that an ECM
8 motor contributes anywhere between three to five watts
9 of standby and that is for the products where you see a
10 non-applicable - those watts are included in the
11 analysis and standards that are being considered or
12 specified in those other rulemakings.

13 MR. ROSENSTOCK: Okay, and -- Steve
14 Rosenstock, EEI - thank you for that. Suppose the
15 baseline is, I'll just say one watt. I don't know what
16 it is for the baseline unit. But then you get to level
17 four and it's five watts, you're saying, oh, I'll do
18 that in another analysis. Well, hold on a second. You
19 were analyzing this component. If you're ignoring
20 those watts, that's reducing the energy savings, that's
21 going to have an impact on your energy analysis and
22 your life-cycle cost analysis and all the other
23 analyses. Isn't it? I understand what you're saying.
24 It's really covered in another - in the overall system
25 standby, but since you're analyzing this component as a
26 stand alone appliance, by not looking at it - if it
27 were zero, great, it's no problem. It makes no
28 difference whatsoever. But there is a difference

1 upwards or downwards, it could have an impact on the
2 rest of the - it won't have an impact on the metric,
3 but it will have an impact on the energy savings and
4 life-cycle cost analysis.

5 MR. JASINSKI: Those costs and benefits are
6 included in the other rulemaking, so those -

7 MR. ROSENSTOCK: But there's a separate cost
8 and benefit analysis for this rulemaking.

9 MR. JASINSKI: Yes.

10 MR. ROSENSTOCK: Okay. So, and again, it's
11 a component system issue is you're saying we're going
12 to do the standby for the system, but not going to
13 worry about the standby for the component. It's kind
14 of a dichotomy there.

15 MR. BROOKMAN: I see Alex wishes to comment.
16 Find a microphone, Alex. Maybe that one right over
17 there. Yes, coming back to you, Diane.

18 MR. LEKOV: Alex Lekov, Lawrence Berkeley
19 National Laboratory. So to answer these impacts are
20 included in the life-cycle cost analysis, and it will
21 be explained in the follow up slides, when we get to
22 this point.

23 MR. BROOKMAN: Okay. Thank you. Diane.

24 MS. JAKOBS: Just kind of to emphasize how
25 intertwined all these parts are, on a furnace, our
26 biggest source of standby watts is actually a
27 transformer that you need when you run the air
28 conditioning. So, at Rheem we talked about moving that

1 transformer outside, so the guys downstairs would have
2 to worry about it, but that didn't fly. So they work
3 as a system, and we assume they're all going to work
4 together and it's hard to attribute specific components
5 to different modes of operation. It's difficult.

6 MR. BROOKMAN: Okay. Thank you. Keep going
7 - oh, Greg, go ahead.

8 MR. WAGNER: Greg Wagner. Question about the
9 efficiency number that you have there under number
10 five, the center column, what's the basis for that?

11 MR. JASINSKI: The basis for that is research
12 reports and data that was acquired using a prototype
13 furnace that had a backward incline impeller installed.

14 MR. WAGNER: The one that was referenced in
15 the TSD?

16 MR. JASINSKI: Yes.

17 MR. WAGNER: Okay. I reviewed that report,
18 and that's testing a blower only. Isn't that tested in
19 a unit? And it was one data point, and gentleman from
20 Southern California Edison pointed out that as you vary
21 performance, those numbers change. Additionally, that
22 blower component was tested by Lawrence Berkeley, and
23 they put a report out in September 2005 and in it, on
24 Page 41, they basically say they see no efficiency gain
25 from using that in it, in a furnace system. So I
26 guess, do you look at all the literature, or just part
27 of the literature?

28 MR. JASINSKI: No, we look at all the

1 literature. A lot of the issues that you are raising,
2 there's a request for comment to get more information
3 about the performance across the entire range of
4 operation. The 2005 report that you mention, we do
5 have access to some of the raw data for that, and that
6 testing was done with the prototype. And here, the
7 prototype I'm referring to is the premium ECM motor
8 with the backward inclined impeller. A premium ECM
9 motor here is a motor that is narrower, that is the
10 diameter is smaller so there's less interference with
11 the blower inlet, but it also operates at higher RPM
12 which is characteristic of a motor that's paired with a
13 backward incline prototype, and that prototype was
14 installed in the - in a furnace, so that raw data was
15 taken while it was installed in situ, to my knowledge.
16 So some of the analysis is also done on that raw data
17 that was used for that 2005 study that you mentioned.

18 And, as a preface to the comments that we're
19 requesting, DOE is very aware that there are varying
20 degrees of performance and DOE is asking for data and
21 comments to understand what the expected relative
22 efficiency of operation would be for implementing a
23 backward incline impeller, among many other issues.

24 MR. WAGNER: Well, this ten percent used
25 later to drive your energy savings, I notice.

26 MR. JASINSKI: Yes, I can say that with the
27 raw data we saw anywhere from - a lot of the reports
28 don't - obviously don't use the rating metric that

1 we're proposing, that DOE is proposing. But the
2 benefits - there's a wide range between, like you said,
3 in some cases, very small to much larger than ten
4 percent, and that's impact on FER. So DOE is proposing
5 to use ten percent in the preliminary analysis and also
6 asking for comment about the appropriateness of that
7 number.

8 MR. WAGNER: Well, I just want to go back to
9 the report that you referenced. Wegman (ph) in blower
10 only, did have one point that was ten percent, but the
11 rest of it was two to four percent in the other systems
12 they analyzed. But the specific one that got to ten
13 percent when Ian Walker and company out of Lawrence
14 Berkeley tested it, they report that they didn't see
15 any improvement or enhancement.

16 MR. JASINSKI: Sure. The ten percent
17 reported in that is not using - this is ten percent in
18 FER, so the FER is actually a little bit more
19 sensitive. So a ten percent reduction there would
20 actually be something along the lines of 20 - a lot
21 larger percent reduction in FER. So this is not simply
22 taking the ten percent from that report and plugging it
23 into our analysis.

24 MR. WAGNER: I would say it's less sensitive
25 because you have multiple operating points and the
26 efficiency is going to change over those operating
27 ranges, as pointed out earlier, and shown in the
28 report, and it would actually reduce those numbers, not

1 increase them.

2 MR. BROOKMAN: Okay. Thank you. Detlef.

3 MR. WESTPHALEN: Detlef Westphalen, Navigant
4 Consulting. I guess we wrestled with some of this data
5 as well, and, you know, some of this work was going on
6 over a number of years, not all of it was made public.
7 Some of the reports that were made public showed less
8 benefit than some of the other data that was - that we
9 were eventually able to obtain.

10 So, the story is not all in the reference.
11 That just happens to be the public reference that could
12 be cited. And so one of the questions is, whether more
13 of this data could be made public, but that's not for
14 me to answer.

15 MR. BROOKMAN: Let me just note that this is
16 important stuff and we're diving rather deep it seems
17 to me. We need to make sure we come up high enough so
18 we cover all this material. Diane, go ahead.

19 MS. JAKOBS: I just want to say that I think
20 it was several years ago, maybe about the time you came
21 to ... to visit Sam, but I did try to get - I was on the
22 CSA823 committee, and I did try to get a hold of this
23 prototype to test it in one of our furnaces, and I
24 talked to Lau and Regal Beloit, and there seemed to be
25 some intellectual property, they didn't know if they
26 could share with me, and because you have to run the
27 wheel, you know, it's not just a matter of getting that
28 particular wheel, you have to run it at much higher

1 RPM, so I was trying to get the motor and the control
2 that I never did get it. I tried for six months or
3 something, so I did try to test this in our furnace,
4 and was unsuccessful.

5 MR. BROOKMAN: We've had a lot of comments on
6 slide 36 and there are many other equivalent slides
7 which follow, so let's press on.

8 MR. JASINSKI: Okay.

9 MR. BROOKMAN: Final comment from Craig, and
10 then we're moving on.

11 MR. MESSMER: Craig Messmer. I see these
12 percentages on this chart and I looked in the TSD, I
13 don't know where they come from. Are you going to
14 explain where these come from? Because 45 percent, 59
15 percent, are pretty big numbers.

16 MR. BROOKMAN: You're referring again to
17 slide 36?

18 MR. MESSMER: Yes.

19 MR. BROOKMAN: Keep going, Sam. Sam, are you
20 saying where these --

21 MR. JASINSKI: As I mentioned, we used the
22 publicly available performance data that was in
23 specification sheets to derive FER values and IFER
24 values, in addition to the testing that was done by
25 DOE.

26 MR. MESSMER: And you did it at the static
27 pressures required by the new FER --

28 MR. JASINSKI: Yes.

1 MR. MESSMER: -- test procedures? Because
2 the motors aren't really that much more efficient.
3 But, that's okay.

4 MR. BROOKMAN: So in your comments, right.
5 Okay, then on to the next.

6 MR. JASINSKI: For all product classes except
7 hydronic air handlers, DOE analyzed four efficiency
8 levels in addition to the baseline and the max tech for
9 a total of the baseline plus five additional efficiency
10 levels. Here are the results for the primary - or
11 excuse me, the non-hydronic key product classes. We
12 won't spend too much time reading each of the numbers
13 unless someone has prepared a specific comment about
14 the values. If not, written comments on these levels
15 would be appreciated.

16 MR. BROOKMAN: If there are overarching
17 comments on these numbers as we had in the previous
18 slide, then I think that would be helpful. Then we
19 will move on.

20 MR. JASINSKI: For furnace fans using
21 hydronic air handlers, DOE considered two additional
22 efficiency levels, efficiency levels six and seven, and
23 those are using the design options that reduce standby
24 and off mode energy consumption. Here's the analogous
25 table for hydronic air handler furnace fans. So as you
26 see, the baseline through - well, one through five have
27 the same design options, and then there are the two
28 additional, the switching mode power supply and

1 toroidal (ph) transformer for six and seven.

2 MR. BROOKMAN: Brian first.

3 MR. JAMES: Brian James, Southern California
4 Edison. Just a point of clarification. Are six and
5 seven an add-on to five?

6 MR. JASINSKI: Yes.

7 MR. BROOKMAN: Diane.

8 MS. JAKOBS: Well, we have a hydronic air
9 handler and we - the way we advertise it, we match it
10 with a condensing tankless water heater which would -
11 if you looked at the efficiency of the condensing water
12 heater, and you looked at this, you would assume that
13 your operating costs would be much lower than a
14 condensing furnace. And I don't think that's true at
15 all. So I think that this is misleading because I
16 think you can, in the same installation, have a choice
17 between a direct - you need to make a direct comparison
18 between a gas furnace and a hydronic air handler.

19 MR. JASINSKI: Yeah, I don't mean to speak
20 for Diane, but I think this comment is related to the
21 discussion earlier about how the metrics for hydronic
22 air handlers uses the integrated fan efficiency rating
23 which includes standby and off mode and therefore is
24 normalized by total annual hours because it includes
25 those, which makes these numbers a lot less in
26 comparison. So correct me if I'm wrong, but -

27 MS. JAKOBS: Yeah, I mean - I like these
28 numbers better. But, you know, just because of the

1 waiting for the standby mode at the much lower watts
2 level, they just look like you're saving money, and you
3 would not be.

4 MR. BROOKMAN: Okay. Thank you.

5 MR. JASINSKI: So now, just a request for
6 comment about the rating metrics, that they will not be
7 dependent on capacity because they are normalized by
8 the maximum air flow capacity. This is something that
9 I asked earlier. If anybody has comments related to
10 how the proposed metric is impacted by capacity.

11 MR. BROOKMAN: Move on.

12 MR. JASINSKI: After establishing FER values,
13 the next part of the engineering analysis is to develop
14 costs for these values. The manufacturing cost models
15 were developed by DOE as part of the efficiency level
16 approach. First, bills of material are generated
17 during product tear down analysis and entered into a
18 cost model. The cost model generates manufacturing
19 material, labor, and overhead costs. The physical tear
20 down, as I mentioned earlier, is conducted on
21 representative products that were selected based on the
22 criteria that I spoke about, and as part of this
23 preliminary manufacturer interviews are conducted to
24 further refine some of the inputs for this cost model.
25 And that flow chart there provides a graphic for what I
26 just described.

27 This is a lot of detail about what is
28 included in the cost of production numbers in terms of

1 the structure and classification of the manufacturing
2 cost. I won't go into a lot of detail about these, but
3 you have this slide for reference, and it's also
4 included in Chapter 5 of the TSD.

5 MR. BROOKMAN: Rob.

6 MR. BOTELEER: We had a couple of comments
7 earlier about the cost of the ECMs and one of the
8 things that we as motor manufacturers noted is we're
9 not aware of any conversations with Navigant to
10 actually get motor costs from us. Maybe they got motor
11 costs from the air handler manufacturers, but they
12 didn't get them from us so we're not sure if they are
13 correct in your calculations.

14 MR. JASINSKI: Typically, manufacturer
15 interviews are conducted mostly during the NOPR phase,
16 and my understanding is that typically manufacturer
17 interviews are targeted towards the HVAC product
18 manufacturers, so those prices, if we do get any, would
19 come from them.

20 MR. BROOKMAN: Diane.

21 MS. JAKOBS: I mean certainly we did talk to
22 you, I don't know. Two weeks ago, I took the same heat
23 exchanger and the same jacket and we offer it with a
24 PSC motor X13 and ECM. I did one, one sample, and it
25 was - our cost for the X13 was almost double what is in
26 this table. And then we had AHRI group that we've been
27 discussing all this, and I asked if other manufacturers
28 saw the similar pattern. So I had agreement from other

1 manufacturers. If you gave us that small a data set,
2 we would criticize you, but that's what we have.
3 That's just what I did for a check.

4 MR. JASINSKI: There will be an opportunity
5 during the NOPR where extensive manufacturing
6 interviews are conducted to have these types of
7 conversations and refine the analysis.

8 MR. BROOKMAN: Alex.

9 MR. BOESENBERG: Alex Boesenberg, NEMA. I
10 would encourage the Department and Navigant on those
11 interviews to bear in mind, when you make the cost
12 scaling factors, that certainly I heard more than one
13 fan manufacturer here mention that they do, some of
14 them do pretty small runs, which means that you don't
15 get the economies of scale that may be reflected in
16 those original estimates. If it's a million motors a
17 year, not buying a million at once, maybe only a few
18 hundred, and that of course results in a lot less
19 savings, so please bear that in mind. Thank you.

20 MR. BROOKMAN: Yes, Dave.

21 MR. WINNINGHAM: I would concur with Diane's
22 comments. We actually analyzed about six furnaces with
23 similar configuration with the exception of the motor
24 and the controls, and found a distinctly different -
25 difference in price delta. I would also recommend that
26 as you look at this price delta, to include all aspects
27 of the installed cost. Because, in many cases, the
28 higher efficiency motors require additional controls

1 and wiring that goes along with them, and make sure
2 that you're including those costs as part of that.

3 MR. JASINSKI: Sure. Thank you. And I guess
4 it would be good to mention that -- a lot of
5 manufacturers are mentioning that they're doing
6 analyses - if you can share that data in your written
7 comments, that would be really appreciated, but also,
8 as a note, if there is information that you are wanting
9 to protect, the manufacturer interviews are conducted
10 under NDA agreements so that might be another
11 opportunity to provide data that you might not want to
12 submit publicly.

13 MR. BROOKMAN: Diane.

14 MS. JAKOBS: We kind of brought it up, that
15 everything's going so fast, but, you know, if you're
16 interested in one little data point, it seems trivial,
17 but if that's still interesting, I guess -

18 MR. JASINSKI: Every little bit helps.

19 MS. JAKOBS: Thank you.

20 MR. BROOKMAN: Charlie Stephens.

21 MR. STEPHENS: Just a quick point of
22 clarification. Charlie Stephens. Are these fan costs
23 and fan pricing, or air handlers?

24 MR. JASINSKI: Yeah, I'll get into that, I'll
25 show you specifically what's included in the -

26 MR. STEPHENS: Okay. Thank you. Because the
27 design options only so far, are fan related.

28 MR. BROOKMAN: Let's proceed then.

1 MR. JASINSKI: So to answer Charlie's
2 question, the costs used in the engineering analysis
3 represent the cost of the furnace fan, and not the cost
4 of the entire HVAC product. The following components
5 are included in the manufacturer production cost, MPC,
6 estimates:

- 7 • the fan motor and integrated controls,
- 8 • the primary control board,
- 9 • the impeller,
- 10 • the fan housing,
- 11 • and components used to direct or guide air flow.

12 And the last one is somewhat ambiguous, but I
13 will explain that. When reverse engineering these
14 products, there are elements that are easily
15 distinguishable as intended specifically to direct air
16 flow, maybe over the heat exchanger, or - and these
17 would be typically, you know, sheet metal or something
18 like that. Those elements were included in the costs
19 because they're expected to have an impact on the
20 efficiency, therefore we want to include them in the
21 cost.

22 MR. BROOKMAN: Greg.

23 MR. WAGNER: Were motor mounting arrangements
24 also considered? I don't see that up on there. In
25 other words, there's something that holds the motor in
26 place.

27 MR. JASINSKI: Yes.

1 MR. WAGNER: Okay. Just not listed.

2 MR. JASINSKI: So the fan motor and
3 integrated controls - yeah, it's not explicit, and so
4 as a point of clarification, the fan motors are
5 typically considered a purchase part and in a lot of
6 cases, that - the mount may come as part of that
7 purchased part as an assembly from a component
8 supplier. But, DOE does reverse engineer them also to
9 get costs, whether it's a purchased part or - but it is
10 included.

11 MR. BROOKMAN: Terry Small, you're next.

12 MR. SMALL: Terry Small at Mortex. I just
13 wanted to ask, it looks to me that you're basing your
14 manufacturing cost on a manufacturer that would be
15 making one and a quarter million fan furnaces a year.
16 And that may be indicative of a residential furnace
17 manufacturer, sort of what I would call a high volume,
18 low mix manufacturer. But a lot of these product
19 classes, including the additional product classes, the
20 volumes are such that they're really low volume, high
21 mix, and that would be completely inappropriate, those
22 manufacturing costs, for some of the smaller
23 manufacturers. So could you address that?

24 MR. JASINSKI: Sure. I think the next slide
25 will - it's a good segue into the next slide.

26 So as many interested parties have commented,
27 DOE separated furnace and product classes into high
28 volume and low volume product classes to account for

1 factors that impact manufacturers' production cost and
2 purchasing power. For instance, some products - DOE is
3 aware that some products are produced at significantly
4 higher volumes than others. Some manufacturers offer
5 most types of HVAC products, while others only focus on
6 small niches.

7 So high volume manufacturers operating in
8 lower volume adjacent markets are expected to have the
9 same purchase part price efficiencies consistent with
10 their overall purchasing volume. This just means that
11 even if a particular HVAC manufacturer is offering a -
12 one product that has a very low volume of shipments, if
13 that manufacturer also produces another product that
14 has a high volume of shipments, they will get the same
15 - similar pricing because they can purchase motors that
16 might be used in both.

17 And then lastly, low volume operations, were
18 modeled to have lower production volumes and fewer
19 shifts per day, to account for the fact that not all
20 manufacturers have production volumes on the order of
21 1.25 million units per year. And at the bottom here,
22 you can see - these are the products - this is the
23 separation of product classes into high volume and low
24 volume. So all product classes - oil furnaces and
25 hydronic air handlers were classified as low volume
26 product classes. The rest were high volume.

27 And the math here is right. Like, non-
28 weatherized gas furnaces, that accounts for condensing

1 and non-condensing. So not all nine product classes
2 are listed here, but all the products are.

3 MR. BROOKMAN: Greg.

4 MR. WAGNER: Greg Wagner. In the third
5 bullet item, you mention that the high volume
6 manufacturers are going to get - expected to get the
7 same purchasing power for all products. That may or
8 may not be true, because small volume products are run
9 through different processes than high volume products,
10 and so there are different costs based upon volumes of
11 production. You can't make that, I guess, universal
12 blanket statement there.

13 MR. BROOKMAN: Diane.

14 MS. JAKOBS: To make things harder for you,
15 our hydronic air handler uses the same blower system as
16 a gas furnace. So even though we're not selling a lot
17 of them, you know, they're coming from the same pool
18 that we have for gas furnaces.

19 MR. JASINSKI: That's exactly the third
20 point, that for someone in that situation, you're using
21 - you're ordering one component for both the small
22 production volume and large production volume together.

23 Do DOE uses a design option approach to
24 estimate the cost of technologies not commercially
25 available in furnace fan applications. These are
26 essentially the design options that aren't offered in
27 products that can be torn down. So here you have the
28 table that shows the efficiency level and design

1 option, and then the high volume and low volume
2 estimated manufacturer production cost.

3 And just as an explanation, so the inverted
4 controls for the PSC motor, this cost is based on a
5 reverse engineering inverter that can and was used in a
6 furnace fan application. There's the specific model
7 that was used, and that comes out to, as you can see,
8 \$12.00 for the high volume, and \$16.00 for the low
9 volume, and that's only the cost for the inverter.

10 Next, the premium ECM, multi-staging and the
11 backward curved impeller, DOE used a ten percent markup
12 on the estimated cost for an ECM as the added cost for
13 the premium ECM motor. As a reminder, the premium ECM
14 motor is that ECM motor that's a little bit narrower
15 and operates at higher RPM, which is - DOE expects is
16 required for backward curved impellers. DOE used
17 photographs and specifications found in research
18 reports to determine cost model inputs to estimate the
19 MPC of the backward curved impeller. It turned out to
20 be \$12.00 for low volume and \$12.32 for the high
21 volume.

22 MR. BROOKMAN: Greg.

23 MR. WAGNER: On that BC wheel technology -
24 backward inclined wheel technology requires much
25 tighter tolerances in order to be effective. How is
26 that accounted for, because the tolerances are on an
27 order of magnitude tighter in order to get the same
28 effect. In addition to that, the motor mounts and the

1 support structure, et cetera, were going to have to be
2 significantly beefed up in order to be able to be
3 shipped in process. So I would question those dollar
4 numbers on those bases alone.

5 MR. JASINSKI: In this particular case, the
6 cost model for a standard forward curved was - the
7 products were compared and as I said, the inputs for a
8 backward curved were determined, based on the
9 differences identified between the two. So if there
10 are other factors that would need to be included in
11 that cost, written comments or comments during
12 interviews that would tell us what else needs to be
13 included, and how much that costs so we can use those
14 as inputs, would be greatly appreciated.

15 And then finally, the efficiency - excuse me
16 - the estimates for efficiency levels six and seven are
17 identical to those used in the HVAC products, the other
18 standby and off mode rulemakings.

19 MR. BROOKMAN: Craig.

20 MR. MESSMER: Just going back to that slide,
21 you really think that you could make those products for
22 \$12.00? And the backward curved impeller and motor for
23 \$107?

24 MR. JASINSKI: Based on our analysis.

25 MR. MESSMER: Okay. You have that somewhere
26 that we can take a look at that and comment on it?

27 MR. JASINSKI: Yes, it's in the TSD, and if
28 you provide written comments explaining why that should

1 go up, then that would be appreciated.

2 MR. MESSMER: There's so much detail in the
3 TSD that would tell you not how those are derived.

4 MR. JASINSKI: Well, there's detail about the
5 methodology used and the cost model. So if you can
6 talk about maybe a particular component that's not
7 being included that's necessary, I think you mentioned
8 that the mounts need to be different or if you can
9 explain the different processes, the cost model used
10 can account for most of those variations, we just need
11 - DOE just needs to know what those variations are.

12 MR. MESSMER: Well, given they're not used
13 currently, there's not a good model to give you that
14 guidance. But what I'm suggesting is there wasn't any
15 details in the TSD to be able to make that kind of
16 evaluation of how you generated your costs.

17 MR. JASINSKI: Well, as I'm saying, nothing -
18 I'm not leaving any details out. Essentially, you look
19 at the standard forward curved impeller that's included
20 in current models and by observation you compare the
21 design, based on what type of processes DOE expects are
22 used, what types of materials, that's put in the cost
23 model, and the cost model uses assumptions about
24 material prices and all those other costs that this
25 slide shows, to generate the estimated manufacturer
26 production cost. If there's something missing or
27 something that shouldn't be included, or something that
28 needs to be tweaked, those are things that we can use

1 to change our inputs to the cost model, to generate
2 different values. But for this particular case, that
3 was the methodology used. So if that methodology needs
4 to be changed, DOE would appreciate comments on what we
5 left out, or how it should be done different, and that
6 way we can refine the analysis.

7 MR. BROOKMAN: Mohammed.

8 MR. KHAN: Mohammed Khan, DOE. First, I
9 appreciate the fact that, you know, in some instances
10 there might not be a full enough description on the
11 methodology for you to comfortably be able to comment
12 on. However, if you're able to look at these numbers
13 as you are right now, and it seems to be that you
14 believe that they're off, they're probably too low, and
15 you know that they should be much higher, based on your
16 expertise and your manufacturing knowledge, your
17 manufacturing processes, it would be very helpful for
18 us for you to comment on what your process is and how
19 you know these prices should be higher based on your
20 knowledge alone, rather than not being able to comment
21 on our methodology. But just give us what you know and
22 then we can certainly take that information into
23 account. Thanks.

24 MR. MESSMER: Well, to that point, we
25 manufacture a product that's not like these currently,
26 but the product that we manufacture would be in a
27 different process than what would be used for the
28 manufacture of these types of products in the tolerance

1 level that's described in the literature and other
2 places that we know is necessary to apply that
3 technology, would have a different manufacturing
4 process all together. So using the same metric for
5 evaluating one technology versus the other wouldn't
6 necessarily be appropriate.

7 MR. JASINSKI: So if you, in your written
8 comment for example, if you could explain the process
9 that would be used, that's an input we can use in the
10 cost model that would change the result. And in
11 addition to what Mohammed said, another very important
12 factor in refining these costs are the inputs that we
13 get from manufacturers who have the expertise and who
14 are actually producing them. So those are also
15 considered. It's not just what the model generates.

16 So the next few slides are comments specific
17 to each of the design options. This one in particular
18 is comment on inverter driven PSC fan motors. DOE
19 requests data and energy-related - data regarding the
20 energy performance and costs. As I said, DOE based its
21 cost on a reverse tear down of an inverter that can be
22 used in these applications, and the energy performance
23 information was taken from a product that was formerly
24 commercially available that used this technology.

25 Here's a snapshot of the engineering analysis
26 results. Essentially the data used that make up the
27 cost efficiency curve. At the top you can see - this
28 is for the high volume, key product classes. At the

1 top you can see the manufacturer production cost. And
2 as I mentioned, because DOE doesn't expect that
3 manufacturers are using different components or
4 pathways to improve efficiency across different
5 products, then the same manufacture production cost is
6 applied across all product classes here.

7 Here's that same data, just in graphical
8 representation. And as you can see, it reflects the
9 stylized version that I showed earlier where, as FER
10 decreases, meaning the energy consumption decreases,
11 the estimated manufacture production cost increases.

12 MR. BROOKMAN: Yes, Dave.

13 MR. WINNINGHAM: This is Dave from Allied
14 Air. A question on EL-4 where you've got an ECM plus
15 multi-staging. Is the additional cost - the furnace
16 fan is one component of that multi-staging, but there
17 are other components that go into that multi-staging,
18 is that at all accounted for in your -

19 MR. JASINSKI: Yes. The increased cost of
20 the primary control board is included, in addition to
21 wiring, and also the gas valve.

22 MR. BROOKMAN: Diane, you wish to comment on
23 these numbers?

24 MS. JAKOBS: It would be the control, the gas
25 valve, the wire harnesses, and the motor.

26 MR. JASINSKI: Uh-huh. Here are the results
27 for the low volume key product classes, again, non-
28 weatherized oil, non-condensing and hydronic air

1 handlers. As you can see those manufacture production
2 costs are higher to reflect the fact of the low volume
3 - the factors that I spoke about earlier in terms of
4 the differences in volume.

5 And here are those in graphic form. As
6 you'll notice, the hydronic air handler curve has two
7 additional points, and those are related to the standby
8 and off mode design options.

9 One particular issue that DOE requests
10 comment on is the turn down ratio of the different
11 motor technologies. Here the turn down ratio is the
12 ratio of the minimum motor speed to the maximum motor
13 speed. DOE has preliminarily found that high
14 efficiency motors, on average, have lower turn down
15 ratios, which indicates that it has a wider range of
16 achievable speeds. So DOE seeks comment on the typical
17 turn down ratios that can be achieved technically and
18 in practice by each motor technology. And I provided -
19 there's a list here of the motor technologies of
20 interest.

21 MR. BROOKMAN: Yes, Paul.

22 MR. LIN: Paul Lin from Regal Beloit. In the
23 TSD, I'm not sure if I - maybe I missed it - where you
24 talked about what speeds you assumed on the turn down?
25 You did in the detailed report on the speeds.

26 MR. JASINSKI: Yes, it's the maximum and the
27 minimum.

28 MR. LIN: No, in evaluating the turn down

1 ratio for a PSC, the high efficiency, did you specify
2 what RPM you were turning down to in the FER, in
3 detail?

4 MR. JASINSKI: No, I think - in the TSD we
5 just provided the actual turn down ratios, but I can
6 explain that what was done, is for all the units that
7 we had information for, the performance information is
8 usually in the form of a table of air flow and CFM
9 across a range of external static pressures for each
10 available air flow control setting. So to generate
11 those ratios, the air flow at something close to the
12 proposed reference standard, external static pressure,
13 the air flow in the minimum was divided by the air flow
14 in the maximum at that external static pressure for
15 each model that we had that information for. And then,
16 you know, generated average values based on that. But
17 I believe the table with the percentages is in there,
18 that's how that information was generated.

19 MR. BROOKMAN: No additional comments on turn
20 down ratio?

21 MR. JASINSKI: DOE requests comment on
22 proprietary permanent brushless magnet motor
23 technology. DOE is aware that there might be
24 intellectual property around some of the higher
25 efficiency motor technologies, so DOE seeks comment on
26 the validity of its premise that alternative motor
27 technologies can achieve comparable performance, i.e.,
28 the turn down ratios and efficiency, at comparable cost

1 to the brushless permanent magnet motor technology
2 offered by Regal Beloit. Many interested parties have
3 commented that there are issues related to this, so DOE
4 seeks comment on the validity of that assumption. And
5 essentially the availability, cost and relative
6 performance of alternatives.

7 MR. BROOKMAN: Yes, please, Steve.

8 MR. ROSENSTOCK: Steve Rosenstock, Edison
9 Electric Institute. In terms of this, do we have any
10 information about the patents length of these
11 manufacturers? I mean of these patents for whichever
12 aspects of the technology. You know, a typical patent
13 can last as long as 17 years. So depending on - and
14 they can be extended as well. So again, I don't know
15 what the time frame for the expiration of the patent is
16 after, let's say, 2020. I don't know exactly how these
17 other manufacturers are going to use similar
18 technologies without - they'd have to pay a licensing
19 fee or something.

20 MR. BROOKMAN: Diane.

21 MS. JAKOBS: Part of it, it isn't just the
22 motor technology, it's the good job that GE and Regal
23 Beloit have done in providing us engineering tools, so
24 that we can easily apply their products. And I know
25 Rheem has been approached by manufacturers from other
26 countries and they, on the surface, seem to have this
27 similar motor technology, but they want us to provide
28 them the program. Well, we use a Regal Beloit program

1 to program the motors, so it's all kind of tied in that
2 we don't - we program the motors, but we use
3 engineering tools from Regal Beloit in order to do
4 that. So I guess we're not as smart as maybe we could
5 be, but that's kind of where we are. We depend on the
6 vendor to provide the technology for us to use this ECM
7 technology.

8 MR. BROOKMAN: Okay.

9 MR. JASINSKI: Yeah, just as a follow on.
10 The crux of this is that the MPC estimates reflect what
11 DOE expects are current manufacture production costs,
12 but DOE is trying to understand the market factors that
13 need to be considered to understand what, in the
14 presence of standards and in the absence of standards,
15 I think we'll talk about these different scenarios,
16 what will happen to our assumptions and costs.

17 MR. BROOKMAN: Rob.

18 MR. BOTELEER: Rob Boteler with NEMA. Yeah,
19 just to pick up on that comment, that's exactly right.
20 What the motor manufacturers in the US do, is we have
21 labs where we actually bring in the fan equipment from
22 our customer, and we go through a characterization
23 process for our ECM that's in a lot of cases, unique to
24 each manufacturer's application. So it's not just an
25 off the shelf product that's available.

26 MR. BROOKMAN: Okay. Move on to six.

27 MR. JASINSKI: DOE is requesting comments on
28 high efficiency fan motor control cost. DOE would like

1 information regarding whether or not more costly
2 primary control boards that are required to be paired
3 with higher efficiency motors, and this, just as a
4 clarification or a preface, DOE is aware that ECM or
5 higher motor efficiency technologies come with their
6 own integrated controls, but this request for comment
7 is aimed at trying to understand the impacts on the
8 primary control board of the HVAC product, whether or
9 not those become more complicated, and in turn, more
10 costly when being paired with those higher efficiency
11 motor technologies.

12 MR. BROOKMAN: Terry Small, you're next.

13 MR. SMALL: Terry Small, Mortex. I'd like to
14 point out that right now the watts spread, the number
15 of manufacturers, and usage in PSC motors gives a lot
16 of flexibility for both big and small manufacturers to
17 use the technology. If we end up outlawing PSC motors,
18 which I don't know whether that's the hidden agenda
19 here, I think you will - then we're relying on one or
20 two manufacturers of the more efficiency technologies
21 for motors. That would be a real disservice to the
22 consumer. Thank you. .

23 MR. BROOKMAN: Thank you. Other comments on
24 high efficiency fan motor control costs? Yes, Diane.

25 MS. JAKOBS: We talked about it in 2010, but
26 one of the issues with the programmable motors is
27 replacement in the field. And I think you added
28 something in there for that, but when we started out we

1 ended up with kind of a special motor for every furnace
2 model, and then to replace it, a lot of our customers,
3 our distributors didn't want to stock all of these
4 flavors of ECM motors, and because they're expensive.
5 So it turns out that maybe to replace your ECM motor
6 you have to air freight it in, because no one keeps it
7 in stock. You have to get it directly from the
8 manufacturer. And we've tried to do some things to get
9 around that, but I don't know how widespread it is in
10 the industry. So that issue of where does the program
11 reside for this programmable motor? Does it sit in the
12 motor or in the furnace? And then there are safety
13 implications if - it's like all our components don't
14 really talk to each other, they kind of assume each
15 individual component knows what it's supposed to be
16 doing and if there's a mismatch it might be a safety
17 hazard.

18 MR. BROOKMAN: Okay. Paul, did you have a
19 comment?

20 MR. LIN: I was just going to comment that
21 there exists more than one or two motor manufacturers
22 that provide ECM technology, so that there's a breadth
23 of manufacturers that provides motor technology
24 relative to the access as well as a fully ... ECM.

25 MR. BROOKMAN: Okay. I have a comment from
26 Jim Vershaw. Jim, you're next.

27 MR. VERSHAW: Jim Vershaw, Ingersoll Rand.
28 On issue four, the turn down, you've got to remember

1 that there is an upper end to how fast typical blower
2 wheels can be turned and a lower end to what bearings
3 can handle the motors. That kind of limits your turn
4 down. So please be aware that if you're going to try
5 to go above 11, 1200 RPM, you're going to have to
6 change the blower wheel and make it more expensive. So
7 maybe if your analyses are going above that RPM, you've
8 got to be aware of that.

9 On issue six, on the fan control, yes. The
10 furnace controls change with fan type, or motor type I
11 mean. You will get substantially different needs for
12 different types of motors, and usually they're more
13 complex as you go up in motor complexity as well.
14 Thanks.

15 MR. BROOKMAN: Okay. Thank you. On to issue
16 seven.

17 MR. JASINSKI: Issue seven is regarding
18 backward inclined impellers, and we've touched on some
19 of these a little bit already, so DOE seeks comment on
20 the expected efficiency improvements across the range
21 of operating conditions in residential applications.
22 This request speaks to the issue that's been raised
23 about how the relative performance is different under
24 different operating conditions. So DOE is requesting
25 information to understand that so that it can be
26 reflected in the analysis.

27 MR. BROOKMAN: I think we already received
28 one comment on this, did we not? Additional comments

1 on backward inclined impellers? Diane.

2 MS. JAKOBS: I was working on this a couple
3 of years ago, but there's an ISO standard - I think it
4 was someone from Lau who was telling me about it, but
5 there are different levels and he had a graph where he
6 showed where for different diameters and for larger
7 diameters, it is significantly more efficient, but he
8 had them where they were crossing, just in the ten inch
9 area where we are. And since that was my project in
10 advanced R&D that was a kind of disappointing
11 revelation, but we're kind of - for residential furnace
12 fans and diameter of wheels that we're using, there
13 seems to be certain tradeoffs in that area, and where
14 if you were going to a commercialized unit where they
15 are more and more common, that there's clearly an
16 advantage. But in our specific size, there is some
17 issues where the trend is not what it is at larger
18 diameters.

19 MR. BROOKMAN: Okay. Greg.

20 MR. WAGNER: Greg Wagner. I commented a
21 bunch on this earlier, but I'll just reiterate that the
22 literature that you reference in some of the testing
23 shows that there are varying degrees of performance
24 improvements and reduction, depending on where you're
25 operating it in the system. So it's not a universal -
26 that it translates into appliances.

27 MR. BROOKMAN: Okay. Additional comments?

28 MR. JASINSKI: One that we didn't touch on

1 and I'll mention it is the DOE is seeking comment on
2 whether the backward inclined impeller could impact
3 product offerings that might - if it's incompatible
4 with certain designs or components currently used in
5 furnaces. That's important information to understand
6 how implementing them might impact the mix of product
7 offerings.

8 MR. BROOKMAN: Greg.

9 MR. WAGNER: I'll comment on that one.
10 Specifically to that with the implementation of 13 SEER
11 furnaces in particular, and other products like that,
12 have shrunk in size because of available space to fit
13 them in most homes. They have eight foot ceilings as a
14 max, and so when you're putting in a bigger coil to do
15 the air conditioning part, the other remaining parts of
16 the system are shrunk down. Back when Wegman (ph) and
17 those guys did the research in 2003, that wasn't part
18 of the equation. Since then, furnaces have gone from
19 46 to 52 inches down to about 33, 34 inches,
20 principally. So there's even less space today for the
21 air moving section, if you will. So to your comment
22 about designs and impact, that's a significant impact
23 on being able to implement some of these technologies
24 perhaps, in many applications.

25 MR. BROOKMAN: Thank you. Other comments?

26 MR. JASINSKI: Regarding the air flow path
27 design, DOE seeks comment on air flow path design
28 changes that could result in improved air flow

1 efficiency, and in addition to that, cost and
2 efficiency data related to those air flow path design
3 improvements, and also the expected tradeoffs between
4 air flow efficiency and thermal efficiency or system
5 efficiency for those designs. But I think these are
6 issues that we have already touched on in depth, but
7 written comments would be really appreciated.

8 MR. BROOKMAN: Yes, and if you want to call
9 out any specifically that you don't think we've covered
10 sufficiently, that would be okay, but - Jim Vershaw,
11 you're next.

12 MR. VERSHAW: Jim Vershaw, Ingersoll Rand.
13 Back to the previous issue, if you look at the Wegman
14 (ph) report, once you get above 1200 CFM -

15 MR. BROOKMAN: Jim, see if you can speak up,
16 please.

17 MR. VERSHAW: Okay. I am. If you look at
18 the Wegman (ph) report, the results above 1200 CFM
19 showed that FC wheels are actually more efficient than
20 BI wheels. So I think you've got to be careful on the
21 backward inclined as far as capacities. You get above
22 three tons of air flow, the performance is going to
23 fall off unless you essentially different wheel
24 diameters and speeds. Thanks.

25 MR. BROOKMAN: Thank you. Okay. And
26 comments on air flow path design. We've covered this
27 somewhat, maybe fully. Additional comments? Terry
28 Small, you're next.

1 MR. SMALL: Hi. This is Terry Small with
2 Mortex. On issue eight, and this we've had a lot of
3 discussion on it. But I think what was interesting,
4 I'm a bit dismayed that the word safety has never crept
5 into the discussion so far. And so much of air path
6 design is around the safety aspects of whether it would
7 be a heat exchanger, or a natural gas furnace, or
8 resistance heat, where you're worried about where the
9 limits operate, even on a hydronic unit. So I think
10 that the air path design is very much to be determined
11 more by safety, which of course is a liability to
12 manufacture. We're less concerned about efficiency
13 when it comes to safety. Any comments on that?

14 MR. JASINSKI: Yeah, I would just say that
15 one of the major screening criteria is we evaluate
16 technology options for their health and safety impacts,
17 so if there are specific health and safety impacts that
18 would be related to any type of air flow path design,
19 DOE would really appreciate comments regarding that, so
20 that it can be considered in the screening analysis.

21 MR. BROOKMAN: Additional comments on air
22 flow path design? And then we have kind of a summary
23 box, correct?

24 MR. JASINSKI: Right, just other comments or
25 recommendations related to the analyses I've
26 presented: the market and technology assessment, the
27 screening analysis, and the engineering analysis in
28 general.

1 MR. BROOKMAN: Any overarching comments at
2 this point? Okay, so it's now 12:30. I'm going to
3 suggest we pause for lunch, and I think we need it.
4 We've covered a lot of ground. It's been very, very
5 productive conversation. I appreciate especially all
6 of you coming forward with such good comments.

7 You're probably familiar - many of you
8 worked in this building before. Once again, you must
9 wear this badge. This room will be locked during
10 lunch, or it will be supervised, so you can leave your
11 stuff here. There's a big cafeteria, down to the
12 ground floor about 100 yards in that direction after
13 you get to the elevator. It's 12:30. We will take a
14 full hour for lunch, because that's about how long it
15 takes, which means we'll resume at 1:30. We're a
16 little behind on everything, but we'll catch it up.

17 You may need an ID to get back in. Sometimes
18 they require it, sometimes they don't, but you'll have
19 to go back through security portal - what do they call
20 those things. So anyways, thanks for a good morning,
21 we've got more to cover, but we'll get there, and
22 we'll see you back here to start at 1:30.

23 (Whereupon, at 12:30 p.m., the meeting in
24 the above captioned matter was adjourned for lunch
25 recess, to reconvene at 1:30 p.m.)

AFTERNOON SESSION1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1:31 p.m.

MR. BROOKMAN: We're still a few folks short, but let's start back up. Thanks for coming back. Thanks for being on time. We're now going to proceed with Markups, Energy Use Characterization, and LCC, and payback period analysis and hear from Alex Lekov.

Markups, Energy Use Characterization

MR. LEKOV: Alex Lekov, Lawrence Berkeley National Laboratory. So we completed engineering analysis, and now we're continuing on the economic analysis with the focus on the impacts on the consumers and follow up by national impact analysis.

So here is the diagram showing where this belongs in the flow of the overall analysis, and directly switching to my first topic, which are the markups. But here is essentially, it is a component of the overall economic analysis.

So markups or product price determination, is used to characterize the channels, how a product are distributed as well, to determine the price paid by the consumers for baseline and higher efficiency products.

So in this part of the presentation, I also

1 will be talking about the energy use characterization,
2 which essentially develops the energy consumer savings
3 for the considered efficiency levels. And those will
4 be tied in the overall life-cycle cost and payback
5 analysis, which also are developed for all analyzed
6 efficiency levels.

7 Here is the overall flow. What you see here
8 is the typical life-cycle cost analysis. Essentially,
9 it's based on total installed cost for the products,
10 and lifespan operating expenses. This is the total
11 installed cost represented by the upper part of the
12 chart, lifetime operating expenses represented by the
13 lower part of the chart. All the components, as you
14 see them on this chart, will be discussed in some
15 detail in the next slides.

16 So, starting with the markups. Markups
17 relate consumer price to cost of goods sold. The
18 markups are not the same for baseline and for the
19 higher efficiency standard. This is a methodology
20 that DOE developed over the years and it's been the
21 same for many rulemakings, some of you participated
22 over the last period. So we have baseline and
23 incremental markups. The incremental markups do not
24 include the component of the cost that are not
25 impacted by the higher efficiency product, and that

1 would be primarily the direct labor cost, which
2 includes salaries, renting occupants.

3 DOE's approach also developed the markup
4 originally for all geographical areas considered in
5 the analysis. The lower of the slide shows the
6 sources for development of the markup for all market
7 participants. I suggest not to read it in details,
8 manufacturer markup comes from engineering, wholesale,
9 and mechanical contractors come from Hardy (ph) and
10 AMCA reports. General contractors markups, as well as
11 manufactured home. Manufacturer and contractors come
12 from different table of 2007 economic census. And the
13 sales taxes are coming from what's called Sales Tax
14 Cleaning House Data, which essentially includes this
15 data - reports this data by state.

16 As mentioned in the beginning, one of the
17 purposes of the markup analysis is to identify the
18 channels, the distribution channel for the product.
19 The important thing here is to highlight that furnace
20 fans are essentially components of a furnace fan
21 equipment. Therefore, they're distributed as part of
22 the equipment. Therefore, the channel shown here, the
23 two market segment, replacement and new construction,
24 are for the furnace fan equipment, and you're familiar
25 with similar charts which were shown during the

1 residential furnace rulemaking, residential ...
2 rulemaking. There is a separate channel for
3 manufactured homes.

4 So, with that, here is our first question.
5 DOE in this analysis did not consider a distribution
6 channel for replacing furnace fans which are already
7 included in installed equipment. So the question here
8 is if such things exist, what's the market share if it
9 exists? So any information on this topic will help
10 DOE to determine whether such distribution channels
11 should be included in the analysis.

12 MR. BROOKMAN: Diane.

13 MS. JAKOBS: Okay. This one thing I went in
14 - we have a man who's in charge of quality, and I went
15 and talked to him about replacement rates for higher
16 efficiency motors versus PSC motors, and we went back
17 and forth, and we came up with that we're seeing a
18 failure rate of double in higher efficiency motors
19 than we do with the PSC. And you have to keep in mind
20 that our focus is on the warranty part because that's
21 what we're paying. But he said they start out pretty
22 even the first year, and it can get much, much worse
23 if there's a specific problem. But he was saying
24 overall he would say it was double the failure rate.

25 So something is going on there, and just the

1 idea that you have a copper control board in a air
2 stream that might have moist air, that that's not a
3 failure that can happen on a PSC motor. It's only
4 because you've added this electronic control that
5 you've added another failure mode.

6 So you're saying for replacing furnace fans,
7 usually because the set screw is jammed onto the
8 shaft, you know, they probably end up replacing
9 several components even though maybe the motor control
10 board is the only component that you end up doing a
11 whole assembly. So I'm not exactly - I know in the
12 analysis you excluded the warranty period, but
13 actually if we have a lot of warranty cost, we're
14 going to put that in our original sale price. So, you
15 know, I don't know how to handle it, but that bit of
16 information that the higher efficiency motors pretty
17 much have double the failure rate.

18 MR. BROOKMAN: Do they have different
19 maintenance requirements or anything like that? No,
20 they're not.

21 MR. LEKOV: So let me connect to your
22 statement. I believe you are referring to replacement
23 in case of failures. Those, you will see a little bit
24 further, those are accounted in the analysis. Here is
25 the primary issue is a replacement - whether such

1 things exist - a replacement for efficiency reasons.

2 MS. JAKOBS: Ah, like -

3 MR. LEKOV: That they're already - in the
4 frequency, you'll see the detailed analysis, there is
5 a whole slide on this topic. It has been accounted
6 for.

7 MS. JAKOBS: We are not excited about that
8 at all because of the safety implications. So we
9 discourage it. I know it exists.

10 MR. BROOKMAN: Steve Rosenstock.

11 MR. ROSENSTOCK: Steve Rosenstock, EEI, but
12 it's also replacement in case of current motor
13 failure, right? That would also fall under that?
14 That they've decided not to replace the whole unit,
15 but just the fan because that's all that needed to be
16 replaced and the old fan is shot, so replace it with a
17 new fan?

18 MR. LEKOV: I would say the repair and
19 maintenance slide will probably talk more about this
20 aspect of it. Okay. Thank you.

21 So with that, here are the results.
22 Essentially, the average markups for the market
23 participants as explained in the introductory slide
24 showing them for mobile home and non-mobile home
25 classes, but the baseline and incremental markup and

1 also the market participant. Note that those are
2 average values.

3 The LCC analysis and the salary (ph) - we do
4 this several times - represent actually distribution
5 of values. So the households are getting different
6 within the range of this average.

7 Maybe more informative is this one, that's
8 the final, actually, average markup by product class.

9 MR. BROOKMAN: Yes, Craig.

10 MR. MESSMER: I have a question on the
11 incremental markups you have. This is Craig Messmer,
12 I'm sorry. You've got a lower value. Is that
13 incremental going to apply to once it is the new
14 baseline? I mean if you go to a higher standard which
15 becomes the baseline, you don't really have an
16 incremental markup any more, correct? Isn't that now
17 what the same markup would be for the baseline? I
18 mean, I don't understand why they're different.
19 You've got a much lower markup for the incremental
20 cost than you do for the baseline cost. And I read
21 the document, and I know there's a graph and curve
22 that you used to come up with that, but if you have -
23 if you have an option to a piece of equipment, yes, it
24 might have a smaller markup for that option, but if
25 it's the baseline unit, it's going to have the same

1 markup for the whole unit.

2 MR. LEKOV: Yes, the baseline markup is the
3 baseline. If the unit is a baseline unit, then the
4 baseline markup is applied to the baseline unit.

5 MR. MESSMER: Okay. But why is the
6 incremental lower then?

7 MR. LEKOV: The incremental markup indicates
8 that not all cost are additionally marked up when the
9 equipment becomes more efficient. And as I already
10 stated, this is the only difference is the direct
11 labor cost, essentially. The salaries don't change
12 it, the people. If they can - for example, a
13 distributor, salaries are the same; renting in the
14 warehouse is the same; utilities that he pays inside
15 are the same. This is our interpretation, and that's
16 the basis of this.

17 MR. MESSMER: Right. Go back to - I mean
18 one of the things in the document you show that the
19 X13 to the consumer is going to be an extra \$50 or
20 \$60, compared to the baseline. So that's telling me
21 that the margin for that \$60 is going to be - it's
22 going to be much smaller than what the margin was for
23 the base cost.

24 MR. LEKOV: So just go - to highlight this,
25 this incremental markup applied to the incremental

1 cost only.

2 MR. MESSMER: That's what I'm saying. No, I
3 get that. I just don't think it's valid is all.
4 Enough said.

5 MR. BROOKMAN: Okay. Thank you. Other
6 comments on these two markup slides?

7 MR. LEKOV: So this was the questions about
8 any recommendation aspect of the markup analysis. And
9 with that -

10 MR. STEPHENS: Yes, I do have one.

11 MR. BROOKMAN: Yes, Charlie.

12 MR. STEPHENS: Only on manufactured homes,
13 your numbers on the manufactured homes, new
14 construction, look a little high to me. And I don't
15 know if it stems from your terms of reference - you
16 called it, I think, in the chain, a contractor, a
17 manufactured home contractor. Where we live, they're
18 called a dealer.

19 MR. LEKOV: Correct.

20 MR. STEPHENS: And they sell the home and
21 they do arrange for the setup, which doesn't really
22 have to do with the mechanical system, typically. But
23 I'm trying to understand, when you say contractor,
24 where do you get your markup for a manufactured home,
25 as I say in our region, dealer, for the thing? Is he

1 a contractor, or is he a dealer?

2 MR. LEKOV: So the one for new construction,
3 you are correct, dealer or builder or general
4 contractor, this is the term of the participant. And
5 here are the sources that are used for the derivation
6 of this particular markup. As you see, the general
7 contractor markups comes from financial data from 2007
8 economic census, specifically from the residential
9 building construction sector tables.

10 MR. STEPHENS: Well, yeah, and I guess what
11 I'm getting at here is in the bullet on manufactured
12 home, manufacturer and contractor markups.
13 Manufactured home, manufacturing sector, I understand
14 that, and that's for the making and assembling of the
15 home and the installation of the - the buying and the
16 installation of the HVAC system and components. But
17 then you have all other specialty trade contractors.
18 The people who sell the new home are not a contractor.
19 They're more akin to a car dealer. They sell a home
20 like a car dealer sells a home, and there is a markup,
21 but I don't think the markup is a contractor's markup.
22 A typical contractor's markup where we are is like
23 1.3. I think that you'll find if you actually look -
24 I don't think that source is where you're going to
25 find the right numbers is what I'm getting at here. I

1 think you need to look more closely into how
2 manufactured homes are sold, because I've never heard
3 the term contractor applied to that level in the
4 chain.

5 MR. LEKOV: Okay.

6 MR. BROOKMAN: Thanks, Charlie. Yes, Tom.

7 MR. ECKMAN: And I would recommend that DOE
8 consult the group that's working on the new
9 manufactured housing standards for the markups in that
10 sector, since you have another rulemaking that's
11 proceeding down those lines. Access to that
12 information should be readily available.

13 MR. BROOKMAN: Thank you.

14 MR. LEKOV: Thank you. So with that,
15 switching to the next precursor to the life-cycle cost
16 analysis, which is the energy use characterization.
17 And the purpose of it is to determine the annual
18 energy cost. In order to do this, energy consumption
19 of the furnace and product in the individual
20 households needs to be determined with associated
21 energy prices.

22 So it came through this morning, the way the
23 energy use is determined in its essence, is sum of the
24 energy use at each operating mode: heating, cooling,
25 and constant ventilation for each household. The

1 primary components are the operating hours and power.
2 In addition to this, the analysis account for the
3 effect of more efficient fans on the overall energy
4 use of the household space conditioning equipment.
5 The next slides will go in details of all those.

6 MR. ROSENSTOCK: Quick question.

7 MR. BROOKMAN: Steve, please.

8 MR. ROSENSTOCK: Are there plans to use some
9 of the RECS 2009 data for this analysis as you go on
10 through the NOPR stage?

11 MR. LEKOV: Absolutely. The NOPR phase will
12 be based on RECS 2009, and we already started to
13 download the tables.

14 So in order to do the energy use analysis,
15 you need to have a sample of households. So if we
16 start with RECS 2005, and apply a set of criteria -
17 see the small four criteria at the bottom, and they
18 determine whether the household actually includes the
19 furnace end product. Once this is determined, we -
20 you can tend to physically think of it as RECS 5000
21 households. We apply the selection criteria down to
22 3000. Now we are here at the house - we're splitting
23 this mobile home versus non-mobile home part of the
24 sample.

25 I'll focus more on the non-mobile home part.

1 We look at the households, separate them by fuel type.
2 And as you see here, on the right side are the nine
3 key product classes as discussed this morning. So the
4 primary and most interesting point is how we develop
5 the sample for the gas households.

6 So first, the entire sample is applied for
7 non-motorized gas for the condensing, non-motorized
8 gas for the ... After that, we select just the
9 households that are in the center region to use for
10 the sampling for non-condensing, non-motorized furnace
11 fans. We add another criteria, household - to the
12 center sample - households that include central air
13 conditioning equipment to identify the weatherized gas
14 furnace fans. To this sample, to the sample that is
15 for the center region, has central AC, we apply the
16 criteria which is listed right there, that has gas
17 water heater with some limitation on the square
18 footage, to isolate the sample for hydronic air
19 handler heating and cooling.

20 So that's how primary the entire sample is
21 developed and used in the Monte Carlo simulations for
22 the determining the energy consumption for each
23 household.

24 MR. BROOKMAN: Joanna Mauer.

25 MS. MAUER: Alex, can you just explain again

1 why the identification of a house that has central AC
2 indicates that it would be a weatherized gas furnace
3 fan?

4 MR. LEKOV: So everything is based on the
5 available data. Weatherized gas furnace is
6 essentially a package that includes heating and
7 cooling, so from the sample we are removing the ones
8 that don't have cooling. They are not weatherized
9 furnace fan ...

10 MR. BROOKMAN: Abigail.

11 MS. DAKEN: So, Alex, this is essentially a
12 follow on question because I didn't quite understand
13 the response. When you say has central AC, does that
14 mean that the household has central AC, or that
15 central AC is included in the same product?

16 MR. LEKOV: So, step back. For the non-
17 condensing, non-weatherized furnace fans we're using
18 the entire sample that is incident US. Now, the same
19 example, we look at households that must have central
20 air conditioning. So I hope this answered the
21 question. So -

22 MS. DAKEN: I'm sorry, would that include
23 households that had -

24 MR. LEKOV: -- in order to qualify for as a
25 weatherized gas furnace fan product, the household

1 needs to have a central air conditioning.

2 MS. DAKEN: So a household that has a split
3 system, central air conditioner, with an indoor coil
4 and an outdoor coil, and then a non-weatherized gas
5 furnace, would end up in your weatherized gas sample?

6 MR. LEKOV: Yes, it's going to be in this
7 sample.

8 MS. DAKEN: Okay. Thank you.

9 MR. BROOKMAN: Ted Eckman.

10 MR. ECKMAN: So how does this account for -
11 how does this market share allocation using RECS
12 either 2005 or 2009, account for the federal standards
13 change in 2013 for condensing versus non-condensing
14 requirements?

15 MR. LEKOV: So I think we'll answer this
16 when we talk about the baseline efficiency
17 distribution.

18 So we have the sample now and we're starting
19 to calculate the energy use. Here is the chart.
20 Essentially, the household reflects the formula which
21 you saw in the beginning. Furnace fan energy use you
22 need to determine power, you need to determine the
23 operating powers for each household. In addition, for
24 each household we calculate the impact on the energy
25 use. So the power requires the determination of fan

1 performance curves and system curves. The operating
2 powers, there are two separate methodologies for
3 heating and cooling operating, and for continuous fan
4 operating powers. The details are on the next slide.

5 So, starting with fan power determination.
6 This chart is just an illustration. Here is - I'll go
7 in additional details of describing how each of these
8 are derived. So, in essence, from the manufacturer
9 data we are deriving the fan performance curves in
10 terms of air flow, the upper three, for each of the
11 operating modes. Simultaneously with this, develop
12 the power curves as the bottom three lines. And this
13 we impose the system curves that's for this particular
14 household, which allows to determine the operating
15 mode at each of these three modes, and to arrive at
16 the furnace fan power as shown on the right side. So
17 that's the schematic. This is just one general
18 presentation for a specific furnace fan design.

19 MR. BROOKMAN: Diane, please.

20 MS. JAKOBS: I just want to point out that
21 if you look at this graph, I mean there's not any
22 strange peaks, it's all kind of even flat if you look
23 at the bottom three curves, and it's kind of - it's
24 like the fan laws govern that at higher static, the
25 energy consumption goes down. So there's not a lot of

1 weird things going on. There's all this thing about
2 manufacturers will game the system by only having one
3 point. I mean this is kind of how they work, so -

4 MR. LEKOV: So that's an illustration, I
5 hope the more specific slides will get us deeper in
6 this discussion. Okay. So --

7 MR. BROOKMAN: Before we move on, Paul.

8 MR. LIN: Just one comment. I see that
9 you've used three different fan speeds for the three
10 different settings. Sometimes manufacturers utilize
11 only two speeds of the three or four speeds that are
12 available in the motor. So on a heat and a cool, it
13 could be one of two speeds, and the constant fan could
14 be one of the heating or cooling speeds, and not the
15 low speed.

16 MR. LEKOV: So this topic has been discussed
17 in detail in the furnace fan test procedure
18 discussion, and this morning also quite a bit was
19 touched upon. There is a - exactly - there may be
20 some simplified cases that will not have settings for
21 all three.

22 So let's start with a system curve
23 variation. It's needed because it is how the
24 operation of the furnace fan in the individual
25 household is determined. And it is characterized by

1 assigning an external static pressure value at the
2 maximum cooling air flow operating mode. How is
3 actually this incorporated in the analysis. As
4 mentioned multiple times, DOE compiled a number of ESP
5 measurement from 27 studies that includes furnace fan,
6 single family and manufactured homes. Now, once we
7 have this sample, here the table shows - illustrates
8 this kind of - hopefully in a more clear way. We
9 split the sample to two parts for non-mobile home
10 products and mobile home products. After that we
11 tender those two larger samples, looking at the sample
12 whether it has air conditioning coil or not. As a
13 result of this we are coming with two sets of data
14 which essentially represents a distribution of values
15 which are after that, randomly sampled for the
16 households that meet these conditions.

17 MR. BROOKMAN: Diane, go ahead.

18 MS. JAKOBS: I just want to point out one
19 thing. So, on the previous graph, manufacturers have
20 to have three coefficients to describe one fan motor
21 curve. Where we can describe every duct system with
22 just one coefficient. So, I mean, it just seems
23 disproportionate. I know this is an engineering
24 assumption that people do to do load calculations and
25 design ductwork, and it's simplified. But, you know,

1 the degree of accuracy is suspect. I mean it
2 represents something, but I don't know that - I
3 seriously doubt that you have it - while you have it
4 under system curve derivation, I don't think you
5 looked at whether the system curve represented the
6 1300 field conditions. You were just looking for the
7 average static. If someone asked me to estimate a
8 system curve, I'm sure I would come up with the same
9 thing, I don't know how accurate it is. I mean I kind
10 of doubt it's very accurate.

11 MR. BROOKMAN: Steve.

12 MR. ROSENSTOCK: Just as a quick question,
13 in terms of - again, there's all this data, you show
14 the averages. Do you have any sort of standard
15 deviations, or do you have the median value that -
16 again, just for all the numbers that you were
17 collecting, that type of data might be useful for us
18 to see any sort of correlation, or just in terms of
19 the range of values that you got in the field.

20 MR. LEKOV: So we can affirm the furnace fan
21 test procedure proceedings, DOE published a list of
22 all 27 studies, and the data is available.

23 MR. BROOKMAN: Greg.

24 MR. WAGNER: Greg Wagner. I looked through,
25 not all 27 of them, but ten-plus of them, I've

1 forgotten now how many, and I couldn't find a
2 standardized methodology, or a method that, again,
3 would allow you to average those. They're not taken
4 in the same fashion in each of those test setups. So
5 I would just say that averaging this is putting
6 together a pile of stuff that's not necessarily
7 equivalent. So if you look at study to study, they're
8 not the same test setup.

9 MR. LEKOV: Maybe part to answer, DOE's
10 analysis does not use average rates. Those are
11 distributions, very wide distributions per sample, but
12 this is just to show where the average of this
13 distribution is.

14 MR. BROOKMAN: Additional comments on this?

15 MR. LEKOV: So we got the system curve, now
16 let's focus on the fan performance curves. So first
17 step DOE did is to derive the average fan performance
18 curve, a set of average fan performance curves. So
19 those were done for the six efficiency levels,
20 essentially representing design options. In addition
21 to this, at each of these efficiency levels, DOE
22 developed a separate fan curve for the seven fan sizes
23 listed here, from one through five turns. So if you
24 think of a metric six by seven, starting with the 42
25 reference performance curves.

1 Here's the small picture in the bottom shows how this
2 was developed.

3 In essence, DOE took the manufacturers'
4 public literature for every single model, something
5 between 700 and 800 models. We extracted all the
6 performance data, flow and function of ... and we
7 develop - see how for each pressure there is a range
8 of values. So for each of these cases we fit the
9 curve to represent the range of this reported
10 operating conditions.

11 Now once this is available, it's a need to
12 fit it to match the FER values derived in the
13 engineering analysis. This morning has been
14 explained, I believe, in good details, that a single
15 FER value was derived for each of these - for each
16 product class and for each efficiency level. However,
17 there are some differences between the set we
18 developed, which is based on 800 models and accounts
19 for the sizes compared to engineering. There are not
20 very large differences. So, adjustment factors were
21 derived to DOE's performance curve to match the FER
22 values as described in the engineering analysis.

23 So as a result of this, since we need to do
24 it for each product class for each efficiency level,
25 and in addition to this, need to be done for all nine

1 product classes, the sample answer with 376 furnace
2 fan performance curves and those are the curves that
3 are used in the Monte Carlo simulation when we do the
4 sample - we do the sampling. So again, there is a DOE
5 developed 100 representative performance curves to fit
6 as close as possible to the operating conditions in
7 the individual households.

8 MR. BROOKMAN: Diane.

9 MS. JAKOBS: All right, you said you used
10 fan performance curves from literature. It's unusual
11 to show the watts, so really you're talking about the
12 air flow, right?

13 MR. LEKOV: You are right that some
14 manufacturers - not all manufacturers, report the
15 watts curve, but there are some that report the watt.

16 MS. JAKOBS: I'm aware of two.

17 MR. LEKOV: Yeah. It's a pretty significant
18 sample.

19 MS. JAKOBS: It's a small group.

20 MR. LEKOV: Yeah.

21 MS. JAKOBS: So you only used their furnaces
22 in your analysis, the ones that had -

23 MR. LEKOV: No, we used all that have air
24 flow, and for the watts curve we used the ones that
25 are from available manufacturers, which is a little

1 bit smaller sample.

2 MS. JAKOBS: The TSD in the references, it
3 shows like specific furnace specification sheets - are
4 those the only furnaces that you used in your analysis
5 then? So did you list which manufacturers furnaces
6 data sheets you used?

7 MR. LEKOV: It's the spreadsheet actually
8 includes the entire sample - is correct? Yeah.

9 MS. JAKOBS: But I mean, I don't - you can't
10 have any Rheem data, right, because we don't publish
11 it.

12 MR. LEKOV: Yes, there are other companies
13 have also the watts data, but Rheem has the air flow
14 data.

15 MS. JAKOBS: So that's what I was - so did
16 you use our air flow data?

17 MR. LEKOV: Yes.

18 MS. JAKOBS: Okay. But somehow it's
19 divorced from the watts part of it because we didn't
20 give you that information. I'm just kind of a little
21 confused about - there's kind of a part about what is
22 a static and what is a CFM, and then there's a part
23 about - to calculate FER you have to have the -

24 MR. LEKOV: Both of them. Okay. I could -
25 maybe we could elaborate on the derivation of how this

1 is used in actual sample for the manufacturer that
2 reports just the air flow data.

3 MR. BROOKMAN: Yes, Victor.

4 MR. FRANCO: Hi, Victor Franco from Lawrence
5 Berkeley National Lab. So actually we have air flow
6 data for a lot of the manufacturers, especially non-
7 weatherized gas furnaces. We only have for, as you
8 mentioned, for only a few manufacturers the watts per
9 CFM. To generate the air flow curves, we used - we
10 try to use all the data. For the watts per CFM, we
11 used to derive the power curves, we used the
12 literature from just the available data. We have some
13 test data that we were able to map also to some of the
14 manufacturers, that was the 26 models that were
15 tested, so that helps increase the number of
16 manufacturers.

17 MR. BROOKMAN: Greg.

18 MR. WAGNER: When you did the testing, you
19 did it to the AMCA 210 that's described in the -

20 MR. LEKOV: That's probably - Sam?

21 MR. JASINSKI: Yes.

22 MR. BROOKMAN: Sam says yes.

23 MR. WAGNER: I mentioned it this morning,
24 but again, there's a difference in the way the
25 correction factors are used between AMCA 210, ASHRAE

1 51 and the ASHRAE 37 that all these charts and data
2 will be, and that is in ASHRAE 37 they correct as if
3 it's a constant mass flow, so therefore you're
4 correcting to standard CFM. In AMCA 210 you're
5 correcting as if it's a constant volume pump and
6 you're adjusting your pressure and power. So they are
7 two different methodologies for correcting to standard
8 air density. So the data is not - you've got apples
9 and oranges again.

10 MR. BROOKMAN: Sam Jasinski.

11 MR. JASINSKI: Yes, Sam Jasinski, Navigant
12 Consulting. Like I said, we're interested to look at
13 the comments and make sure we understand what the
14 differences might be between the test method that we
15 used, which is proposed in the NOPR and based largely
16 on AMCA 210 versus ASHRAE 37. But some of those test
17 models, some of the models that were tested were
18 compared to the performance data that were published
19 in the specification sheets, and the raw data did not
20 differ too dramatically between what we took for
21 measurements using AMCA 210 and the measurements that
22 were in the specifications sheets, which according to
23 manufacturers, was taken with ASHRAE 37. So this is a
24 very important issue and one that we want to make sure
25 that we understand completely, so that the values that

1 we're - the test procedure that we're using is
2 appropriate, but also that the values we're basing our
3 analyses on to conservation standard, are also
4 appropriate.

5 MR. WAGNER: Greg Wagner again. I would
6 suggest you take a look at that test data and process
7 then because there should be a difference that is
8 noticeable. Having done enough of these tests where
9 we typically are running AMCA 210 because we make belt
10 fans, but we also work with our customers and do
11 testing with the ASHRAE 37 mode. And there's a
12 distinct difference between those curves, and it's a
13 clear DC offset that you're going to see between those
14 two. So if you're matching up, that means one of the
15 two sets of data is probably all wrong. So I would
16 just caution that there's some systematic error
17 probably involved there.

18 MR. BROOKMAN: Okay. Thank you. Are we
19 ready.

20 MR. LEKOV: So now we have the methodology.
21 Here are illustrations of the results. This is the
22 performance curve for a very specific case, non-
23 weatherized gas furnace fan, non-condensing, three ton
24 size, heating mode. And here are how the fan
25 performance curves will look in this particular case.

1 MR. BROOKMAN: Steve.

2 MR. ROSENSTOCK: Steve Rosenstock, EEI. You
3 said that the average ... static pressure was about
4 either point - 0.73 or 0.52, depending on central air
5 conditioning in the previous slide. It ranges from
6 0.52 to 0.73, whether you have central air
7 conditioning or not, correct?

8 MR. LEKOV: The average value is 0.65
9 because you need to weight it for -

10 MR. ROSENSTOCK: Okay. So again, looking at
11 this graph, going from 0.52 to 0.75, the air flow
12 ranges, I'll say from around 790 CFM to as much as
13 1100 CFM. For that furnace, what is the required CFM
14 to meet the needs of that house?

15 MR. LEKOV: So, first, again this is a non-
16 condensing, non-weatherized furnace fan, so the value
17 in terms of power that you need to utilize reflects
18 the three operating modes. The required CFM will be
19 the CFM depending - for this particular product class,
20 the average values it will be different depending in
21 the distribution of the average value which is 0.65.

22 MR. ROSENSTOCK: I guess - Steve Rosenstock,
23 EEI. My point being is if there's a need inside that
24 house for at least, say 1000 CFM, some of the products
25 will not meet the required CFM. Or am I missing

1 something?

2 MR. BROOKMAN: Charlie.

3 MR. LEKOV: Yeah, the -

4 MR. BROOKMAN: We also have - why don't you
5 go first. Please say your name again.

6 MR. FRANCO: Victor Franco, LBNL. So we
7 consider the requirements that the household needs in
8 terms of an air flow. If - what's usually done in the
9 field is if the air flow requirements need to be at a
10 certain level, you change the air flow setting. So
11 what's on the LCC spreadsheet then, the air flow
12 setting for like say the PSC needs to be higher, it'll
13 go to the higher air flow setting. So it will consume
14 more energy to meet the requirements.

15 MR. BROOKMAN: Charlie.

16 MR. STEPHENS: Charlie Stephens. I'll just
17 add that in the field what a house needs is a very
18 fungible term. The average oversizing factor in the
19 field is what results in some fairly short cycle
20 times, so houses almost always get more than they
21 need, based on the habits of most contractors out
22 there, more air flow than they really require. So,
23 you know, I'm looking at the error bands, if you will,
24 in the field in these actual houses that we're trying
25 to use as representative of the whole population of

1 house, and quite frankly, there's a lot of mushiness
2 out there in those houses and I think what we're
3 trying to do here is land on an average set of values
4 to sample from on either side of average values and
5 try to come up with something that is a reasonable
6 approximation. And again, when we get down to this,
7 we're looking at this from candidate standard level to
8 candidate standard level. We're looking at
9 differences in the end.

10 And I don't see any real problems here with
11 the methodology that's going on. I just talked to my
12 field tech during lunch who also added that he finds
13 remarkable agreement between field conditions and how
14 an air handler behaves under certain external static
15 conditions, and the manufacturers literature in most
16 cases. So it's actually more predictable than you
17 think, and the least predictable part of this is the
18 house itself, and how this thing is matched to a duct
19 system in a house. So I think the methodology we see
20 here is actually a pretty good, reasonable
21 approximation given how messy it is in the real world.

22 MR. BROOKMAN: Go ahead, Victor, go ahead.

23 MR. FRANCO: Just a clarification. The
24 adjustment is made more in terms of the safety
25 requirements. So for example, there are some

1 households that when sampled, they might go into one
2 point something static pressure, and at that level
3 you're going over the bounds of what you need in terms
4 of air flow. So -- for those households. So there is
5 obviously a band that is acceptable. Over that band
6 is where - and that's a smaller effect in terms of how
7 many households actually change air flow settings.

8 MR. BROOKMAN: Diane.

9 MS. JAKOBS: Well, that was one of my - that
10 was related to my question. I'm kind of surprised by
11 this linear line for the X13. Are you saying that
12 that one maybe you change the motor speed as you went
13 up in static or -

14 MR. LEKOV: No. That's --

15 MS. JAKOBS: I think after your last reply,
16 that's not what you were saying.

17 MR. BROOKMAN: Victor, go ahead, and then
18 back to Paul.

19 MR. FRANCO: So on the X13 is actually
20 mostly based on Lennox data for a couple series of
21 models, and test data. And for this specific three
22 ton unit, that's a flat for actually for other curves
23 that we have. It's actually more like the PSC, it's a
24 little bit more of a curve, but it is decreasing, it's
25 decreasing faster than the PSC curve usually. But it

1 depends on the fan size and the product class.

2 MR. LEKOV: And also here, to bring up here
3 note - see the distributions, so it is essentially
4 representing performance conditions - a set of
5 performance conditions at static pressure, so this
6 allows to account for a number of models from
7 different manufacturers if we have - if the data is
8 available.

9 MR. BROOKMAN: Paul. Wait, Diane's not
10 finished. Keep going.

11 MS. JAKOBS: Well, I mean, that's one way to
12 look at it that you're accounting for this broad band
13 by drawing a single line, or you could think that
14 you're only accounting for a thin line and you're not
15 accounting for the broad band. So it's a matter of
16 opinion, you know, whether selecting one thing is
17 really, you know, do you - as an engineer, you always
18 have a broad band, nothing's ever exactly correct. So
19 there's always the choice. You can pick the top, you
20 can take - so -

21 MR. LEKOV: As you said, it's a methodology.

22 MS. JAKOBS: The watts will change
23 dramatically.

24 MR. BROOKMAN: Okay. Paul.

25 MR. LIN: I guess the comment, and I'll

1 defer to a lot of our OEMs, but when I look at this
2 curve, usually your PSC motor is designed at one
3 specific point in terms of the fan load. As you
4 increase the load on a PSC motor, it's not going to
5 deliver more air flow versus a discrete torque or
6 constant torque ECM motor. So to see a static
7 pressure rise with more air flow on the PSC motor
8 versus an X13, to us, it doesn't look right. The data
9 that we've taken relative to an X13 motor versus a PSC
10 motor on a higher static environment, we see more air
11 flow delivery from an X13 versus a PSC high static.
12 So, from this graph, I'm not seeing how it relates the
13 data we've taken in our air flow chamber.

14 MR. BROOKMAN: Thank you.

15 MR. LEKOV: So -

16 MR. BROOKMAN: Wait just a second. Go ahead
17 Victor.

18 MR. FRANCO: Just to point, this is for
19 heating mode, this is for air flow - the curves for
20 cooling would be different. I don't know if that's
21 the maximum air flow, but that's the design that you
22 were looking.

23 MR. BROOKMAN: Paul.

24 MR. LIN: Well, whether it's heating or
25 cooling, it's a load on the motor, and regardless, the

1 motor doesn't know whether it's in heating or cooling.
2 It's only going to deliver its design load point, and
3 it's only got so much torque available. As you
4 increase the load on the motor, on the PSC motor, it's
5 going to fall off that curve, and deliver less.
6 Whereas an X13 will deliver up to a certain point and
7 then it'll start falling off like a PSC motor. And
8 then if you look at a fully variable PSM motor, you'll
9 ramp the load up until the current limit, and then
10 it'll start falling off. So that's why I'm saying the
11 curves don't look like the data that we have in our
12 lab.

13 MR. FRANCO: So one possibility - again,
14 Victor Franco - is this is an average. Since this was
15 based on one manufacturer, the other data is based on
16 more manufacturers. This depend on the air flow
17 setting for the heating speed, so potentially that's -
18 that could be the -

19 MR. BROOKMAN: Sam Jasinski.

20 MR. JASINSKI: Yeah, just as a point of
21 clarification that might help with the conversation,
22 is the green curve, the PSC with controls - that
23 refers to a model that uses a PSC that's driven by an
24 inverter. So just in the conversation, comparing the
25 X13 to the - there's two PSC curves there - you may be

1 referring to the comparison with the red one, but the
2 green one, as a clarification for everyone else, the
3 with controls is referring with that inverter
4 technology that we spoke about during the engineering
5 analysis, if that changes anything.

6 MR. BROOKMAN: Mohammed.

7 MR. KHAN: Yes, this is Mohammed. Thank
8 you, Sam, that's a very good clarification. And I
9 don't know if the gentleman was going to respond to
10 that, but since I have the mic, I was just going to
11 ask you if you could please share that particular data
12 specifying exactly what kind of PSC, with or without
13 controls, the exact test condition specifications, and
14 then we might be able to look at that and see how that
15 might compare or marry up or doesn't marry up to the
16 distribution that Alex was talking about.

17 MR. LIN: Yes, this is Paul Lin again. I
18 think what we're going to do is submit some of that
19 data that we've taken in the lab. We've taken
20 manufacturer A, B, and C furnaces and applied a PSC
21 motor to it and then in the same box, applied the X13
22 and then applied a fully variable system in the same
23 box and compared static pressure versus CFM and we
24 were doing that not for this particular rulemaking, we
25 were actually responding to utility questions relative

1 to static pressure and watts with various ECM motors.
2 And so it just happens that this particular data is
3 useful for this rulemaking.

4 But one comment about the averaging is,
5 although the average data shows that, I think it's -
6 if you look at each individual case, it's the same
7 thing, which is the X13 is going to deliver more air
8 flow than the PSC motor, the red line. And even
9 though you have an average, that kind of skews that
10 rule that we've seen in the lab, which is - you almost
11 define physics here.

12 MR. BROOKMAN: Both Greg and Diane I've seen
13 simultaneously.

14 MS. JAKOBS: Okay. Ladies first. Just from
15 our understanding, you know, these guys they come and
16 they explain this new whiz-bang thing and we try to
17 make sense out of it in our applications, but the PSC,
18 it drops down and - the red line -- it drops down
19 pretty severely. And then when we got the blue, the
20 two blues, you know, it's almost a straight line
21 across. So static pressure is like out of the
22 equation. And then the way I understood X13, it's
23 kind of a compromise between the two. It's better
24 than a PSC and not as constant as the ECM.

25 MR. BROOKMAN: Craig.

1 MR. MESSMER: Having stared at millions of
2 these curves, but looked at them in an opposite
3 direction than what you guys publish them for whatever
4 reason, normally flow is on the bottom and the static
5 pressure going up the vertical axis, it takes me a
6 little while to get used to looking at this way. But
7 I can tell you that, to echo what these folks are
8 saying, those curves don't look quite right, and the
9 PSC would be a more vertical curve in this type of
10 arrangement. But that's also dependent upon where
11 you're operating that PSC motor relative to its peak
12 efficiency point.

13 So averaging a bunch of curves using a
14 variety of different designs is going to give you
15 really odd looking results that don't necessarily
16 reflect the typical or a median type of an
17 arrangement. So to summarize, I guess, what you're
18 getting is a blending here that's giving an odd
19 looking curve to this process, and that's what these
20 folks are looking at and trying to figure out why this
21 doesn't look right.

22 MR. LEKOV: So Craig, it would be great if
23 we hear about an alternative methodology, instead of
24 averaging for a range of existing model data, what are
25 other options, and DOE will look at those.

1 MR. MESSMER: I'm not sure where you're
2 going with this, so I don't know how to pose -

3 MR. LEKOV: What would be an alternative
4 approach to the averaging that is done this way here,
5 basically deriving the performance curve -

6 MR. BROOKMAN: Diane, you want to start -

7 MR. LEKOV: -- for a range of available
8 data.

9 MR. MESSMER: No, my question is I don't
10 know where you're going, what's the end goal of this
11 use of these performance curves.

12 MR. LEKOV: So these performance curves are
13 after that used to determine the energy use of
14 specific households that under these conditions,
15 normalized - for example, this specific case.

16 MR. MESSMER: (off mic)

17 MR. BROOKMAN: Diane.

18 MS. JAKOBS: Well, I think if I was doing
19 it, because you have such a large range of data,
20 instead of just averaging it, I think I would want to
21 look at like on either range, because it seems to me
22 you're distorting the shapes of the motor curves. So
23 it seems like it might be better to select one from
24 the high range and one from the low and look at it,
25 you know, at least as a sanity check.

1 MR. LEKOV: Yeah, that's an alternative.

2 MS. JAKOBS: Yeah, that's what you just
3 asked.

4 MR. LEKOV: Yes.

5 MR. BROOKMAN: We're going to keep moving
6 ahead.

7 MR. LEKOV: So the same sample, here are the
8 power curves. So on the left side, in terms of watts
9 per CFM, on the right side, the watts which ... more
10 clearly show for the same four designs.

11 MR. ROSENSTOCK: Doug?

12 MR. BROOKMAN: Yes, please, Steve.

13 MR. ROSENSTOCK: Steve Rosenstock, EEI, and
14 I'm looking at the - and again, I appreciate the
15 graphs - I'm looking at the graph on the right and so
16 what I'm seeing here is - and again, remembering the
17 static - average external static pressure that you had
18 was from 0.52 to 0.73 in a previous slide - in terms
19 of a non-weatherized, non-condensing gas furnace, what
20 this graph tells me is that for those operating
21 conditions, 0.52 to 0.73, and again I don't know what
22 the standard deviation is, that the PSC fan with the
23 controls is going to use more energy than the baseline
24 PSC fan. Is that correct? That's what this graph
25 says. And the reason I ask that is because in the

1 technical support document later on, it's saying that
2 the annualized energy savings with the PSC with
3 controls and I'm not sure how you get there from this
4 graph.

5 MR. LEKOV: So remember that the household
6 is not getting the average value - it's a range of
7 static pressures, so could be from much lower from
8 what you are stating -

9 MR. ROSENSTOCK: Or it could be higher.

10 MR. LEKOV: -- or it could be higher.

11 MR. ROSENSTOCK: So again, I don't know if
12 it's an average or a median, but again, looking at
13 this graph and then looking at the - I'm just
14 wondering if again, I don't know what percentages
15 within that range of operating performance or external
16 static pressures, but let's say 80 percent of the
17 homes are within that 0.5 to 0.8 external static
18 pressure range - again, I don't have the exact number
19 - I'm still not seeing - and later on in this
20 analysis, in this preliminary analysis, how you're
21 getting any annual energy savings from going to PSC
22 with controls.

23 MR. LEKOV: So with the PSC with controls is
24 a very specific design. It's essentially based on -
25 it's included as an efficiency level in this analysis

1 and is based on actually single prototype developed
2 five years ago and not in manufacturing. And the
3 purpose of this specific design is to allow for a wide
4 range of rotational speed and appropriate CFMs while
5 using a PSC motor. So as Sam pointed, this is a
6 design with inverter. As a result of this, it has
7 certain advantages if you're going to, let's say, use
8 it at constant ventilation. But on the other hand, if
9 you use it at some higher static pressure in heating
10 and cooling for longer hours, it may end up with
11 results that you notice.

12 MR. ROSENSTOCK: But again - Steve
13 Rosenstock, EEI - but based on your field results,
14 again, you show that the average was 0.73 for the
15 households with central air conditioning, so again, I
16 don't know what the variation throughout the day or
17 throughout the season is, but if it's not more than
18 0.2, it would be 0.53 to 0.93 - aren't you going to
19 have a higher energy usage with that product?

20 MR. LEKOV: It's much wider than what you're
21 just saying. But yes, that's correct in some fraction
22 of households.

23 MR. ROSENSTOCK: Because I didn't see it
24 anywhere, I'm not sure what that range is, so -

25 MR. LEKOV: In some fraction of households

1 you end up with higher energy ...

2 MR. ROSENSTOCK: Thank you.

3 MR. BROOKMAN: Victor, and then coming to
4 Greg and then to Charlie. Yes.

5 MR. FRANCO: Victor Franco. Just to add
6 then, the results you'll find a little bit of this
7 discrepancy. On the heating and cooling in general,
8 it's similar or lower performance or more energy use
9 and the main advantage is on the constant fan. So on
10 average you could get some energy savings in terms of
11 electricity, and that's what you'll see in the end
12 results.

13 MR. BROOKMAN: I'm not sure, but I have this
14 general impression we're gaining on it here, I think,
15 and I think the Department is earnestly seeking your
16 comment on these methodologies and how to make sense
17 of them from experts such as sit in this room, so Greg
18 is first, and then Charlie.

19 MR. WAGNER: Real quick, I had a similar
20 sentiment than when you look at these it's going to
21 look like it's going to use more energy and since
22 you're saying that on average it's always above that
23 0.5, it will use more energy. But this is the problem
24 with also tying it to static pressures versus putting
25 it against flow. If you had flipped these curves

1 around and put them in a normal way, you would see it
2 against flow and you'd have different numbers and
3 different results, and it might be more indicative
4 because the green line delivers more air and it
5 wouldn't have to run as long, so it might make more
6 sense. But this whole business of shoving stuff
7 together like this when they have different shapes of
8 curves, you're going to get skewed results that look
9 like this.

10 MR. BROOKMAN: Okay. Charlie.

11 MR. STEPHENS: Yeah, this is Charlie. I
12 think - I don't think I'd necessarily characterize it
13 as skewed results. What you're doing here is
14 statistical analysis. You're trying to represent -
15 you're trying to come out with a single number at any
16 given box in a matrix, based on thousands of samples.
17 And when you sample all around, you're going to have
18 houses that have no air conditioning; houses that have
19 200 hours a year of air conditioning like we do and
20 where you've got 18-2200 hours of heating; you're
21 going to have houses that have low static pressure in
22 the duct system. There's going to be all different
23 kinds of things, and you're sampling from all of those
24 houses, and then looking at the net result in the end
25 and trying to put a single number in a box. The

1 single number could have to do with the fact that you
2 selected a different manufacturer's system whose
3 motors and fans run at a different point on that
4 curve, above or below it. Or it could be just that
5 it's a different static pressure, or it could be that
6 - there's enough variables here that you just have to
7 statistically have to try to come out with some sort
8 of central variable that gives you an answer in the
9 end, because the Department's required to come to an
10 answer.

11 We do this with our field data all the time,
12 and we actually go out and measure things. But we
13 still, in the end, if we want to come up with some one
14 number we have to somehow average and smush all that
15 together with some reasonable answer, knowing that
16 there is a distribution around the answer, you know, a
17 standard deviation, if you will, around that answer.
18 All we do is acknowledge that and say, yep, it's this
19 plus or minus whatever, and is it reasonable within
20 that range. And I think in the end, we're all going
21 to have to look at the results and ask if it's
22 reasonable within that range.

23 But again, I don't find anything that
24 bothers me based on my own statistical work with real
25 data from the field, doing exactly the same thing as

1 we're doing here, only from - with field data.

2 MR. BROOKMAN: Okay. Thank you. Diane - we
3 need to move on here shortly.

4 MS. JAKOBS: Okay. I just wanted to make
5 one point. So we talked about the field static is so
6 much higher than what's assumed for the coil only
7 rating. And if you think back to when we developed,
8 our industry with DOE, that at the time it was
9 developed for the SEER rating, 0.2 inch static, if
10 you're looking at the red line, that was a
11 conservative number. I mean the watts went down, and
12 it was only when we added the ECM and X13 where the
13 slope is the opposite and it's rising. So it's not
14 like someone specifically tried to game the rating and
15 make things look in a way that was misleading, it's
16 more like new technology has changed the original
17 assumptions.

18 And I'm on a lot of standards committees and
19 one of the things we've struggled with was this thing
20 about not backsliding. And if you want to update
21 things for new technology, but it's going to cost the
22 efficiency to go in the wrong direction, you're not
23 allowed to do it. So it's really hard to know what,
24 what do you do? Because sometimes we make a whole
25 bunch of assumptions when we put together these energy

1 descriptors and as the industry learns, as installers
2 learn, some of those assumptions aren't so good any
3 more. But if you implement it into the rating, it may
4 cause your energy descriptor to actually show an
5 improvement for the same unit, and you're not allowed
6 to do that.

7 MR. BROOKMAN: Okay. Thank you. Dave.

8 MR. WINNINGHAM: Just a general comment here
9 that the control points of the static pressure ranges
10 - we're selecting here from the field data - and
11 really in a lot of cases, outside of what a
12 manufacturer would recommend. And we're in the
13 process of setting a metric in which we measure them
14 that is outside of those boundaries. And if you look
15 at these curves, what they would suggest is a large
16 energy saving would be to shift that point to the left
17 to reduced static pressures where you see the biggest
18 improvement between the technologies. Because as you
19 go out to the right, they're converging and you really
20 aren't seeing the benefit of the other technologies to
21 the same magnitude. And while the manufacturers have
22 a concern around safety and reliability of the
23 equipment and the installation, there's an obvious
24 performance difference here that I think DOE needs to
25 take into consideration.

1 I understand, you know, the people who are
2 specifying want to have something that's real world,
3 but what we have here is a comparison tool. So to
4 compare one product to another, and I think as we're
5 looking at that we should align it around where it's
6 designed to operate.

7 MR. BROOKMAN: Okay. Thank you.

8 MR. LEKOV: Okay. So now we have the fan
9 performance and the power. The next point is we need
10 the operating hours. So the operating hours for each
11 product, they're essentially heating or cooling ... and
12 capacity. For this analysis those values were
13 adjusted for -

14 MR. BROOKMAN: Alex, pardon me for
15 interrupting. I forgot and I dropped Jim Vershaw out
16 of the queue. Jim, I presume your comments relate to
17 the previous discussion, so Jim, why don't you do that
18 now. I apologize, Alex.

19 MR. VERSHAW: Can you hear me?

20 MR. BROOKMAN: Yes.

21 MR. VERSHAW: Jim Vershaw, Ingersoll Rand.
22 One of the things that really pointed up -- that last
23 chart pointed out to me was how much the continuous
24 fan hours and watts can skew what's going to happen in
25 the real world. If you could end up with a system

1 that could come up with a lower FER and yet if you
2 don't use continuous fan, you'll use more energy,
3 looking at the red and the green lines. And I've just
4 got to wonder the value of putting in the continuous
5 fan in this thing versus the number of people who do
6 use continuous fan - and I think those are based maybe
7 on a couple of states in the far north. I'm really
8 concerned that we can end up with some unintended
9 consequences by having that included in this whole
10 calculation.

11 MR. BROOKMAN: Okay. Thank you. Alex, back
12 to you. I apologize.

13 MR. LEKOV: All right. Continuing with the
14 derivation of the operating curves in heating and
15 cooling mode. As I said, basically, function of ... and
16 capacity of the equipment, corrected for fan ... ratio
17 and as well an adjustment factor applied. The
18 adjustment factor is important basically it includes
19 statistical data, predictions regarding the future
20 building shell efficiency in terms of physical size of
21 the household and shell attributes. And this is from
22 EIA's 2012 data. Also the result is adjusted for the
23 average climate conditions. The data we have is for
24 2005. We used the AA methodology to average it over
25 the ten years period and there are two other

1 conditions which are included in this adjustment
2 factor.

3 MR. BROOKMAN: Steve.

4 MR. ROSENSTOCK: Question on the last slide.
5 Steve Rosenstock, Edison Electric Institute. In terms
6 of building shell efficiency, I don't know if I found
7 that section in the technical support document. For
8 the new homes is this assuming that all new homes will
9 meet IECC 2009 or IECC 2012?

10 MR. LEKOV: This is based on the EIA's
11 forecast for the integrity of the envelope in 2018.

12 MR. ROSENSTOCK: Okay. Steve Rosenstock,
13 EEI. In terms of forecast for new homes, I would
14 suggest using the values shown in IECC 2012 because
15 DOE came out with their final determination and states
16 are supposed to update their codes by the spring of
17 2014. So you might want to use that for you new homes
18 portion of your analysis. Thank you.

19 MR. LEKOV: Thank you. Now, for constant
20 fan mode, it's based on fan constant circulation study
21 conducted in Wisconsin and Minnesota. DOE based the
22 adjustment for the national sample using this dataset.
23 However, it's very different for the other regions in
24 the United States. For the south hot, humid region,
25 it's ten percent of the value used from these studies,

1 and for the north and south hot and dry, it's half of
2 it. The table shows actually the results from the
3 study on the left side, and if you go right on the
4 side, you see it drops half and drops by 90 percent in
5 the last column. So those are the values used in the
6 analysis.

7 MR. BROOKMAN: Diane.

8 MS. JAKOBS: I looked at this and I thought
9 it made a really strong case that we shouldn't
10 consider circulating fan mode. I mean, 97 percent in
11 the south don't use it, and 84 percent in the north
12 don't use it, so I don't see how this supports the
13 idea that actually - because of - for a gas furnace,
14 because of the hours, we're actually attributing 20
15 percent of our FER value to the constant fan motor.
16 But hardly anyone uses it, and then, you know, so it's
17 like - I forget - I think it was like 34 percent for
18 heating and something - whatever it adds up to, to air
19 conditioning, is less. So I would look at this data
20 and I would interpret it completely differently, and I
21 would say constant fan circulation is not a
22 consideration.

23 We were on the - Greg and I were on a CSCA23
24 committee - in Canada, that's different. They have a
25 ventilation requirement in their building code, and

1 there are a lot of people using the constant fan with
2 a duct to the outside air, and they are using it. But
3 here in the States I don't see that we are using it.

4 MR. BROOKMAN: Charlie.

5 MR. STEPHENS: Charlie Stephens. I hope to
6 be able to provide some data on this. I would
7 disagree. Five years ago, I would have agreed with
8 Diane, but based on recent trends, both in ventilation
9 and in the sales of rather expensive filtrations
10 systems that contractors really love to sell, there is
11 a substantial increase in the use of circulation mode
12 where I live in the four states of the Pacific
13 Northwest, and I hope to be able to document that.

14 MR. BROOKMAN: New home construction?

15 MR. STEPHENS: Mostly in new home
16 construction, but also in older homes as well because
17 again, this is an adjunct of a filtration system.
18 What's being sold is a \$400 to \$500 dollar electronic
19 filtration system, generally, and to use it and to
20 make it effective, you have to circulate the air in
21 the house. And we've got a number of houses that
22 circulate 24/7, 8760 a year, at some speed that we've
23 encountered out there. They're always running at some
24 speed. And that's not the norm, but there are some
25 out there that actually do this.

1 And it's only - from what we can tell, it's
2 only in the last five years or so where this is
3 becoming ubiquitous enough that we're actually quite
4 concerned about it. As I say, the driver is only half
5 filtration, the other half is this ventilation
6 requirement where one way to meet that is to let fresh
7 air in. April Air is an outfit that makes the
8 connection to the outdoors. It's done on a timer. It
9 is a - if you have a ducted system in the Pacific
10 Northwest, it's common to just put a hole to the
11 outside with a damper on it, and you run your air
12 handler in circulation mode on a timer, so many hours
13 a day, typically about eight hours a day.

14 And this is new because the ventilation
15 requirements are just now starting to come into the
16 code everywhere. And I would suggest that DOE not
17 only here, but in other places in the analysis, pay
18 more attention to the last five years. In some cases
19 your data only seems to go through about 2006 or
20 2007o, and I'm talking about financial data here too,
21 we somehow stop short of 2008. There's a lot of
22 trends going on out there right now that I would
23 suggest are not temporary, and I think we really need
24 to bring some of this up to date. And circulating
25 mode is one of those places that needs to be brought

1 up to date, and I hope, as I say, to provide some
2 data.

3 MR. BROOKMAN: Thank you. Greg. Oh,
4 actually, Greg - Dave, do you want to follow on?

5 MR. WINNINGHAM: Actually, this is a
6 question for Charlie. Charlie in the instances where
7 you're using constant circulation, are you looking for
8 a lower constant circulation value? Because there's
9 equipment that's designed different ways. You can
10 have a cooling speed, a heating speed, and a lot of
11 equipment uses one of those two steps for constant
12 circulation. Other manufacturers will choose to have
13 a constant circulation value that's much lower. One
14 of the outcomes of this could be that more
15 manufacturers, an effort to drive an FER number up,
16 drop that circulation speed and value.

17 MR. STEPHENS: Yeah, I - that's true.
18 Everything you just said is true and I had an alarming
19 report just last week of one manufacturer who may have
20 a single speed for circulation, and it's the highest
21 speed, which concerns us somewhat.

22 MR. BROOKMAN: Okay, Greg. Thank you.

23 MR. WAGNER: This is Greg Wagner. I was
24 just going to say that since we're talking about
25 anecdotal - as Diane said, we've served on committee

1 up there in Canada, and they did expressly talk about
2 this in the circulating mode because of that
3 requirement of internal - of bringing in external -
4 outside air and circulating for ventilation purposes
5 on a continuous basis. What they're finding though,
6 is that most people wind up turning them off once they
7 get their first electric bill, so it's not being used
8 nearly as much as what is reported. So that runs
9 counter a little bit to what Charlie's saying, but I
10 suppose if you're putting -

11 MR. BROOKMAN: This is Canadians, right?

12 MR. WAGNER: Well, no, I'm saying I suppose
13 if you put in a really expensive house and have a lot
14 of money, you will keep running things continuously
15 and have that nice ventilation system going, because
16 you can afford to do that.

17 MR. BROOKMAN: Okay. Keep going.

18 MR. LEKOV: This is the slide that request
19 comment on this topic. I know we got some and
20 probably more are coming in the written comments.
21 Here I will just acknowledge that the impact of more
22 efficient furnace fan is accounted for the heating -
23 as an impact on the heating and cooling compilation,
24 and it's a connection to Steve Rosenstock's this
25 morning. Question here, it shows that for all

1 products other than air handlers, essentially the
2 analysis are accounting for the difference in power
3 between the PEC and ECM and X13 motors from the
4 furnaces and the air conditioning rule - the numbers
5 are coming from the rule and explain there. So that's
6 how it's accounted for.

7 For the hydronic air handlers, it's simply
8 included in the metric, as explained this morning.

9 MR. BROOKMAN: Steve.

10 MR. ROSENSTOCK: Steve Rosenstock. I really
11 appreciate that, and just as a quick follow up, when
12 it says the difference is three watts, is that a three
13 watt increase or decrease?

14 MR. LEKOV: The furnace fan products with
15 ECM motors use three watts more, from eight to 11.

16 MR. BROOKMAN: Thank you.

17 MR. LEKOV: So the next slide are an example
18 showing the results for non-weatherized gas furnace
19 both non-condensing and condensing. This is the
20 energy use.

21 MR. BROOKMAN: Joanna.

22 MS. MAUER: Joanna Mauer. Has DOE provided
23 either average annual electricity use or electricity
24 use savings for the three different modes of operation
25 separately? I was trying to find it and I wasn't able

1 to find it in the TSD or the spreadsheet.

2 MR. LEKOV: They're probably not in the TSD.

3 MS. MAUER: Okay.

4 MR. LEKOV: The spreadsheet may allow for
5 this derivation, but it would be a separate run.

6 MS. MAUER: I see, so it's not something you
7 have. The comment is that I think it would be helpful
8 if DOE is able to provide that kind of information.

9 MR. BROOKMAN: Okay. Paul.

10 MR. LIN: Paul Lin. So I just want to make
11 sure I understood. Additional fuel use is because of
12 the higher efficiency of the motors?

13 MR. LEKOV: Yes.

14 MR. LIN: And was the high efficiency on the
15 cooling side taken into account, because you didn't
16 have to reheat, or recool?

17 MR. LEKOV: Yes.

18 MR. BROOKMAN: Diane.

19 MS. JAKOBS: I just want to point out the
20 units are different, and if you get it all in kilowatt
21 hours, that the last column is more significant. So
22 there's a conversion there. But just comparing the
23 first two columns, so for X13, you're going to use
24 half of the electrical - so if the annual electric use
25 is 508, then the savings would be 290. So are you

1 going to cut your electric bill in half, is that what
2 you're saying? For the furnace?

3 MR. LEKOV: That's the average value
4 compared to the baseline. From 798 will drop to 508.

5 MR. BROOKMAN: From the baseline.

6 MS. JAKOBS: Okay. But if you're looking at
7 different columns -

8 MR. ROSENSTOCK: Thirty-six percent.

9 MS. MAUER: -- so it's 798 minus 290 is 508.
10 Oh, okay.

11 MR. ROSENSTOCK: Thirty-six percent. Steve
12 Rosenstock EEI. That's an estimated 36 percent
13 reduction.

14 MS. MAUER: Oh.

15 MR. ROSENSTOCK: Steve Rosenstock, EEI.
16 Just a quick one, non-weatherized furnace fan, non-
17 condensing and condensing, for the annual electric use
18 that's both in the heating and cooling mode?

19 MR. LEKOV: Total. Total.

20 MR. ROSENSTOCK: Total, so -

21 MR. LEKOV: And continuous.

22 MR. ROSENSTOCK: So - and that's kind of
23 average for those with and without the central air
24 conditioning, right?

25 MR. LEKOV: The entire sample, yes.

1 MR. ROSENSTOCK: For the entire sample.

2 Okay. Very good. Thank you.

3 MR. BROOKMAN: Tom Eckman.

4 MR. ECKMAN: This is based on the RECS
5 distribution? Or is this per standard household?

6 MR. LEKOV: That's a result of everything I
7 explained, all ten slides, the entire methodology when
8 you derive the system curves, the performance curves,
9 get to a specific household, do the calculation, do
10 the sampling in a Monte Carlo, and you arrive at this
11 average value.

12 MR. ECKMAN: And the AEO estimates of annual
13 energy use for heating and cooling, or the RECS
14 estimates?

15 MR. LEKOV: The starting points are the RECS
16 estimates.

17 MR. ECKMAN: And you convert to AEO going
18 forward, for projections? I just don't know how these
19 weights - the underlying question that is whether or
20 not the new furnace standards which - and the new air
21 conditioner standards which go into effect during the
22 period of time before this standard would go into
23 effect, will change the annual loads you're using here
24 to derive these savings, because the minimum values
25 for both AC SEERS -

1 MR. LEKOV: Those are accounted for.

2 MR. ECKMAN: -- ... going forward basis, using
3 the AEO data.

4 MR. LEKOV: That is correct.

5 MR. ECKMAN: Okay.

6 MR. BROOKMAN: Greg. Alex, one more --

7 MR. WAGNER: I'm confused. When we look at
8 that chart you just had, you look at the condensing
9 versus the non-condensing, we see the condensing uses
10 less watts of electricity in the baseline. All the
11 way down, I guess. But on your FER data in the key
12 product classes, it's the other way around. Why would
13 there be a difference between the two?

14 MR. LEKOV: So this is energy use, kilowatt
15 hours. The FER is normalized watts per CFM.

16 MR. ROSENSTOCK: The run times are less on
17 the condensing side because they're higher efficiency.

18 MR. LEKOV: Yeah.

19 MR. WAGNER: No? I don't know how - it's
20 kilowatt hours, so you're accounting for an annual run
21 time in that, but we are accounting for run time in
22 the FER as well. I guess they're just flipped from
23 each other and so it makes - begs the question of, you
24 know, what's the FER measuring, or is it an accurate
25 reflection of what the energy use between the two

1 different blowers would be?

2 MR. BROOKMAN: So, we're due for a break.

3 It's now three o'clock. Let's see if we can do this

4 in ten minutes. And resume at 3:10, and then maybe

5 Alex and others can put their heads together and see

6 if they can unscramble this - what seems to be

7 divergent results. Okay.

8 So we're taking a break now. Everybody get

9 up, move. We're going to resume in ten.

10 (Whereupon, at 3:00 p.m., the meeting was

11 recessed for a 10 minute period.)

12 MR. BROOKMAN: I've asked Alex to pick up

13 where we left off, which he says he's in a position to

14 explain the divergence that Greg was referring to.

15 Alex.

16 MR. LEKOV: So here is the explanation.

17 We're talking about non-condensing furnace fan product

18 and condensing furnace fan product. The sample for

19 non-condensing is primary from the south where the

20 condensing includes the north. The south is dominated

21 by the cooling coil which is at high speed. So, while

22 you have a large heating coil, but lower operating

23 point. So that's kind of mathematically how you are

24 getting to this.

25 So with that now we'll go through the life-

26 cycle cost and payback period analysis. Basically we

1 have the total installed cost, have the lifetime
2 operating expenses, and applying a number of economic
3 parameters to arrive at the life-cycle cost as well as
4 the payback period. Most of you are familiar with
5 DOE's approach to the life-cycle cost analysis. The
6 primary thing here is that it's performed from the
7 consumer perspective. The analysis models, the
8 uncertainty and variability of input, using Monte Carlo
9 approach, and is implemented in the Excel spreadsheet
10 with CrystalBall software.

11 Starting with the components of the life-
12 cycle cost analysis. Consumer price, not much to say
13 here. We have manufacturer cost. For above baseline
14 standard to the markups were explained. Applying sales
15 tax, arrive at consumer price.

16 Installation cost. Installation cost for
17 furnace fans, there is not much because the furnace fan
18 product is installed in the factory as a part - it
19 becomes part of the furnace fan equipment. There is
20 one exception in this analysis for the external ECM
21 furnace fan installation, we add some for installation
22 cost primarily for check up and adjust the air flow.

23 Now the next component is you need energy
24 prices, because energy prices multiply energy use
25 you're getting the cost of energy is part of the
26 operating expenses. So in this shipments analysis we
27 are using the average marginal monthly prices, and
28 those are essentially a product of three components

1 which are the average annual energy prices, using
2 monthly price factors, and marginal price factors. So,
3 here are the sources listed for all these three
4 components using this methodology. And I could go in
5 some details. In essence, the average annual prices
6 are for 2010 from these sources. The monthly energy
7 prices are essentially the same sources, but over a 20
8 year period. And the marginal energy prices are from
9 the RECS 2005 data, it actually provides the billing
10 data for these regions.

11 MR. ROSENSTOCK: Question?

12 MR. LEKOV: Yes.

13 MR. ROSENSTOCK: Steve Rosenstock, EEI. I
14 understand this and I guess my question is again, for
15 the updated analysis, well especially for natural gas
16 since the bottom's kind of fallen in terms of natural
17 gas prices compared to four or five years ago, will
18 those projections be updated based on, I'll say either
19 AEO 2012 or other more recent forecasts?

20 MR. LEKOV: Yes.

21 MR. ROSENSTOCK: Thank you.

22 MR. LEKOV: And in line with what Steve just
23 said, here is the methodology how we calculate the
24 energy prices over the entire analysis period, and its
25 primary source is the most current version of AEO 2012.
26 So for the next round of this rulemaking, it will be
27 updated with the most current AEO data.

28 Repair and maintenance.

1 MR. BROOKMAN: These are annualized, right?

2 I'm sorry, go ahead.

3 MR. LEKOV: Yeah, they are annualized.

4 MR. BROOKMAN: Yes, Paul.

5 MR. LIN: Paul Lin. Just maybe just a
6 question, because a lot of times I look at EIA data,
7 because we try to factor in some savings calculations
8 for some of our products. But if you look at
9 California relative to the EIA data, it looks fairly
10 low. I don't know if you take it into account the tier
11 levels. As you consume more and more energy in
12 California, you get more and more charges.

13 MR. LEKOV: So the answer is it is by
14 geographical area, so we applied it by geographical
15 area, and for the next round of analysis it will be
16 even much more detailed than the 14 areas. It will be
17 27 areas because 2009 will have the RECS data and we'll
18 be able to apply that.

19 MR. LIN: But my point though is that in the
20 EIA data, I think California was like 15 or 17 cents
21 average, and I know that that's not an average consumer
22 price based on bills, because the 15 may be on the
23 early stages of the tiers, but not at the end. That's
24 where the consumer actually ends up paying. You
25 probably -

26 MR. ROSENSTOCK: Steve Rosenstock, EEI.
27 Well, if you look at the - there's only a few utilities
28 that have that sort of increasing price tiers. Most

1 utilities don't have anything like that. They have
2 seasonal pricing that will vary, but - what?
3 Congratulations. So and - even in California, it's
4 revenue divided by sales is how they come up with the
5 annualized value. California is - and Hawaii are kind
6 of at the high end. There are many other parts of the
7 country where the annualized price is like seven cents
8 for residential. And especially some of those going to
9 time-of-day pricing, some of them are getting prices as
10 low as off-peak, three cents, four cents kilowatt hour.
11 So prices are all over the map, but this again is a
12 nationalized average, which I think is what this graph
13 is showing, it's not - it's not bad at all.

14 MR. BROOKMAN: Okay. So let's -

15 MR. ROSENSTOCK: But there are going to be
16 some very regional specific, just like with natural
17 gas, there are certain parts of the country that are
18 going to be much more expensive than others.

19 MR. LEKOV: So getting into the repair and
20 maintenance part, essentially, repairs occur if the fan
21 motor lifetime is less than the furnace equipment
22 lifetime. We determined the failure year, expressed
23 essentially the motor lifetime expressing operating
24 cost, divided by the furnace fan annual operating cost,
25 the labor cost is coming from the RSMeans data and we -
26 this is essentially through the center of the sample,
27 we determine which households will encounter this
28 expense. The maintenance cost is essentially just in

1 this analysis, assumes that will be a blower checking
2 as part of regular equipment maintenance, and it
3 happened that we had a survey regarding the maintenance
4 frequency of these type of equipment and we used from
5 RSMMeans the labor hour cost.

6 MR. BROOKMAN: Charlie Stephens.

7 MR. STEPHENS: I have one question here to
8 make sure I understand the effect of your analysis
9 methodology here, which is annualized repair costs. If
10 the - I'm just going to throw out some example numbers.
11 If the furnace lifetime is say 18 years and the motor
12 failure for those that fail is 12 years, how many motor
13 replacements will I pay for?

14 MR. LEKOV: Essentially one. You have, after
15 the 12th year, another one comes.

16 MR. STEPHENS: But you're annualizing these
17 costs. Are you annualizing the next motor replacement
18 in year 13?

19 MR. LEKOV: Yes.

20 MR. STEPHENS: Then you really should not
21 annualize these costs. You need to put these costs
22 into the analysis. Because what you just told me is
23 that by the time I hit the end of the furnace lifetime,
24 I've paid for one and a half motor replacements, and
25 that's not what actually happens.

26 MR. LEKOV: No, you're paying for a whole
27 motor. This is how it's included in the analysis.

28 MR. STEPHENS: Well, are you annualizing the

1 cost, or are you imposing them in year 12?

2 MR. LEKOV: It's annualized over the period
3 with the total cost, I believe.

4 MR. STEPHENS: Well, you really need -
5 there's a difference, when you're using discount rates,
6 and depending on the discount rate the effect changes,
7 but you really need to impose those costs. You don't
8 pay those on an annual basis, you pay them when they
9 happen in the year they occur. And I've made this
10 comment before. You shouldn't be annualizing repair
11 costs that occur every 12 or 15 years. If it's every
12 one or two years, that's fine, but when you start doing
13 that and annualizing it, you actually distort the
14 analysis financially. So you really need to change
15 that part of the analysis and not annualize the repair
16 costs.

17 MR. BROOKMAN: Tom, you want to follow on?

18 MR. ECKMAN: Yes, treating it as a periodic
19 capital replacement X years out, and then it's a
20 discounted value back to the -

21 MR. LEKOV: So in the year of the
22 replacement?

23 MR. ECKMAN: Yeah.

24 MR. BROOKMAN: Good. Okay. Thank you. Yes,
25 Craig.

26 MR. MESSMER: Craig Messmer. Okay. The
27 lifetime of the motor you said is in terms of operating
28 hours, and it was based on the small motor ruling.

1 Does that differentiate the life of the motor if it's
2 an EC motor or if it's a PSC motor, because they will
3 be different? EC motors have a significantly shorter
4 life span than PFC motors.

5 MR. LEKOV: We use a distribution of more the
6 left. I don't believe that we used - that we
7 differentiated.

8 MR. BROOKMAN: So in your supportive data,
9 Craig, that would be helpful.

10 MR. MESSMER: I'm going to have to defer to
11 my compatriots here that are motor manufacturers to
12 tell us what the expected life is of these motors.

13 MR. LIN: Well, in the small motor rule,
14 that talks to cap start, cap run, cap start induction
15 run, and polyphase motors, and they're all fixed speed
16 motors. So there's no consideration in there for ECMs
17 whatsoever. So they're not in the small motor rule.

18 MR. MESSMER: Okay. So that's inappropriate
19 to use that data then. We need something else, right.

20 MR. BROOKMAN: Paul, first.

21 MR. LIN: From a specification standpoint, I
22 could be wrong, but I remember ECM motor life
23 specifications from manufacturers to be the same as a
24 PSC motor, on your specs.

25 MR. BROOKMAN: Diane.

26 MS. JAKOBS: I think that's true, but I don't
27 think that's - well, when I talk about what our actual
28 returns are and our warranty costs, that's what we ask

1 for. That's not how it's playing out.

2 MR. BROOKMAN: Dave, you're next.

3 MR. WINNINGHAM: Yeah, I would agree with
4 that, and I think the expectation is for them to be the
5 same, but I think in the real world, they're not. More
6 complex systems in our products tend to have different
7 failure rates, higher failure rates. And I think for
8 each of these technology levels you need to take that
9 into account, into your life-cycle cost, because, you
10 know, a lot of times you will have a motor and a
11 control, and they're going to replace the whole thing.
12 And we need to account for those costs accurately to
13 come to the right conclusion here.

14 MR. BROOKMAN: Diane.

15 MS. JAKOBS: I think with the PSC motor that
16 the bearings are probably the weak point, and then as
17 we add the control board to the assembly, the control
18 board with all the components and the potting (ph) and
19 all that, that that's a weak link in the device. So we
20 have a different failure mode with the high efficiency
21 motors.

22 MR. BROOKMAN: Okay. Thank you.

23 MR. LEKOV: Another important component is to
24 determine the lifetime. So, in general, it's assumed
25 that a furnace fan lifetime equals the furnace
26 equipment lifetime. For the individual product cost
27 there is a different methodology for determining the
28 equipment lifetimes, and it's based on an analysis for

1 not only the ... furnaces, it's based on the analysis
2 which were performed also for the furnace rule, and it
3 uses a combination of shipment data, REX data on the
4 age of the furnaces, and the historical HS data on the
5 stock.

6 For the mobile home and electric furnaces, we
7 use the decision ... survey, and those are the sources
8 and the methodologies used for the determination of the
9 furnace fan lifetime.

10 The average values are summarized in this
11 table for the individual product cost.

12 MR. BROOKMAN: Steve Rosenstock.

13 MR. ROSENSTOCK: Steve Rosenstock, EEI. I
14 can't remember - I'm trying to think in the - I'm just
15 kind of - and again, maybe other people - in the small
16 motor rule, I can't remember - what was the lifetime -
17 I thought it was like a 15-year lifetime for those
18 motors that were under the small motor rule.

19 MR. LEKOV: So I would just like to -
20 essentially we are talking about the entire furnace fan
21 component here, in terms of assumptions for the
22 lifetime. The failure of the motor is accounted in the
23 repair and maintenance, the right rate.

24 MR. LIN: Paul Lin. I think you just be
25 careful with taking the small motor and then cross-
26 referencing that over to an HVAC motor. The design of
27 a general purpose duty small electric motor as defined
28 by the DOE standard is much different than an HVAC

1 motor. There's different requirements and loads on
2 those motors. Diane mentioned the bearing being the
3 weakest link on most HVAC motors. It's sleeve bearing
4 on the PSC and ball bearing on the ECM. And on the
5 general purpose, small electric motor, they're all
6 larger ball bearings with, I would say, higher loads
7 and a lot of times there are different application
8 environments that may reduce the life or may increase
9 the life relative to the HVAC environment. So I think
10 drawing a comparison between the two may not be
11 accurate. The HVAC motor is an air-cooled rated motor,
12 whereas the small electric motor is not. So there's a
13 big difference between the two.

14 MR. BROOKMAN: Okay. Steve.

15 MR. ROSENSTOCK: Steve Rosenstock. Yeah,
16 again, thank you for that. Just kind of following on,
17 so you would say that the HVAC motors would tend to
18 have a longer life based on the operating conditions?

19 MR. LIN: I think the HVAC motors have a more
20 benign environment versus the small electric motors.

21 MR. ROSENSTOCK: Okay. Thank you.

22 MR. BROOKMAN: And would you say, looking at
23 this table that this is an accurate reflection?

24 MR. LIN: Paul Lin. This table here is
25 referring to the appliance equipment.

26 MR. BROOKMAN: Yeah.

27 MR. LIN: Is not referring to the life of the
28 motor, so I can't fault the distinction between the

1 two.

2 MR. BROOKMAN: So we can - go ahead. Diane.

3 MS. JAKOBS: Diane again. Yes, I think this
4 reflects the life of our furnaces, and especially, you
5 know, after 15 years, you have to change the motor out,
6 you're good to go for another ten years or more.

7 MR. BROOKMAN: Okay. So this winter I could
8 be in trouble, right? Go ahead, Craig.

9 MR. MESSMER: Is this slide saying that the
10 furnace fan is the life of the unit?

11 MR. LEKOV: The furnace as a whole analysis
12 in terms as it's a unit in the analysis, the furnace
13 fan product equals the life of the equipment.

14 MR. MESSMER: Okay. They typically get
15 replaced when the motor gets replaced?

16 MR. LEKOV: Correct.

17 MR. MESSMER: So -

18 MR. LEKOV: Oh, that's a comment.

19 MR. MESSMER: They change out both parts at
20 the same time.

21 MR. BROOKMAN: Okay. Diane.

22 MS. JAKOBS: So you're saying when you get a
23 new furnace, you don't keep your furnace fan because it
24 has some life left in it, you're done with it when you
25 replace your whole furnace system.

26 MR. LEKOV: That's correct.

27 MR. BROOKMAN: Okay. Dave.

28 MR. WINNINGHAM: And just back to the life

1 issue. The motor side of it can be one thing, but how
2 a manufacturer applies it - and some manufacturers may
3 choose to be more aggressive than others and to the
4 operating window that they're placing that motor in.
5 So I don't think that just a generic statement around,
6 you know, the expected life of an HVAC motor is, you
7 know, from the suppliers is X because in most cases
8 we're specifying to them what we need from them for
9 performance and we kind of choose where we're going to
10 operate it in regard to temperature rise and bearing
11 temperatures.

12 MR. BROOKMAN: Okay.

13 MR. LEKOV: So, DOE uses discount rates to
14 determine the lifetime of the operating expenses for
15 the product, and the methodology is to derive those
16 discount rates from estimates of the finance cost to
17 purchase a residential product from the large federal
18 reserve board survey of consumer finances. The sources
19 at the last bullet. There are actually a number of
20 surveys, each of them contain 200,000 data points, and
21 the finance cost is essentially represented as the
22 financial cost of any debt incurred to purchase the
23 product or as an opportunity cost.

24 Now, here essentially, the interest rates
25 that are encountered in both new construction and
26 replacement, I will repeat - this is a question -
27 those are real interest rates. They account for the
28 inflation. In essence it's when people ask how we

1 compare with the current one, you add three,
2 approximate.

3 MR. BROOKMAN: Steve.

4 MR. ROSENSTOCK: Steve Rosenstock, EEI. So,
5 the - for the mortgage, it's basically assuming that
6 it's a real rate of three percent, but the nominal rate
7 of six percent. Is that a good way of kind of looking
8 backwards over the last, I'd say, 20-plus years.

9 MR. LEKOV: '89 through 2007, about 200,000
10 data points. And I guess the issue with replacements,
11 again, there's no data from 2010. I know it would be a
12 real interest rate of - a nominal interest rate of
13 about eight percent. Looking back over 20 years, that
14 might be a little on the low side, just because
15 interest rates were a lot higher in the late 80s, early
16 90s. So, again, it's kind of in the weeds, but again -
17 and especially in terms of replacement, especially
18 after the recession, I have no idea how more people are
19 financing the replacements but it's much harder - I
20 think it's probably much harder for a lot of people to
21 get loans or home equity loans than it was just seven
22 years ago, so that might also push up the real rates as
23 well.

24 MR. BROOKMAN: Other comments on discount
25 rates?

26 MR. LEKOV: Product assignment in the base
27 case. Base case product efficiency assignment reflects
28 the projected market share of products at different

1 efficiency levels, and it reflects the fact that not
2 all consumers purchase products at the current minimum
3 standard, as well as the LCC recognizes that the
4 consumers already purchase products at efficiency
5 greater than or equal to projected standard level. So
6 they are not impacted by the standard.

7 The approach taken is - the sources for the
8 methodology are explained here in the bullets.
9 Basically, we're using historical data that comes from
10 sales of furnace by efficiency and by product class
11 which is not available, so we use stakeholder comments
12 from the furnace rule which stated that the ECM share
13 rose from ten to 30 percent within the last five years.
14 Just for the PSC product classes, there was no data, so
15 it was assumed that 50 percent are at the baseline
16 level and 50 percent are at improved PSC motors, and
17 there are no designs representing PSC with controls.

18 Regarding the market share projections for
19 the ECM motors. So if it's done based on the fraction
20 of motors - fraction of equipment with ECM motors in
21 the current directories, which is 45 percent in 2010,
22 we assume that this fraction of 45 percent will
23 actually meet the market share in 2080. And the market
24 share in replacement versus new construction was
25 determined from Canadian survey.

26 MR. BROOKMAN: Diane.

27 MS. JAKOBS: I know in 2010 public meeting I
28 said that 30 percent of our sales were going to ECMs,

1 and back then when we had, I don't know, tax rebate it
2 was called, and we're all geared up, you know,
3 everybody's going high efficiency, and last year it all
4 turned back around and everybody wants to buy the
5 bottom. So you don't have that graph, but it's in
6 here, you know, where it shows this big bleep, and then
7 you go up from there. We've actually come way back
8 down. And I don't know where it's going to be. We're
9 kind of focused on the lower end of our offering
10 because that seems to be where we need to be
11 competitive.

12 MR. BROOKMAN: It's come all the way back
13 down to where it was? Wow. Dave.

14 MR. WINNINGHAM: Yeah, I don't have the data
15 specific, but it has - it is turned more complete down.

16 MR. BROOKMAN: Okay.

17 MR. LEKOV: So I assume it's also at the
18 comments right now. And here are the life-cycle cost
19 and payback analysis report from DOE's preliminary
20 analysis for the furnace fan products.

21 MR. BROOKMAN: Craig.

22 MR. MESSMER: It's Craig Messmer. I didn't
23 read all the way through the technical document, but
24 the lifetime operating cost includes the cost of the
25 repair, the replacement of the motor as well? The
26 average lifetime operating cost?

27 MR. LEKOV: As part of the operating expense.

28 MR. MESSMER: Well, somebody's getting a good

1 deal. Thank you.

2 MR. BROOKMAN: Well, I mean - Craig, you
3 should feel free to offer you additional thoughts on
4 this, how this could be improved.

5 MR. MESSMER: I mean, replace an EC motor, I
6 mean I've seen prices in contractors that charge
7 customers over \$5-600 dollars sometimes, and this is
8 already \$800 for the average lifetime, operating cost
9 for the whole unit. So if you replace that motor one
10 time, you have nothing left for the electricity for the
11 whole use. So I'm not - you don't really say what the
12 repair costs are, do you?

13 MR. LEKOV: I don't think it's listed here,
14 but it's in the TSD.

15 MR. MESSMER: Okay. I'll have to take a look
16 at that more carefully, because I think it may be
17 under-reported.

18 MR. BROOKMAN: Charlie Stephens.

19 MR. STEPHENS: Charlie Stephens. Yeah, I
20 think you've got to remember this is all rolled up into
21 one number. Not everyone out there got repaired. So
22 the overall number of homes that had a motor replaced
23 might be three percent or four percent or something of
24 the total. So, when I weight that in the costs, it's
25 not \$500 bucks, it's not even \$100 dollars, it's
26 probably more like \$45 dollars or something because
27 it's only a fraction of the homes that actually had to
28 replace a motor. So this is a very rolled-up set of

1 numbers. And it's more like an expected value in a
2 distribution, really.

3 MR. BROOKMAN: I saw Dave first.

4 MR. WINNINGHAM: Well, just to echo what
5 Craig had mentioned. I think the markup in the after
6 market for replacement parts, you know, after the
7 warranty period is much, much higher than what you
8 would find for an OEM. That combined with the
9 difference in failure rates, I think we need to be
10 careful that we include a realistic view of that in
11 these life-cycle cost.

12 MR. BROOKMAN: Okay. Thank you. Steve.

13 MR. ROSENSTOCK: Steve Rosenstock, EEI. It
14 might be - and again, I think I'm going to agree,
15 because if you take a look between three and four, in a
16 previous slide, the savings were about the same, 290
17 versus 265 kilowatt hours, but life-cycle cost changes
18 between three and four are quite dramatic, both because
19 of initial cost and lowered reduced lifetime energy
20 savings, plus, probably, some of the repair costs. So
21 go from a five year payback to a 22 year payback,
22 something's going on there.

23 MR. BROOKMAN: Paul.

24 MR. LIN: Paul Lin. Just wanted to comment
25 because I've heard some of our OEMs talk about
26 replacement of the whole ECM. We spend a tremendous
27 amount of energy and time educating the contractor base
28 that - of how to diagnose between a control failure

1 versus a motor failure. So we offer control only
2 replacement, as well as a motor only replacement, to
3 try to tackle the total cost of install. So it's not -
4 so after the markup, it's not the whole motor. It's
5 hopefully a smaller portion of the cost than what it
6 used to be.

7 MR. BROOKMAN: Okay. Tom Eckman.

8 MR. ECKMAN: I have a question, this is to
9 the manufacturers and motor manufacturers, both,
10 whether the X13 type technology suffers the same fate
11 because it has a control board too. Is it a higher
12 frequency replacement item than the ECM? And is it
13 like the ECM in terms of magnitude, that it's double
14 your PSCs?

15 MR. BROOKMAN: Diane.

16 MS. JAKOBS: Just this specific point in
17 time, X13s are more of a problem for us this month than
18 ECMs. But they're newer, so I don't know that that
19 reflects on the technology. It's both. When I was
20 talking about double, we were talking about -

21 MR. LIN: Both X13s and ECMs.

22 MS. JAKOBS: Yes.

23 MR. BROOKMAN: Dave, you want to weigh in
24 here?

25 MR. WINNINGHAM: Yeah, I think, you know,
26 looking at the various technologies and looking at what
27 the real world failure rates from various manufacturers
28 would be a good exercise. We're not here to say it's

1 poor motor designs, but we do see higher ORT (ph) rates
2 and failure rates in the field of more technical
3 products.

4 MR. BROOKMAN: Okay. Terry Small, I see
5 you've raised your hand. You're next.

6 MR. SMALL: Terry Small with Mortex. I think
7 this just proves that the consumer might know something
8 that we don't know. I really think that choice three,
9 the X13, the payback period from our experience of what
10 we're paying for the motors is going to be much lower,
11 you know, it might be eight or ten years. And I'm not
12 sure that's an acceptable payback period when you
13 consider you're making some generous assumptions about
14 discount rates, et cetera. So, maybe the consumer
15 actually is voting on an economic basis when they're
16 tending to stick with PSC motors. It's my opinion.

17 MR. BROOKMAN: Okay. Thank you. Final
18 comments on this chart. Noting that you have plenty of
19 time to write copious comments and send them in.

20 MR. LEKOV: So DOE invites comments and
21 recommendations regarding overall life-cycle cost
22 analysis.

23 MR. BROOKMAN: Joanna, you have a question?

24 MS. MAUER: Why was 2018 chosen as the first
25 year of the analysis period?

26 MR. LEKOV: That's the five year period after
27 the final rule.

28 MS. MAUER: And why is the assumption that

1 the standard would have gone into effect five years
2 after the final rule?

3 MR. ROSENSTOCK: That's typical. Steve
4 Rosenstock, EEI. That's typical for motors, five year
5 lead time.

6 MS. MAUER: This is on furnace fans, so I'm
7 asking about furnace fans.

8 PARTICIPANT: (comment off mic)

9 MS. MAUER: So again, this is not furnace,
10 the furnace rulemaking, but a furnace fan rulemaking.

11 MR. BROOKMAN: And we can accept an affidavit
12 on that point.

13 **National Impact Analysis, Shipments Analysis**

14 MR. LEKOV: We discussed the consumer, let's
15 now focus on the nation. The national impact analysis
16 has shipments and - shipments component and national
17 impact analysis component. So, the national impact
18 analysis, we need an estimate for the national energy
19 savings as well as the national economic impacts, which
20 are presented in terms of NPVs.

21 Now, here is the process. Essentially,
22 starting with some inputs which come from the life-
23 cycle cost -- primarily from the life-cycle cost
24 analysis and the results from the shipments model,
25 we're going into the calculation process to determine
26 the national energy savings and national consumer
27 economic impacts. And after that, those are reported
28 in terms of quads and net present value by estimating

1 the savings over the period, 2018 and 2047, and same
2 for the NPV calculations for the products.

3 Starting with the shipments analysis. The
4 shipments projections are done by markets. Three
5 markets are identified for the furnace fan products:
6 New construction, replacement, new owners. The new
7 constructions are coming from new housing construction
8 projections and historical market share. The
9 replacements are using the product lifetime applied to
10 the product stock. There is a market segment called
11 new owners, this is for the existing buildings that
12 acquire furnaces or furnace fans for the first time,
13 and it's in this particular market to include also
14 consumers that switch between the furnace fan product
15 classes.

16 In addition, the projected shipment inputs
17 are done separately by region, north and south, and in
18 accounting for impacts of standard levels, the
19 shipments are adjusted using the price LCC. And I'll
20 be talking in more details during the next several
21 slides.

22 Now, same thing here what I just said
23 verbally, it's presented on this graphic.

24 Now, shipments model input. Very busy slide,
25 but essentially includes all the information if you
26 want to read it. What are the sources for the
27 historical shipments? What's happened in the
28 replacement shipments? Shipment sources for the

1 shipments to new housing. We're talking also about how
2 we develop the so-called new owners, and I was pointing
3 to the source of calculation of condensing and non-
4 condensing market shares.

5 MS. JAKOBS: Can I ask a question?

6 MR. BROOKMAN: Yes, Diane.

7 MS. JAKOBS: So I'm looking ahead at the
8 graphs, but -

9 MR. LEKOV: Which one? The shipments model
10 results?

11 MS. JAKOBS: Yeah, the historical one, that
12 looks familiar. And the next one, though - so the next
13 one, you're kind of assuming we're going to go back to
14 1992 and just go back on our old trajectory, which I
15 really wish would happen. So part of your analysis -
16 you're so detailed - but are there housing projections?
17 I mean there are a lot of houses that have been
18 foreclosed on, and they're not - no one's living there
19 any more. All that -- is a housing stock expected to
20 go back to where it used to be.

21 MR. LEKOV: So the slides here, the model
22 explains how we arrived. Those are all those details
23 of the shipments model that utilize the sources listed
24 here to arrive at this conclusion.

25 MS. JAKOBS: But you don't really talk about
26 how many houses there are that are going to need this
27 equipment, and that might -

28 MR. LEKOV: No, in fact, that's an accounting

1 which is done exactly this way within the spreadsheet.
2 That's published on the DOE website.

3 MR. BROOKMAN: Charlie.

4 MR. STEPHENS: Alex, I can tell by looking at
5 your graph there and knowing what your furnace
6 lifetimes are, that there's something wrong with your
7 model already because when you see a 50 percent or
8 nearly 50 percent drop in 2008 shipments, which I think
9 most of us know was due to housing start failure, there
10 should be an echo of that about one furnace lifetime
11 later, and there's not even a tiny ripple in your
12 projections out there. All those houses that didn't
13 get built, that didn't get new furnaces, aren't going
14 to get replacement furnaces either. So I don't know
15 where that echo is, but there should be one there.

16 MR. LEKOV: So this reflects essentially the
17 AEO's projection of the new housing start projection.
18 So this is what it is.

19 MR. STEPHENS: This is all shipments, right?

20 MR. LEKOV: Correct.

21 MR. STEPHENS: Including replacements?

22 MR. LEKOV: Including replacements.

23 MR. STEPHENS: There should be an echo of
24 what you're seeing on the left there. If I play out
25 your furnace lifetimes, you know, there should be an
26 echo of that somewhere, and it's not there. So I don't
27 know where your model went wrong.

28 The other thing is that I've got a bunch of

1 houses that are being built for me right now in a pilot
2 program that aren't going to use any air handlers or
3 ducted systems because they're design space heating
4 loads are between 12 and 15,000 BTU per hour. So this
5 is a trend - the codes are going there, and there
6 aren't any furnaces, ducted systems that are small
7 enough for these houses, and so the people who are
8 building these houses are using other means. And I
9 think it's a trend that you need to pay attention to,
10 because by the time you get out 20 years from where we
11 are now, which is way less than 20 years from the time
12 this takes effect, 2018, things will have moved to the
13 point where, unless we reinvent the air handler and the
14 furnace, I don't know that you're going to maintain
15 anything that looks like an increase here.

16 And I don't - I'm not going to say anything
17 about AEO, but the fact is that the trends in the
18 marketplace that we're seeing, and that in part, my
19 organization is actually driving, suggests that any
20 increase out there is probably ill-advised in your
21 projections.

22 MR. BROOKMAN: Steve.

23 MR. ROSENSTOCK: Steve Rosenstock, EEI. You
24 always have to make a projection and I think that I
25 would say that this numbers look a little ambitious for
26 a couple of reasons. Number one, the era especially
27 from 2000 to 2007, was the housing bubble and new homes
28 were being built at a rate like - single family homes,

1 about 1.2, 1.4 million per year. And the latest
2 numbers that I saw in terms of houses built are about
3 600,000, and I think that might even include multi-
4 family as well as single family. And new home sales,
5 single family home sales were - well, they jumped up to
6 all of 350,000 on a seasonally adjusted average. So I
7 don't know how long it will take. It might be much
8 more of gradual slope than what's being shown here,
9 that there's going to be some sort of explosion
10 starting in like 2013 or so. And the 2009, 2010 and
11 even maybe some of the other numbers were helped by
12 federal tax incentives that disappeared. I believe
13 they expired at the end of 2011 or 2010, I can't
14 remember - no, 2010, that was when the rush was. They
15 were in effect from 2009 to 2010. So again, there's -
16 again, I'm trying to - I know it's AEO, but I don't
17 know what economic factors are going to lead to this
18 explosion of shipments back to where it was in - during
19 the housing bubble. Again, this is just personal
20 opinion that that I think that rise is going to be much
21 more gradual than what's being shown here. Again,
22 thank you.

23 MR. BROOKMAN: Yes.

24 PARTICIPANT: I think another thing you're
25 seeing evidence of here, and that bled over from the
26 2006 minimum efficiency increases, particularly on the
27 air conditioning and heat pump side, is that people
28 chose to repair instead of replace. And I think that

1 is still an ongoing trend, and as we look at rules that
2 potentially put into place more expensive equipment,
3 that trend could possibly continue and actually be a
4 detriment to seeing increased energy savings by people
5 being able to afford newer higher efficiency equipment.

6 MR. BROOKMAN: Okay. Thank you. Greg.

7 MR. WAGNER: I would echo that, that you do
8 see more replacement parts being sold. Also if you
9 would look at the use of room air conditioners, those
10 sales have continued to increase. So people are
11 finding other alternatives to the expensive options of
12 new equipment.

13 MR. LEKOV: Are there any observations
14 regarding heating equipment?

15 MR. WAGNER: The repair, again, they're doing
16 what they can to repair.

17 MR. LEKOV: Repair is in essence, a delay.

18 MR. WAGNER: A delay, correct. Replace
19 components. Parts.

20 MR. BROOKMAN: Okay. Thank you. Yes, Alex.

21 MR. BOESENBERG: Alex Boesenberg, NEMA. For
22 what it's worth, there are some comments in the
23 distribution transformers rulemaking that are very
24 similar in that the - some of the proposed increased
25 efficiencies, utilities directly stated they would
26 repair existing units to old efficiency levels rather
27 than buy new. So there's other industries with the
28 exact same trend, largely owing to the economy and

1 first price cost - first purchase cost, whatever you
2 call that.

3 MR. BROOKMAN: We kind of moved very quickly
4 over the first slide, the precursor slide, the inputs.
5 If that's okay, that's great, and we move to the
6 graphics. Additional comments on all of those, and
7 maybe you can keep going, Alex, talk about the line
8 graph.

9 MR. LEKOV: So basically this is the outcome
10 of the shipments model. Here shows the baseline - this
11 is essentially a line from the previous chart, and
12 shows the standard cases, and as here, ... there is a, in
13 case of higher cost, we're seeing a drop in the
14 purchases, and delay, essentially, which is a little
15 bit further.

16 MR. BROOKMAN: Yes, Diane.

17 MS. JAKOBS: If you just look at like the
18 foreseeable - I mean, it starts at 2015, so like 2016,
19 2017, they're going to go up at an amazing rate, which
20 will be good, and then - I wish this was true. I would
21 echo Steve's comments. It's so hard because it's been
22 so erratic, and we have - even if you look at the slide
23 before, we had all this - a whole bunch of sales, and
24 those furnaces are going to wear out. So maybe it's
25 going to be compounded, but just like this dip is going
26 to be echoed in 15 years, I can see it's really hard to
27 make this assumption, and this seems to be very
28 aggressive.

1 MR. BROOKMAN: Thank you.

2 MR. LEKOV: So, from here we have the
3 shipments results. We're going to calculate the
4 national impacts, and here are the inputs that go into
5 the national impact analysis. Annual energy
6 consumption per unit, this is from the life-cycle cost
7 analysis. Shipments, from the model just described.
8 The equipment stock from uses annual shipments and the
9 lifetime of the product. And the national annual
10 energy consumption is essentially a product of the
11 annual energy consumption and the equipment stock.

12 Here it's important to say that DOE actually
13 applied a rebound impact for this product, thus
14 reducing the economic national economic benefits, and
15 those came from the - they are based on the 2009
16 Wisconsin study. They were applied- somewhat
17 differently to the north and south. And in addition to
18 this, the national impact analysis using .. source
19 conversion factors for converting the ... energy
20 consumption into primary or source energy consumption,
21 and those are from NEMS (ph)

22 In this case, DOE particularly requests
23 comments on the values used to characterize the rebound
24 effect.

25 MR. BROOKMAN: Steve Rosenstock.

26 MR. ROSENSTOCK: Steve Rosenstock, EEI.
27 Again, I don't know if I'm sure that study is
28 available, but in terms of that field study, there was

1 a state standard requiring ECM furnace fans, is that
2 what I'm reading?

3 MR. LEKOV: No, it's based - actually the
4 study did a targeted replacement of furnace fans with -
5 furnaces with PEC to ECM models, and they over a period
6 of time, they calculated how people are using a
7 constant ventilation, constant circulation. And they
8 found that it's quite significantly more people are
9 using constant ventilation.

10 MR. ROSENSTOCK: So, but those are replacing
11 the furnace, not just the furnace fan in those cases,
12 is that correct? Again, it's a component system thing
13 again, because I think that's going to play a big role
14 in terms of - my opinion - it'll play a big role in the
15 rebound effect.

16 MR. LEKOV: My understanding is they're
17 replacing the entire equipment.

18 MR. ROSENSTOCK: The entire furnace, okay.
19 Two comments. Again, we're just looking at this
20 component. I'd be very surprised to see rebound
21 effects that high because you have the same furnace.
22 If and some - you're just looking at the component,
23 you're just replacing the fan, you're not replacing the
24 rest of the furnace for some reason, again, just
25 looking at the fan as a component, because that's what
26 this analysis is about, the furnace efficiency is the
27 same. The thermostat settings are the same. I don't
28 see how much of a rebound effect you're going to get

1 because in many people's eyes, you may or may not get
2 that much energy savings. You replace a furnace, I
3 think some of these rebound effects might be available
4 because, again, people might think oh, I've got a much
5 more efficient furnace, I can raise the thermostat a
6 little bit. So I think if we're just looking at the
7 fan, especially I think a 20 percent number might be a
8 little on the high side. I don't know about the 10
9 percent, but, and again, but if you're assuming -
10 again, just for the fan, those numbers might be high,
11 but if it's the whole furnace, 20 percent might still
12 be a little on the high side, but again, that's just my
13 thoughts on that. Again, it's all a matter of how
14 we're looking at this analysis.

15 MR. BROOKMAN: Mohammed.

16 MR. KHAN: Mohammed Khan, DOE. I just want
17 to point out that if you're in the constant circulation
18 mode, only, so you're just running the fan that's in
19 the furnace or AC unit or air handler, whatever you
20 want to call it, you're not heating or cooling. You're
21 just moving air. So I would think it wouldn't matter.

22 MR. BROOKMAN: Charlie Stephens.

23 MR. STEPHENS: Charlie Stephens. I mentioned
24 this earlier and I don't want to go into it in great
25 depth, we're running late, but you're not just moving
26 air. You're filtering air. And you're going to say in
27 a lot of cases I don't know whether there's a
28 correlation or a causation here. I don't know. I'm

1 not convinced that people are doing this because they
2 bought an ECM equipped furnace, or because the
3 contractor sold them a great electronic filter system
4 and promised them really good indoor air quality if
5 only they added another \$500 bucks to the job, and I
6 don't know whether it mattered what kind of furnace
7 they put in or not. But I know that every time I've
8 had interaction with these contractors and people who
9 have, there has been an attempt to upsell a filtration
10 system, and it almost always comes with circulation
11 attached. And the other piece is ventilation. There
12 is ventilation going on here, and they are sometimes
13 using this in a ducted system. They're using the air
14 handler to distribute the fresh air that they bring in
15 on the return side.

16 So that's a trend and you can't ignore these
17 things because they're going on. But I don't think you
18 can attribute it as rebound effect to the choice of an
19 ECM motor. If you require ventilation because the code
20 says you have to have ventilation and you choose this
21 inlet fresh air to do it, it doesn't matter what
22 furnace you picked, or what the motor is, you're going
23 to have to run it so many hours a day, regardless of
24 what's in there. So then you save a little energy if
25 you pick the more efficient fan.

26 But, you know, the fact is, to really apply
27 rebound effect, there has to be a cause and effect, and
28 I'm not convinced that these things are related. The

1 choice of an ECM motor results in more circulation
2 time.

3 MR. BROOKMAN: Diane.

4 MS. JAKOBS: I read this paper a long time
5 ago, and I'm from Chicago, and I'm close to Wisconsin.
6 But my impression from reading it was more that during
7 the shoulder months, that people open the window and
8 run their circulation fan to distribute the air. So
9 it's not necessarily a filtering, that it was just to
10 distribute the air within the house. And it seemed
11 like it was a pretty good study, that there was a
12 significant reason for where they went from PSC to ECM,
13 and it seemed like a good study.

14 MR. BROOKMAN: Okay. Thank you.

15 MR. LEKOV: So, here is an illustration of
16 how the ECM market share, in the absence of standards,
17 was calculated. It reflects the two, the ten percent
18 and the 30 percent point, and 45 percent in 2018.

19 MR. BROOKMAN: Go ahead, Diane.

20 MS. JAKOBS: So in your curve there, I would
21 go back down to 15 percent in 2011, and see what that
22 does to your curve. It would probably make it go way
23 up, right. But - there was a significant event when
24 the tax rebates ended.

25 MR. LEKOV: So more data points would be
26 appreciated.

27 MR. BROOKMAN: Okay. Thank you.

28 **National Energy Savings and Net Present Value**

1 MR. LEKOV: So, I'll go directly to the -
2 those are the national energy savings for the product
3 classes based on the preliminary analysis.

4 MR. BROOKMAN: Joanna.

5 MS. MAUER: Joanna Mauer. In the TSD there
6 is some discussion of double counting of cooling
7 savings. Is that relevant to the scope that's included
8 in the preliminary analysis, the issue of potential
9 double counting of energy savings?

10 MR. LEKOV: The scope was discussed this
11 morning, and the equipment that includes -- some
12 furnace fan equipment is not considered in this
13 rulemaking, and it was listed on one of the first
14 slides this morning.

15 MS. MAUER: And is that equipment that's
16 excluded where potential issue of double counting would
17 come in, not for the equipment that has been included
18 in the scope.

19 MR. BROOKMAN: Let's hear from Sam Jasinski.

20 MR. JASINSKI: So one of the key product
21 classes, weatherized gas furnaces, actually includes
22 the central air conditioner component, so it does have
23 a SEER rating, so that one would be subject to the CAC
24 rulemaking, and that is where - an example of where
25 this double counting may occur, and has to be
26 considered in the energy savings.

27 MR. BROOKMAN: So for those of us that don't
28 know, what is double jumping?

1 MR. JASINSKI: Double counting is -

2 MR. BROOKMAN: Oh, double counting.

3 MR. JASINSKI: Yes. Essentially the SEER
4 rating used for CAC and heat pump products does
5 consider the fan electricity consumption to a certain
6 degree, so Alex can explain in more detail, but
7 measures were taken to be sure that any savings
8 attributable to the SEER standard would not double
9 counted in these numbers.

10 MR. BROOKMAN: Got you. Okay. I obviously
11 mis-heard the term. Okay. Other - so there's a lot
12 of content here in these two slides. Comments on what
13 you see here.

14 MR. LEKOV: So those are the results on the
15 national energy savings and the net present value.
16 They are listed in the technical support document
17 also.

18 MR. ROSENSTOCK: And Doug, just real quick.
19 This is Steve Rosenstock, EEI. This is 2018 to 2048?

20 MR. LEKOV: Correct.

21 MR. ROSENSTOCK: Thank you.

22 MR. BROOKMAN: Thank you, Steve. Greg.

23 MR. WAGNER: So if I'm reading this right, I
24 look at column three and four, going from an X13 to an
25 ECM, we save less energy?

1 MR. LEKOV: Over the analysis period,
2 depending on the product class. So looking at the
3 three and four, X13 versus ECM, product classes are
4 listed on the left side, you compare the values next
5 to each other.

6 MR. WAGNER: This is energy savings in
7 quads?

8 MR. LEKOV: Correct.

9 MR. WAGNER: I guess I'm -

10 MR. BROOKMAN: Dave.

11 MR. WINNINGHAM: I think this points to a
12 disconnect back to our summary results page, where
13 earlier we had shown the EL levels and the approximate
14 savings for X13 of 45 percent, and 59 percent for the
15 ECM, where your results page showed for non-
16 weatherized, non-condensing showed a 35 percent
17 savings for X13, and only a 33 percent savings for ECM
18 plus multi-stage. So, I guess I am very concerned
19 that the EL levels shown as a percentage don't align
20 with the data that has been presented. They have
21 taken them to the extreme edge of a single category.

22 MR. WAGNER: And this is Greg. And the same
23 thing holds for the next column, column four to column
24 five. That's nowhere near that ten percent level that
25 was talked about earlier for that technology. So how

1 did that go from ten to 30? Or 50 on say, NWGC?

2 MR. LEKOV: For which product class?

3 MR. WAGNER: Non-weatherized gas condensing,
4 column four to column five. It's about 50 percent
5 jump.

6 MR. LEKOV: Between the ECM and the ECM with
7 backward impeller?

8 MR. WAGNER: Yeah. I'm guessing, and I
9 don't know how these were derived, but there's some
10 kind of glitch in this modeling? These numbers don't
11 match up with those EL levels that Dave was just
12 talking about.

13 MR. BROOKMAN: Okay. While he's searching
14 there, Jim Vershaw, you're next.

15 MR. VERSHAW: Okay. Jim Vershaw, Ingersoll
16 Rand. Based on the conversation on the projected
17 shipments, doesn't discussion about these numbers
18 become mute? If those numbers were wrong, doesn't it
19 change all these numbers?

20 MR. BROOKMAN: Jim, several individuals in
21 the room are nodding their heads in sympathy. So
22 thank you for the comment.

23 MR. VERSHAW: And -- okay.

24 MR. BROOKMAN: Additional thoughts or
25 comments on these two very busy tables? Nothing

1 additional? Okay. Yes. Diane.

2 MS. JAKOBS: So this table - is it saying
3 that -

4 MR. BROOKMAN: Which one, Diane?

5 MS. JAKOBS: I'm sorry, net present value
6 results. If the interest rates go up to seven percent
7 from current three percent that the savings will be
8 negative?

9 MR. LEKOV: So remember that one-year change
10 in the interest rate is not going to impact the
11 distributions for the interest rate is over a 20 year
12 period.

13 MR. ECKMAN: This is just the discounting of
14 the values, right, according to federal requirements,
15 either three or seven, so you're just following OEM -
16 OMB. Get the right.

17 MR. BROOKMAN: Tom, state it again.

18 MR. LEKOV: Talking here about the discount
19 rates?

20 MR. ECKMAN: Yeah.

21 MR. LEKOV: Okay. Yeah, those usually DOE
22 presents two cases at three and seven percent. That's
23 just the options here. And both of them are used when
24 a selection is made, when the potential standard
25 levels are considered, both of those values are used.

1 MS. JAKOBS: So does negative mean you're
2 not saving money?

3 MR. LEKOV: Correct.

4 MR. BROOKMAN: And Greg, go ahead.

5 MR. WAGNER: And these are based upon the
6 previous slide, the quads saved and the projected
7 increase in sales combined?

8 MR. LEKOV: It's not the savings, it's the
9 economic impact nationally, on all consumers.

10 MR. WAGNER: Okay. We're going to be going
11 back and revisiting these things, looking at those
12 growth rates, as well as the projected numbers?

13 MR. LEKOV: No, those three and seven
14 percent -

15 MR. WAGNER: No, not the discount rates,
16 those are the numbers you use. But the other
17 projection numbers, is this going to be rerun? Taking
18 a look at these anomalies that are going on here?

19 MR. LEKOV: So DOE will utilize all and any
20 inputs that -- we'll consider all and any inputs that
21 are coming from the interested parties.

22 MR. BROOKMAN: Yes, Paul.

23 MR. LIN: Paul Lin. I just want to clarify
24 slide 105, page 105, your subsection of ECM market
25 share. That is assuming that there is no, just

1 natural progressing in the market, that there is no
2 mandate to move towards an ECM, correct?

3 MR. LEKOV: That's the base case, correct.

4 MR. BROOKMAN: Yes, Tom.

5 MR. ECKMAN: Not to add a lot of work, but I
6 think part of the confusion in folks' mind as we go
7 through this is that we have a rolling up of multiple
8 cases here that is strongly influenced by the location
9 of the equipment, and by the association of that
10 equipment with these product classes. So some are
11 cooling, some are heating and cooling, and some are
12 just primarily heating. And so the benefits are
13 different by candidate standard level based on whether
14 it's a cooling piece of equipment or a non-cooling
15 piece of equipment. And so these can look really
16 weird when you see a summary because the population
17 behind each one of those is really different.

18 So it may be useful if we see some of the
19 geographic distributions. So we know that this is
20 representing the south and the southwest. This is
21 representing the north and the north - because when
22 you look at these, they don't make a lot of sense
23 intuitively because you're getting these weights
24 together, and the population is migrating to the south
25 and the southwest where there's more cooling, so the

1 benefits for cooling get larger for some technologies
2 than for others. So I'm just - it's kind of a mind
3 warp to look at this and make intuitive sense out of
4 it when you know that the impacts are different by
5 candidate standard level because they have either
6 larger cooling benefits than their adjoining
7 companion.

8 MR. LEKOV: In the past, DOE responded to
9 interested parties request for such scenario.

10 MR. ECKMAN: Yeah, I'm not so much
11 interested in scenarios, but seeing some of the
12 derivation of the - the precursor tables before these
13 that show - that can tell us that this is a product
14 that has really - its location is in the cooling
15 climates. We had that one table where we had
16 condensing, non-condensing, but this is just a
17 manifestation of that, where you could look at it side
18 by side, and some of these are bigger than the
19 adjoining number - gets larger because it's in a
20 cooling climate than the preceding candidate standard
21 level which should be more efficient, but they're -
22 I'm not being real clear here but -

23 MR. LEKOV: No, I understand.

24 MR. ECKMAN: It's just hard to - the
25 generalization that the national level makes less

1 sense than it does at the regional level.

2 MR. BROOKMAN: Right. Okay.

3 MR. LEKOV: But on the other hand also, just
4 remember that there is no original standard for
5 furnace fan products. So the results need to be
6 presented also as a whole. What you're asking is for
7 more information -

8 MR. ECKMAN: Just in order to interpret
9 them, seeing the sub-national level gives - it's
10 easier to grasp what I'm looking at because I know
11 there's a difference in technology here.

12 MR. BROOKMAN: Let's move on.

13 MR. LEKOV: So, this is an additional point,
14 relating to some analysis that DOE performed. In
15 2011, DOE published a notice of policy stating
16 intention to incorporate full fuel cycle metric into
17 the cost benefits analysis. In essence, an additional
18 multiplier or conversion factor is applied to the
19 energy savings associated with either primary fuels
20 used by the product and for these particular products,
21 this methodology was applied, and results similar to
22 these previous two tables that you saw, but including
23 the full fuel cycle of impacts are presented in the
24 technical support document.

25 MR. ROSENSTOCK: Comment?

1 MR. BROOKMAN: Please, Steve.

2 MR. ROSENSTOCK: Steve Rosenstock, Edison
3 Electric Institute. We will make written comments,
4 but we're very - we think that there are significant
5 problems with doing the full fuel cycle analysis. The
6 numbers shown in the technical support document refer
7 to a paper that was published elsewhere, so there was
8 the methodology and the results, but there is no
9 information about the actual derivation of the values
10 shown in the table. And I think there are special
11 issues when you're looking at the full fuel cycle, you
12 really have to go international for any, especially
13 for fuel oil, and I believe that there is just quite a
14 huge variation in terms if you're looking upstream in
15 terms of the energy use with energy production,
16 especially for fuel oil, that could be understated.
17 And on the electric side, it's overstated. So I think
18 there are issues with using it. We objected before.
19 We maintain our objections and we will write and file
20 written comments. Thank you.

21 MR. BROOKMAN: Okay. Thank you. We're
22 going to move on.

23 MR. LEKOV: So comments on the full fuel
24 cycle and DOE invites comments and recommendations on
25 any aspect of national impact analysis. Go ahead,

1 Sam.

2 MR. BROOKMAN: So now back to Sam Jasinski.

3 **Manufacturer Impact Analysis**

4 MR. JASINSKI: Thank you Alex, thank you
5 Doug. I will give a brief overview of the preliminary
6 manufacturer impact analysis. As I mentioned earlier,
7 the bulk of the manufacturer impact analysis is
8 actually conducted during the Notice of Proposed
9 Rulemaking. But during the preliminary analysis
10 activities, DOE makes an effort to set the stage for
11 the analysis in the NOPR by basically starting to put
12 together an industry overview and also identify key
13 issues. Here's the "you are here" slide, to show you
14 where it falls within the grand scope of the
15 rulemaking.

16 During the preliminary manufacturer impact
17 analysis, DOE identified 11 small business
18 manufacturers associated with these products. As I
19 mentioned earlier, if there are others that aren't
20 identified in the - in Chapter 3 of the TSD, please
21 let DOE know. Also as part of the preliminary
22 manufacturer impact analysis, DOE conducted onsite and
23 telephone interviews, not on the scale that it will
24 during the Notice of Proposed Rulemaking, but again,
25 as part of the preliminary activities. We did have

1 the pleasure of receiving some feedback from
2 manufacturers during preliminary interviews.

3 The interview topics included the
4 engineering analysis, overview, methodology, and
5 results. Key issues as identified and defined by the
6 manufacturer, current market conditions, such as
7 shipment, market share, product mix, et cetera.
8 Potential impacts of new energy conservation
9 standards, especially with a focus on potential
10 conversion costs, and then finally, a discussion about
11 cumulative regulatory burdens. As we've heard, there
12 are a lot of state, federal, and international
13 standards, as well as some voluntary programs that -
14 regarding the efficiency of furnace fan products.

15 Some of the key issues that were identified
16 during these interactions with manufacturers -
17 preliminary interactions with manufacturers:

- 18 • higher up-front costs for consumers.

19 Manufacturers are concerned that higher initial
20 cost can lead to consumer switching to less
21 efficient products, essentially by making a
22 component more expensive, in higher efficiency
23 products, the overall - consumers will switch to
24 systems that are overall less efficient, to reach

1 lower price points, or the same price point that
2 they would have prior to standards.

3 • Secondly, higher initial cost may also push
4 consumers to repair, as we've heard, rather than
5 replace units.

6 • Another key issue are conversion costs.
7 Stringent standards may require significant
8 capital conversion costs to implement the
9 technologies that we've identified, to reach the
10 higher efficiency levels.

11 • And finally, reduction in innovation.
12 Manufacturers are concerned that a new furnace
13 fan standard would take resources away from
14 development of new products and in addition,
15 higher standards for furnace fans place new
16 constraints on manufacturers and may limit their
17 options for maximizing maximum system efficiency,
18 essentially resources are finite for
19 manufactures, and the more targets you give them,
20 the more it takes away - it adds constraints they
21 have to focus those resources on meeting those
22 specific standards as opposed to focusing on
23 innovation on overall systems.

24 MR. BROOKMAN: Many of you are familiar with

1 manufacturer impact analysis or preliminary
2 manufacturer impact analysis. Comments on those
3 before we move on. Yes, Paul.

4 MR. LIN: Paul Lin with Regal Beloit. Just
5 to maybe touch on some earlier comments from Diane
6 relative to cost of AC of the X13 motor being two
7 times of what you guys are showing here in the
8 preliminary analysis. I wish we were - maybe we need
9 to adjust our pricing to Rheem when we go back, but I
10 think maybe the bigger issue is maybe some comments
11 could be given from Navigant and DOE on this report in
12 terms of the product mix. Because I think the product
13 mix has a large deal in coming up with an average X13
14 cost. A higher horsepower will have a lot higher cost
15 versus - so we have a third, a half, three-quarter,
16 and one horsepower. So if you look at a model by
17 model basis from a third horsepower to a one
18 horsepower, there is significant cost delta between
19 that. So, depending on your mix analysis on getting
20 together an average product cost, that's the
21 assumption. What is the assumption on your horsepower
22 range to come up with your average cost? I think
23 that's maybe some of the discrepancy that the OEMs may
24 see relative to the costs that you have in your
25 analysis.

1 MR. BROOKMAN: Mohammed.

2 MR. KHAN: This is Mohammed Khan, DOE. We
3 try to make our samples as statistically
4 representative as possible. And I'm not really sure
5 how many samples were really used, but maybe Sam could
6 comment on that.

7 MR. JASINSKI: Yes, so for this particular
8 rulemaking activity, as I said earlier, we had 26
9 units selected for test and tear down. But because
10 there are a lot of similarities with previously
11 regulated and products that are being currently
12 regulated where similar analyses have been done, we do
13 have data beyond those 26 units, and I'll call them
14 cost factors that you mention, are something that we
15 tried to account for in the analysis. So when we do
16 the tear downs and select products across what's
17 commercially available, capacity and horsepower,
18 things of that nature are taken into consideration so
19 that we can try to understand how the cost of, for
20 instance, a motor, would scale with horsepower.

21 MR. BROOKMAN: Is that mix listed in the
22 TSD?

23 MR. JASINSKI: No, we try to prevent - keep
24 details about the selections protected so that it's
25 hard to disaggregate the results.

1 MR. BROOKMAN: Diane.

2 MS. JAKOBS: This kind of goes back to the
3 test procedure, but in the NOPR for the test
4 procedure, you came up with four hours for an average
5 testing time to calculate FER. And in my personal
6 experience now running it, that's correct. Only you
7 went on to say that wasn't a burden, and that would be
8 horrible for us. So, I don't know, we might - it's a
9 huge impact to double the amount of testing we have to
10 do. And you've seen our air flow test stands, and -
11 but just in the analysis you went through something
12 and said it was two and a half percent of the sales
13 price or something, but for a manufacturer impact,
14 just the amount of test time that's required, is a big
15 deal for us, and that's kind of reflected in our
16 participation.

17 MR. BROOKMAN: So send those details in.
18 Yes?

19 MR. JASINSKI: Yes, absolutely. Information
20 that would help DOE quantify the burden in terms of
21 hours to test or the equipment necessary -

22 MS. JAKOBS: So that would be like an
23 increase in R&D test time. I have trouble quantifying
24 that.

25 MR. JASINSKI: Well, just number of hours,

1 things like that, help.

2 MS. JAKOBS: Well, I can say I agree with
3 you on the hours, just does it give me heart
4 palpitations or not. But it's also - we have to - we
5 verify our ratings every year, so it's not just when
6 you design the equipment and release it, it's ongoing
7 cost that will go on forever, so it's a big deal for
8 us at four hours.

9 MR. BROOKMAN: Okay. We've also heard from
10 Terry Small. Terry, you're next, and then Steve
11 Rosenstock.

12 MR. SMALL: Terry Small, Mortex. I know on
13 one of the pages there's a discussion on the PSC
14 market and eliminating it. I think that the forecast
15 is pretty optimistic, the paybacks are optimistic, and
16 the payback on going to the PSC motor, the improved
17 motor with an additional speed or two for continuous
18 air flow to really get what Charlie wants, means to me
19 that I think we ought to be careful not to eliminate
20 PSC motors in general. I think that would be a great
21 mistake for the country. It's my opinion. Thank you.

22 MR. BROOKMAN: Thank you. Okay. Steve.

23 MR. ROSENSTOCK: Steve Rosenstock, EEI.
24 Again, in terms of the up front cost for consumers,
25 just to kind of follow up with what Alex said, if

1 there's a space, it might not be a bad idea to kind of
2 describe what happens, especially in the northern
3 region of the US, combination of the higher furnace
4 system standard AFUE in the north, plus the highest
5 furnace fan standard. Because for new furnaces, the
6 consumer's going to face the cost increase due to
7 both. And the higher the percentage, the higher the
8 likelihood of possible people trying to repair rather
9 than replace. Thank you.

10 MR. BROOKMAN: Thank you. Okay. Additional
11 comments on this?

12 MR. JASINSKI: So the presentation as it's
13 posted in the packet includes some slides that
14 describe the next steps. Each is generally just an
15 overview.

16 MR. BROOKMAN: Paul.

17 MR. LIN: Paul Lin. Is there a target date
18 that you're targeting to release the NOPR?

19 MR. JASINSKI: The NOPR? It's hard to say.
20 The statutory deadline is 2013, so it's going to be
21 between now and then, I think.

22 MR. LIN: That's a forecast we can believe.

23 MR. JASINSKI: Yeah.

24 MR. BROOKMAN: Yes, Aniruddh.

25 MR. ROY: I have a comment with regards to

1 what was said earlier on the components and system
2 level efficiencies. Is DOE planning to do any kind of
3 study on furnaces, for example, let's say there's a
4 high efficiency AFUE furnace that may not be as
5 efficient on the furnace fan side versus something
6 that's very efficient on the furnace fan side but
7 maybe not as high in AFUE, and combining that with the
8 full fuel cycle analysis that you are referring to, is
9 there any plans to do that kind of study in the
10 future?

11 MR. JASINSKI: Well, a specific study, I
12 don't know about a targeted study, but hopefully as
13 we've shown throughout the analysis, it is something
14 that DOE is concerned with. So any information that
15 we can get through comments, and obviously through our
16 own efforts, we will constantly keep that in
17 consideration to make sure that if at all possible,
18 what we are doing does not negatively impact overall
19 system efficiency.

20 MR. ROY: Okay. But currently there's no
21 data available to show that, right, that comparison?

22 MR. JASINSKI: I'm not going to say that
23 there's no data, but we need more -

24 MR. ROY: I mean in the TSD.

25 MR. JASINSKI: Oh, in the TSD, there is no

1 data presented in the TSD along those lines.

2 MR. ROY: Thank you.

3 MR. BROOKMAN: So we've covered all the
4 material that we came here to cover, and I want to
5 thank everyone and also at this point, provide an
6 opportunity for any final comments from anybody in the
7 room, things that didn't get covered adequately, final
8 remarks. Yes, Craig.

9 **Closing Remarks**

10 MR. MESSMER: Craig Messmer, I don't really
11 have any remarks other than thank you. And, you know,
12 if we ever have a question on clarification on what
13 we've read here, is it possible for us to contact
14 someone and have some sort of discussion, sidebar or
15 something, because, you know, we covered a lot of
16 topics here and I don't think we covered them
17 adequately and had enough of an exchange between the
18 manufacturers and the DOE in this case. So is there
19 another method of talking to you about it?

20 MR. BROOKMAN: Michael Kido.

21 MR. KIDO: There's a - you can have an ex
22 parte communication with the Agency. There's actually
23 a process that you can follow in doing that, and if
24 you give me your e-mail, I can just e-mail to you,
25 there's a Federal Register notice that outlines the

1 process, and it's a very short notice. So basically
2 what that would entail is, you know, there's a meeting
3 between, say, company X and DOE, and then there's a
4 certain amount of time that has to - well, within a
5 certain amount of time you have to submit a memo to
6 very specific e-mail address that handles all the ex
7 parte communications between the Agency and outside
8 parties. And that memo essentially just briefly
9 summarizes the nature of the discussion. And that's
10 just to insure that there's transparency in the whole
11 process. Everyone knows who DOE has met with and what
12 was discussed. So if you want, I can send you that,
13 and if anyone else wants that, just give me your e-
14 mail address and I'll e-mail it out to you.

15 MR. KHAN: Mohammed Khan, DOE. I think your
16 question was whether or not you could hear directly
17 from DOE as follow on about maybe any further
18 interpretation about any of the technical information
19 that was provided, you can certainly do - go through
20 the process that Michael Kido has talked about
21 already. You can certainly contact me directly, and
22 depending on the questions, it may be something I may
23 not be able to respond to from the DOE perspective,
24 process wise, but it might also be something that we
25 can have a discussion on. So it really depends on

1 what the nature is.

2 MR. MESSMER: Okay. Good. That's what I
3 wanted to hear. Thank you.

4 MR. BROOKMAN: Yes, Paul and then Aniruddh,
5 and then I will also hand out these evaluation forms.
6 You can pass them down. Paul.

7 MR. LIN: Could we ask an advocate directly,
8 questions, or is it - or do we have to follow the
9 process for whether it would be Navigant versus DOE?

10 MR. BROOKMAN: Michael.

11 MR. KIDO: If it's purely a technical
12 question, you just say, for example, you've got a
13 question about the formula or the basis for the
14 analysis that we've got in the TSD, something like
15 that, you can contact Navigant directly. If it's an
16 issue regarding policy like for example, you know,
17 you guys really should do this versus that, then
18 you're probably going to want to have a discussion
19 with us, and then that will have to be a discussion
20 that'll be subject to the ex parte requirements.

21 MR. BROOKMAN: Other remarks here as we
22 close? Diane.

23 MS. JAKOBS: I've got a lot to say and I
24 really enjoyed this discussion today. It's fun to talk
25 to a lot of smart people about an important subject

1 and I'm really encouraged. But I'm also chairman of
2 the AHRI ad hoc furnace fan committee, and there's so
3 many things that we're supposed to submit comments on,
4 is there any - I don't know if someone could give me a
5 hint maybe about a priority things where - you know,
6 it seemed like you said that the X13 curve on the
7 graph was based on one furnace, maybe you need more
8 furnaces. And then we were talking about the drop in
9 sales in ECM motors. Aniruddh said that we could look
10 at sales, that that's information that maybe AHRI
11 collects. So if there's some particular question you
12 want to make sure that we don't miss as our time runs
13 out, you know, please let me know somehow. Thank you.

14 MR. BROOKMAN: Thank you. Aniruddh.

15 MR. ROY: As Diane mentioned, again Aniruddh
16 Roy. Under AHRI, as Diane mentioned we have an ad hoc
17 committee that has developed some modifications to the
18 existing or the proposed FER metric, and we will be
19 submitting that in our comments on July 30th. However,
20 it's just a series of steps that's proposing the
21 modifications, it's not the actual test procedure with
22 edits in it. We are going to be starting to work on
23 that as well as we will be providing data sometime in
24 August to DOE to support our arguments. And we feel
25 that the modified FER metric is - it's significantly

1 less burdensome in form of testing, as well as
2 reporting to the manufacturers. But not only that, it
3 also meets DOE's goals from the preliminary analysis
4 that's occurred, it looks like the FER and the
5 modified FER values are almost the same. And so I
6 think that's something that DOE and other stakeholders
7 will be happy with. So please look out for those
8 comments, and we can discuss it after DOE has reviewed
9 it.

10 MR. BROOKMAN: Additional remarks? Tom.

11 MR. ECKMAN: Again, I want to thank DOE and
12 the contractors for spelling things out. I have one
13 comment on the utility impact analysis which we went
14 by briefly. I understand its purpose. I would ask
15 that DOE in the outputs also specify what the present
16 value cost reductions might be from the reduction in
17 capacity required to meet the standards. Right now as
18 change in energy sales and prices, the mix of
19 generation, and the difference in capacity, there's a
20 dollar value associated with the difference in
21 capacity, and I think that should be incorporated in
22 the analysis.

23 MR. BROOKMAN: Thank you. Steve Rosenstock.

24 MR. ROSENSTOCK: Steve Rosenstock, EEI.
25 Following up on that, since certain standards will

1 increase the amount of furnace energy use, the fossil
2 fuel use, then in terms of energy production, then if
3 there's any increases on the production needed for
4 fossil fuels, that that should be accounted for as
5 well. Thank you. .

6 MR. BROOKMAN: Thank you. Other remarks
7 here as we move towards closure? So then, for my
8 part, I thank you. We had a very productive meeting.
9 We covered a tremendous amount of material. You all
10 were very forthcoming with a lot of very, very good
11 information. I appreciate your good humor and your
12 tenacity. I really do. I turn it back to Mohammed
13 Khan for closing remarks.

14 **Closing Remarks from DOE**

15 MR. KHAN: Mohammed Khan, DOE. Very briefly
16 because we went over our scheduled time, and I
17 apologize for that. But this morning I said I looked
18 forward to a very good discussion exchange, and I
19 think my expectations were exceeded. So I appreciate
20 everyone's participation and we look forward to
21 getting your written comments as well. Thank you.

22 MR. BROOKMAN: Safe travels home.

23 (Whereupon, at 4:30 p.m., the meeting in the
24 above captioned matter was adjourned.)

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings
before:

U.S. DEPARTMENT OF ENERGY

In the Matter of:

**PRELIMINARY ANALYSIS PUBLIC MEETING ON
RESIDENTIAL FURNACE FANS ENERGY CONSERVATION STANDARDS**

Were held as herein appears and that this is the
original transcript thereof for the file of the
Department, Commission, Board, Administrative Law Judge
or the Agency.

Further, I am neither counsel for or related to any

Executive Court Reporters
(301) 565-0064

party to the above proceedings.

Wendy Greene

Official Reporter

Dated: August 1, 2012