

UNITED STATES OF AMERICA

DEPARTMENT OF ENERGY

**PUBLIC MEETING ON THE ENERGY CONSERVATION STANDARD
FRAMEWORK DOCUMENT FOR
HIGH-INTENSITY DISCHARGE LAMPS**

U.S. Department of Energy
1000 Independence Ave., SW
Washington, D.C. 20585
Room 8E-089 Review Center

Thursday
March 29, 2012

Facilitator:

Doug Brookman
Public Solutions
Baltimore, MD

Participants Identified:

Joe Howley
Manager of Industry Relations
GE Lighting,
Chairman, NEMA lamp section

Susan Anderson
Manager of Energy Relations
Osram Sylvania

Keith Cook
Phillips Electronics

Tom Harding
Venture Lighting

John Green
Cooper Lighting

Joanna Mauer
Appliance Standards Awareness Project

Daniel Young
California Investor-Owned Utilities, Pacific Gas and
Electric, Southern California Edison and Semper
Utilities

Alex Boesenbergl
NEMA

Participants from DOE:

Lucy deButts
Project Manager, Lighting Team
DOE

Betsy Kohl
General Counsel's Office
DOE

Brenda Edwards
Department of Energy

Participants from Consultants:

Scott Morris
Pacific Northwest National Laboratory

Michael Myer
Pacific Northwest National Laboratory

Matthew Walker
Navigant Consulting

Merry Walker
Navigant Consulting

Matt Chester
Navigant Consulting

Mansi Thakkar
Navigant Consulting

Ali McDonald
Navigant Consulting

Hayden Cook
Navigant Consulting

Mimi Gupta
Navigant Consulting

AGENDA

<u>ITEM</u>	<u>PAGE</u>
Welcome, Doug Brookman	5
Welcome for DOE, Lucy deButts	5
Introductions	7
Agenda Review, Doug Brookman	8
Introductory Remarks and Purpose Lucy deButts	11
Regulatory History, Rulemaking Overview, And Scope of Coverage, Mr. Walker	16
Market & Technological Assessment And Screening Analysis, Mr. Walker	45
Engineering Analysis, Ms. Walker	70
Energy Use and Markup Analysis, Mr. Myer	95
Life Cycle Cost and Payback Period Analysis, Mr. Morris	106
Shipments Analysis, Mr. Myer	114
National Impact Analysis, Mr. Morris	125
NOPR Analyses, Mr. Morris	138
Manufacturer Impact Analysis, Ms. Walker	142
Downstream Analyses, Mr. Myer	148
Final Comments	162
Closing Remarks, Lucy deButts	169

1 P R O C E E D I N G S

2 MR. BROOKMAN: Let's start. Just take
3 your seats. Good morning everyone and welcome.
4 This is the U.S. Department of Energy's public
5 meeting on Energy Conservation Standard Framework
6 Document for High-Intensity Discharge Lamps. Today
7 is Thursday, March 29, 2012 here in the Forrestal
8 Building in Washington, D.C. My name is Doug
9 Brookman from Public Solutions in Baltimore. So
10 happy to see you here this morning.

11 We're going to start off with welcoming
12 remarks from Lucy deButts.

13 **Welcoming Remarks**

14 MS. deBUTTS: Hi everyone. I am Lucy
15 deButts, Project Manager for DOE's lighting team.
16 Some of you may have already talked to me and some
17 not, but Tina Kaarsberg, the previous manager is on
18 detail, so currently I am leading the team. Again,
19 welcome to our public meeting today. I'd like to
20 start by reminding you that the Notice of the Public
21 Meeting and the availability of framework document
22 were published in the Federal Register on February
23 28th. It is also available on DOE's website for

1 stakeholders to review, so feel free to visit our
2 website and read the documents.

3 Today we will provide an overview of the
4 HID framework and analytical approaches. We will
5 talk about the history of HID standards, scope of
6 coverage and analyses that DOE is planning on
7 taking. So we are looking forward to industry's
8 input and hoping for your collaboration and
9 cooperation in this process. So at this time, I'd
10 like to give it back to Doug for further
11 introductions. He is the meeting facilitator. He
12 will set some ground rules and go over the meeting
13 agenda.

14 MR. BROOKMAN: Thank you. Let's start
15 over here. Give your name, and organizational
16 affiliation, and this will give you practice at
17 turning these microphones on and off. The little
18 green button needs to be illuminated.

19 **Introductions**

20 MR. HOWLEY: Thanks, Doug. This is Joe
21 Howley, Manager of Industry Relations for GE
22 Lighting, and also chairman of the NEMA lamp
23 section.

24 MS. ANDERSON: Susan Anderson, Osram
25 Sylvania and I'm the Manager of Energy Relations.

1 MR. COOK: Keith Cook, Phillips

2 Electronics.

3 MR. HARDING: Tom Harding, Venture

4 Lighting.

5 MR. GREEN: John Green, Cooper Lighting.

6 MS. MAUER: Joanna Mauer, Appliance

7 Standards Awareness Project.

8 MR. YOUNG: Daniel Young, California

9 Investor-Owned Utilities, Pacific Gas and Electric,

10 Southern California Edison and Semper Utilities

11 MR. MORRIS: Scott Morris, Pacific

12 Northwest National Laboratory.

13 MR. MYER: Mike Myer, Pacific Northwest

14 National Laboratory.

15 MR. BROOKMAN: You can just stand up,

16 that'll be sufficient.

17 MR. WALKER: Matthew Walker, Navigant

18 Consulting.

19 MS. WALKER: Merry Walker, Navigant

20 Consulting.

21 MS. EDWARDS: Brenda Edwards, Department

22 of Energy.

23 MR. BROOKMAN: Please.

24 MS. THAKKAR: Mansi Thakkar, Navigant

25 Consulting.

1 MS. KOHL: Betsy Kohl, DOE, GC.

2 MR. CHESTER: Matt Chester, Navigant
3 Consulting.

4 MR. BROOKMAN: Okay. Thanks to all of you
5 for being here.

6 **Agenda Review**

7 MR. BROOKMAN: All of you received a
8 packet of information as you came into the room. In
9 there was a copy of the agenda, and the PowerPoint
10 slides that will be the basis for both presentation
11 and discussion today. And also a copy of the
12 Federal Register Notice.

13 I'll give you a very brief agenda review.
14 You can see that following this agenda review and a
15 few preparatory slides, there's an opportunity for
16 anyone that wishes to do so, to make opening
17 remarks, brief summary statements about issues that
18 matter to you.

19 Following that we'll dive straight into
20 the detailed content, the regulatory history,
21 rulemaking overview, scope of coverage.

22 We'll take a break mid-morning, around
23 about 10:15 or 10:30 or so. Following that, market
24 and technology assessment, screening analysis,
25 engineering analysis. We'll break for lunch around

1 about noon. Energy use analysis, immediately
2 following lunch. Markup analysis, life-cycle cost
3 and payback period analysis. Moving on directly to
4 shipments analysis, national impacts analysis, life-
5 cycle cost, and subgroup analysis.

6 We'll break mid afternoon as required and
7 needed. Following the break, or whenever we get
8 there, manufacturer impact analysis, utility impact
9 analysis, employment analysis, environmental
10 assessment, regulatory impact analysis.

11 You can see as listed in the agenda, yet
12 another opportunity for comment at the end of the
13 day, any issues you think have not been covered
14 sufficiently from your perspective. I see a few
15 things here at the outset, both Keith and Susan.

16 MR. COOK: Doug, I just want to ask, is
17 there anybody on the line?

18 MR. BROOKMAN: I'm certain there is. We -
19 - the Department anticipated that there would be
20 folks on the line.

21 MR. COOK: Should we ask for them to
22 introduce themselves?

23 MR. BROOKMAN: I'm not sure we have the
24 capacity to do that. We know who they are, because
25 they signed on, and their comments and questions

1 will be inserted in the record of the meeting. The
2 Department's trying to make that happen effectively.
3 Susan.

4 MS. ANDERSON: I'd just like to confirm if
5 Susan Callahan from Osram Sylvania is on the line.

6 MR. BROOKMAN: Okay. Let me look to see.
7 Do we -- yes.

8 MS. ANDERSON: Thank you.

9 MR. BROOKMAN: Yes, our web mistress says
10 yes. Okay.

11 MR. COOK: Can she read off the names?

12 MR. BROOKMAN: Can you read off the names?
13 Let's get you so you can be heard.

14 MS. EDWARDS: We have Austin Gilder, Carl
15 Abramson, Dan Skorksi (ph), David Ellis, James Carl,
16 Larry Liepso (ph), Brenda Wilson, Rachel Dickenson,
17 Rich Ozanich (ph), Ronald Darbauch (ph), Susan
18 Callahan.

19 MR. BROOKMAN: Okay. So the Department is
20 trying hard to make these meetings accessible via
21 the web. So, finally, I'd ask for your
22 consideration. Please during the course of this
23 meeting today, speak one at a time. Say your name
24 for the record each time you speak. You don't need
25 to say your organizational affiliation unless that's

1 what you would like to do. I'm going to be cuing
2 individuals by name to speak. I also wish to
3 encourage follow on comments, particularly the back
4 and forth is useful to the Department as they
5 consider these issues.

6 If you can, keep the focus here. Please
7 turn your cell phones on silent mode, and limit
8 sidebar conversations. Make sure to turn the
9 microphone on, be concise, share the air time.
10 There's a lot to be said and we want to be efficient
11 here today. So that's all I have to say at the
12 outset, then back to Lucy.

13 **Introductory Remarks and Purpose**

14 MS. deBUTTS: I just wanted to confirm to
15 everyone that we are broadcasting this over the
16 internet for those participants that cannot attend
17 in person. They can listen in and review the
18 slides. They can't really talk to us at this point,
19 but they can provide their comments. Webinar
20 provides the comment and questions feature, so we
21 will try to address all comments and questions as
22 they come in. We have over 30 participants
23 registered for this webinar so far, but we'll try to
24 reply to everyone, time permitting. The webinar
25 questions will be treated as a secondary though, to

1 the group that is here. So your questions are going
2 to be addressed first. However, as I said, we will
3 try to answer all questions and comments.

4 MS. ANDERSON: Are you saying they can't
5 comment?

6 MS. deBUTTS: They can comment via the
7 comment feature within the webinar.

8 MS. ANDERSON: In the past, we've been
9 able to hear them, and quite frankly, our technical
10 people are the ones that are on the web, so really
11 need that feature of them being able to speak and us
12 being able to hear them as a group.

13 MR. BROOKMAN: I see.

14 MS. ANDERSON: Because they'll be the
15 appropriate people to comment and answer some
16 questions.

17 MR. BROOKMAN: So, thank you Susan, for
18 that. Do we have the capacity for them to speak and
19 be heard here in the room? We do have that
20 capacity.

21 MS. deBUTTS: We will try to do so, then.

22 MR. BROOKMAN: So let's see how that
23 works. Let's try and make that work.

24 MS. ANDERSON: Because we did do that last
25 time.

1 MR. BROOKMAN: Yes, it's been done several
2 different ways during the course of these meetings.

3 MS. deBUTTS: But regardless, as Doug
4 said, anything that they comment on via the webinar
5 feature, by typing in questions, will be attached to
6 the transcript and will be treated as the regular
7 written comments.

8 MR. BROOKMAN: And for those joining us
9 via the web, welcome. I'm glad to have you with us.
10 If you could try to either in written form, or
11 orally, if that succeeds, try and be brief, concise
12 in your comments. That would be helpful to all of
13 us.

14 MS. deBUTTS: All right. As a last
15 reminder, the transcript itself, including the
16 comments that were received today from the webinar
17 participants, and the presentation slides, are going
18 to be posted on DOE's website shortly after this
19 meeting. Again, as soon as we get the transcript
20 ready, we'll post it on the web.

21 As for the purpose of this public meeting,
22 it's of course to review the HID framework document
23 that we issued. The PNNL and Navigant staff will
24 assist DOE in presenting the procedural and
25 analytical approaches to the evaluation of HID

1 standards. We will be discussing the rulemaking
2 process itself, and the next steps that we're
3 planning on taking, so once again, you are invited
4 to comment on those.

5 In addition, we would like to get any data
6 or information or summary comments you may wish to
7 add to be consider while we are working on the
8 rulemaking.

9 So, comment boxes. You will see the
10 comment boxes like on this slide throughout the
11 presentation. These comment boxes highlight the
12 specific issues we are seeking comments on. The
13 item numbers in these comment boxes correspond to
14 the list of items that were listed in the framework
15 document. Obviously, we have more issues that could
16 be addressed, so please feel free to comment on any
17 aspects of the materials that we're going to present
18 today.

19 As far as the comment period submission, I
20 just wanted to mention that the due date is April
21 12th, which is an extension from the originally
22 published date in the framework. The comment period
23 extension published this morning, so we would like
24 to get your remarks by April 12th if possible.

25 And last, but not least, we will discuss

1 the avenues of submitting the comments at the end of
2 this presentation so everyone's aware of how to
3 submit them, where to submit them: via docket, e-
4 mail, or by mail.

5 So at this time, I think my part of
6 introductions is pretty much over, I will turn back
7 to Doug for opening remarks.

8 MR. BROOKMAN: Thank you. Now is the
9 opportunity for brief summary remarks, issues that
10 are important to you. Who'd like to start? Joe?
11 Alex?

12 MR. BOESENBERG: We are ready to comment
13 on the individual items. We have no opening
14 statement.

15 MR. BROOKMAN: Okay. Thank you. Other
16 comments here at the outset? No additional opening
17 remarks. Okay. So then let's go right into the
18 content.

19 **Regulatory History, Rulemaking Overview**
20 **And Scope of Coverage**

21 MR. WALKER: Good morning. I'm with
22 Navigant and my name is Matthew Walker. Let's get
23 started with the regulatory history for this
24 rulemaking. So the Energy Policy Act of 1992 added
25 HID lamps to the covered equipment of the appliance

1 standards program here at DOE. EPCA 1992 specified
2 three requirements that are relevant to these
3 products. The first was to conduct a determination
4 to decide whether standards would be technologically
5 feasible, economically justified, and have the
6 potential to save significant energy. And DOE has
7 completed this determination by publishing a
8 publication on July 1, 2010, and this document
9 concluded standards would be feasible.

10 The second requirement is that DOE must
11 complete a test procedure, final rule within 30
12 months of completing the determination document, and
13 DOE has initiated this process with a test procedure
14 Notice of Proposed Rulemaking that was published on
15 December 15, 2011.

16 And finally, the third requirement of EPCA
17 1992, which is the subject of today's presentation,
18 is that DOE is directed to prescribe an energy
19 conservation standard within 18 months of completing
20 the test procedure final rule. So the time
21 intervals put forth by EPCA bring us to the
22 rulemaking schedule.

23 This slide presents the projected schedule
24 for the intermediate stages of this rulemaking.
25 Like we said before, the framework document was

1 published in February of this year, and DOE is
2 anticipating an interim analysis being available
3 September this year, followed by a NOPR in June
4 2013, and a final rule by July 2014. The compliance
5 date for this rulemaking would be about three years
6 after -- or would be three years after the
7 publication of the final rule, so approximately July
8 2017.

9 I should also point out, there have been
10 comments in both the HID determination and the metal
11 halide lamp fixtures rulemakings that those two
12 rulemakings should be combined in some fashion. So
13 at this time, DOE intends to regulate each product
14 separately, both with separate metrics and with
15 separate rulemaking documents, but does intend to
16 share data and decisions between the two rulemakings
17 to coordinate the analysis and the adopted
18 standards.

19 So, at the bottom of this slide, in item
20 two, DOE is welcoming comments on any specific ways
21 it should coordinate the development of the final
22 rules for these two products.

23 MS. ANDERSON: We, NEMA, --

24 MR. BROOKMAN: Susan.

25 MS. ANDERSON: Susan Anderson, Osram

1 Sylvania. NEMA does agree that they should be kept
2 separate, handled separately, and what we'd like to
3 point out is that in the luminaire rulemaking you're
4 only covering ballasts for new metal halide
5 luminaries, so you're not covering anything there
6 relative to mercury vapor or high pressure sodium.
7 So in that respect, the rulemakings don't coincide.

8 MR. BROOKMAN: Okay. Thank you. Joanna
9 Mauer.

10 MS. MAUER: Joanna Mauer. Just a question
11 about the schedule. Is the interim analysis that
12 DOE plans to publish -- is that different than what
13 a typical preliminary TSD would be?

14 MR. WALKER: It is. It's very related.
15 It has some distinctions. There will be a more
16 substantial executive summary document, and a less
17 substantial Chapter 2, which is usually where
18 there's a response to public comments and discussion
19 of decisions. And the way it's been described in
20 the framework document is that the public comments
21 would be saved until the NOPR for an official
22 discussion, but of course the comments that come out
23 in the framework document, both from this meeting
24 and in written form, would be informing the interim
25 analysis that's published later this year.

1 MS. MAUER: Thank you.

2 MR. BROOKMAN: Other comments on the
3 schedule? Okay.

4 MR. WALKER: So between now and July 2014,
5 DOE will consider the following seven factors in its
6 analysis:

- 7 • It looks at individual impacts on consumers
- 8 • Individual economic impacts on consumers in the
9 life-cycle cost analysis
- 10 • It then looks at energy savings and economic
11 impacts on consumers as a whole in the national
12 impact analysis
- 13 • It looks at economic impacts on manufacturers
14 in the manufacturer impact analysis
- 15 • And DOE also looks at impacts on utility or
16 performance, as well as any other factors the
17 Secretary considers relevant.

18 **Scope of Coverage**

19 So now we'll discuss the scope of coverage
20 that's under consideration in the framework
21 document.

22 HID lamps have not been previously been
23 regulated to this rulemaking establishes the first
24 scope of coverage for these products. EPCA's

1 definition of HID lamps includes mercury vapor,
2 high-pressure sodium, and metal halide lamps. And
3 while low-pressure sodium lamps are often included
4 in the HID family, they're not included in the EPCA
5 definition or this rulemaking.

6 There's also another lamp technology
7 referred to as an electrodeless HID lamp or light-
8 emitting plasma. These lamps emit light through a
9 process that's related to HID lamps and have a gas
10 composition that seems the most similar to metal
11 halide. So in item three on this slide, DOE is
12 welcoming comment on whether these electrodeless HID
13 lamps should be considered a subcategory of HID
14 lamps.

15 MR. BROOKMAN: Susan.

16 MS. ANDERSON: Susan Anderson, speaking
17 for NEMA. We do not consider them a subgroup.
18 They're most similar to metal halide, but we
19 consider them to be their own unique technology, and
20 right now there are no standards at all for these
21 lamps, and there are none in development. So there
22 would be no reference standards for evaluating these
23 products. And our recommendation would be that you
24 not include them in this rulemaking.

25 MR. BROOKMAN: Is there a test procedure?

1 No test procedure.

2 MS. ANDERSON: Not anything across the
3 industry.

4 MR. BROOKMAN: Interesting.

5 MS. ANDERSON: And very limited
6 manufacturing of these products.

7 MR. BROOKMAN: Okay. Thank you. That was
8 clear. Do you have any follow up questions from
9 that?

10 MR. WALKER: I would just maybe ask if
11 there was an agreed upon definition of those types
12 of lamps that would help us understand the
13 distinction between the two.

14 MS. ANDERSON: Tom, I'm going to defer to
15 you, but not that I know of.

16 MR. BROOKMAN: Tom. Tom, turn the mic on.

17 MR. HARDING: Tom Harding. No, they're a
18 new technology. They're electrodeless. The biggest
19 feature is they're electrodeless, they're driven by
20 radio frequency to heat up and then emit light. But
21 it's done much differently than a ballast, for
22 example, running current through electrodes. So
23 it's kind of an altogether different technology.
24 Been around and the analogy would be fluorescent has
25 systems where they have electrodeless lamps, so

1 they're similar to that, but there are no standards,
2 no technology work being done, simply a few
3 companies are doing these.

4 MR. BROOKMAN: One thing that would be of
5 interest to the Department is the trajectory of this
6 product, if you think it's going to be -- there's
7 going to be more of them, it's going to go
8 mainstream, that sort of thing.

9 MR. HARDING: I wish I knew. I don't
10 actually know, there's so few of them right now.

11 MR. BROOKMAN: Joe.

12 MR. HOWLEY: It appears to be a niche
13 product right now, very few manufacturers, very few
14 product sales. It's going to be competing against
15 some other technologies. There doesn't seem to be
16 widespread investment in this technology by the
17 major manufacturers. So it appears to be a niche
18 product right now that doesn't offer a lot of
19 opportunity for either energy use or energy savings
20 at this point.

21 MR. BROOKMAN: Okay. Thank you.

22 PARTICIPANT: Can we have the microphone?

23 MR. BROOKMAN: The mic's on.

24 PARTICIPANT: Maybe closer?

25 MR. BROOKMAN: Okay. I'll speak up. I'll

1 do that. Alex, do you want to --

2 MR. BOESENBERG: Just one last point.

3 These are operated on electronic ballasts and in our
4 scope discussions we were -- the DOE is planning to
5 exclude those products, so this wouldn't fall under
6 the scope then.

7 MR. BROOKMAN: Okay. Other comments
8 related to the scope and these definitions? Okay,
9 we're going to keep going.

10 MR. WALKER: So two of the more
11 significant parameters considered in the framework
12 document for the scope of coverage are lamp input
13 wattage and correlated color temperature, or CCT.
14 So, HID lamps span a wide range of input wattages
15 and CCTs, and these ranges vary according to the
16 lamp technology. So DOE is considering a subset of
17 the available input wattages and CCTs for its scope
18 in the framework, and those lamps that are outside
19 of the subset have a -- represent a very small
20 number of available products according to catalog
21 availability, and as a result, a limited potential
22 for energy savings.

23 So in summary, DOE is considering
24 including the lamps on the table on this slide:

- 1 • metal halide lamps between 50 and 2000 watts
- 2 and between 2500 and 6999 Kelvin;
- 3 • mercury vapor lamps between 50 and 1000 watts
- 4 and between 3200 and 6800 Kelvin;
- 5 • and high pressure sodium lamps, 50 to 1000
- 6 watts and between 1900 and 2700 Kelvin.

7 Then from this table, DOE is considering
8 excluding certain types of lamps, and those include:

- 9 • HID lamps designed and labeled for use with
- 10 electronic ballast only;
- 11 • Directional HID lamps
- 12 • Self-ballasted HID lamps
- 13 • Colored HID lamps, and
- 14 • Specialty application mercury vapor lamps.

15 And similar to what I just said a few
16 minutes ago, these lamp types represent a very small
17 portion of the available products according to
18 catalog availability, and therefore a limited
19 potential for energy savings.

20 So this brings us to two items for comment
21 on the scope of coverage. In item four, DOE is
22 welcoming comment on its decision to define the
23 scope of coverage using rated wattage instead of
24 lumen output, as well as the specific range of

1 wattages included in coverage. I'll go ahead --
2 we'll just leave it at that and pause for that one.

3 MR. BROOKMAN: Yes, Joe.

4 MR. HOWLEY: In terms of the ranges of
5 products to be covered, we believe that the 50 to
6 1000 watt category in all three products represents
7 the high volume, general lighting use category, so
8 that would include metal halide as well. Although
9 there are metal halide products that are over 1000
10 watts, these tend to be niche products for specialty
11 applications, such as sports lighting, which are
12 operated for fairly low periods of time, and they
13 have relatively short lives as well because of the
14 high lumen output requirements. We don't believe
15 that that particular specialty product category
16 should be regulated above 1000 watts.

17 Would you like me to comment on item five
18 as well?

19 MR. BROOKMAN: Why don't you read it,
20 Matthew?

21 MR. WALKER: Sure I'll read it. So in
22 item five, DOE is welcoming comments on the decision
23 to exclude certain types of lamps and specifically,
24 on unique characteristics of colored HID lamps that
25 can be used to characterize and define that

1 exclusion.

2 MR. HOWLEY: And we would agree that these
3 do represent niche product categories and they
4 should be exempted. The areas that you have listed
5 here, certainly would qualify. There may be some
6 additional categories as well, such as high CRI, low
7 color temperature lamps, such as the high CRI, high
8 pressure sodium lamps that are on the market. We'd
9 also recommend they be treated as a niche exempted
10 category. We may have further comments as well as
11 we review this a little more carefully.

12 MR. BROOKMAN: Okay. Thanks, Joe. Yes,
13 Susan.

14 MS. ANDERSON: Yes, we also had a comment
15 on the color temperature range covered for metal
16 halide. We would stop it at 6000 Kelvin, because
17 any lamps that are available that are at higher
18 color temperatures, are for very specialized
19 applications, like aquarium lighting. They're not
20 used for general application lighting.

21 And then the other thing to note is that
22 there are specialty application metal halide lamps
23 that also need to be taken into consideration.

24 MR. BROOKMAN: They wouldn't be included
25 in these?

1 MS. ANDERSON: No.

2 MR. BROOKMAN: Oh. So what would the
3 definition of -- what would be their specifications?

4 MS. ANDERSON: We actually have comments
5 on that further on. We plan to provide some
6 definitions to help guide the DOE on what would
7 include specialty versus general lighting.

8 MR. BROOKMAN: Okay. Thank you. That's
9 good. Other comments on these scope of coverage
10 issues? Yes, Daniel.

11 MR. YOUNG: Yes, Daniel Young. With
12 regards to electronic ballasts, our understanding is
13 that the trajectory of the market is trending
14 towards metal halide electronically ballasted
15 products, and within three or five years this may
16 represent a much larger share of the market. Does
17 DOE or other manufacturers have any other comments
18 on that?

19 MR. BROOKMAN: Susan.

20 MS. ANDERSON: Most of the electronic
21 ballasts are being developed right now are for the
22 metal halide family, and typically right now they
23 are very low wattage, though we have some higher
24 wattage ones on the market. How fast they become
25 adopted by the market may depend very much on the

1 metal halide luminaire rulemaking, and what ballast
2 efficiency standards are set there.

3 MR. BROOKMAN: That means you don't know.
4 Keith.

5 MR. COOK: Keith Cook. You have --
6 basically the problem, I think, is the fact that we
7 have such a huge installed base already with
8 magnetic ballast, that even as this grows and the
9 growth has not been huge, it's still going to be a
10 very, very small percentage of the installed base,
11 even going forward.

12 MR. BROOKMAN: Thank you. Those are all
13 very useful comments. Final comments before we move
14 on?

15 MR. WALKER: I was going to ask a follow
16 on.

17 MR. BROOKMAN: Please.

18 MR. WALKER: I was going to say one thing
19 if it was possible, if NEMA was able to provide
20 specific shipment percentages of some of these
21 excluded lamp types to support the niche application
22 and limited potential for energy savings.

23 MR. BROOKMAN: Alex.

24 MR. BOESENBERG: For this subject and a
25 few others on the list of items, NEMA is open to

1 discussing if we can reach an arrangement to provide
2 data, yes. I can't promise it. It depends what you
3 ask, how you ask it and what data we have and how we
4 can parse it up. But we're open to that discussion.

5 MR. BROOKMAN: You'll be the point of
6 contact --

7 MR. BOESENBERG: Yes.

8 MR. BROOKMAN: -- for that discussion?
9 Yes. Joanna. Oh, you want to -- yes.

10 MS. deBUTTS: We received a question from
11 the webinar participant, and Larry Liepso (ph) -- I
12 apologize for not pronouncing the name correctly --
13 he's asking why self-ballasted lamps are not
14 included, because they're fairly efficient.

15 MR. BROOKMAN: What's the category again?

16 MS. deBUTTS: The self-ballasted lamps.

17 MR. WALKER: Self-ballasted HID lamps?

18 MR. BROOKMAN: Susan?

19 MS. ANDERSON: Susan Anderson. I mean the
20 two families where you have self-ballasted lamps,
21 the original ones are self-ballasted mercury vapor
22 lamps that were basically incandescent replacements,
23 and the volume is very, very low. It's been dying
24 for years. The other, a couple of companies, my
25 company being one, we have self-ballasted metal

1 halide that's actually a replacement for halogen,
2 and the main market for that is retail. But it's
3 long-lived and much more efficient than the halogen.
4 But once again, it's a small market application.
5 Niche market.

6 MR. BROOKMAN: Okay.

7 MS. deBUTTS: Thank you.

8 MR. WALKER: I think that's all.

9 MR. BROOKMAN: All with that. Yes,
10 Joanna.

11 MS. MAUER: Joanna Mauer. I think, Joe,
12 you were mentioning the high CRI HPS lamps. Do they
13 provide some different utility than metal halide
14 lamps, or what's the application for these types of
15 lamps?

16 MR. HOWLEY: It just gives architects or
17 landscape designers a different color palette to
18 paint with light, if you will, so it's a very low
19 chromaticity, so it's only 2200 degrees Kelvin. It
20 still has a very large yellow component, but it
21 provides a high color rendering index at a very low
22 chromaticity. It is -- there's very few
23 applications for it. There's a few applications for
24 it, but it would definitely qualify as a niche
25 product category. It's not growing. It's used in a

1 few, mostly outdoor -- specialty outdoor kind of
2 applications for highlighting various finishes.
3 Provides a different effect.

4 MS. MAUER: Okay.

5 MR. BROOKMAN: Yes, Daniel.

6 MR. YOUNG: Daniel Young. Just a follow
7 on question to that. What's, I guess, kind of the
8 efficiency penalty for going up to a higher CRI? Is
9 it a big difference?

10 MR. HOWLEY: I'd have to look at the
11 catalog, but I -- they're still very efficient.
12 It's still high pressure sodium, so it still has a
13 very high efficiency relative to other light
14 sources.

15 MR. BROOKMAN: Additional comments before
16 we move on? Okay.

17 MR. WALKER: All right, so item six
18 continues with comments on exclusions and this one
19 is welcoming comments on whether lamps for special
20 applications have defining characteristics that
21 differentiate them from lamps used for general
22 illumination purposes, and in addition, whether the
23 specialty applications that are relevant to mercury
24 vapor technology can be served by high pressure
25 sodium or metal halide technology.

1 MS. ANDERSON: Susan Anderson, speaking
2 for NEMA. I want to start with the mercury vapor
3 versus metal halide and high pressure sodium first.
4 You cannot substitute metal halide or high pressure
5 sodium for mercury vapor in those applications,
6 because it is the UV output of the mercury vapor
7 that is essential in those applications.

8 MR. BROOKMAN: Pardon me, Susan. Are you
9 getting her? Just a little closer. You're coming
10 across great here.

11 MS. ANDERSON: All right. So there really
12 isn't an exchange possible there. You don't get the
13 same output. And then in terms of other specialty
14 application lamps, both when you look at mercury
15 vapor and metal halide, they're generally short arc
16 tube lamps, very short arcs, so you get very
17 precise, optical control and very high internal
18 pressures. In fact many of them can't even be
19 shipped unless they're within a protective container
20 and the way the equipment maintains them that
21 utilizes them, it has protective coverings around
22 them because they can experience non-passive
23 failures. So they are very specialized.

24 In other cases, they have very short
25 usable life because they're required to have very

1 high lumen output for the applications where they're
2 used, so when you get into lumen maintenance, they
3 can't be used in applications where the general
4 lighting lamps are. In many cases, in fact Alan
5 found one base in common for most of those lamps.

6 And others that you run into -- specialty
7 -- we've mentioned plant growth, we've mentioned
8 color-corrected high pressure sodium, we mentioned
9 aquarium lighting. So for like for plant growth,
10 they're lamps that give you light output in the blue
11 spectrum and the red spectrum, because that's all
12 that plants care about, so they're not really
13 suitable for general lighting applications.
14 Aquarium is very high color temperature that's not
15 acceptable in general lighting applications. So
16 there are specialized features about them, and NEMA
17 plans to provide you with definition guidance to
18 help you exclude those items and make it clear so
19 that it's much -- so there's no confusion as to
20 what's general lighting versus what's specialty.

21 MR. BROOKMAN: Okay.

22 MS. ANDERSON: The one family where there
23 may be some issue are the clear mercury vapor lamps
24 with medium screw bases and mogul screw bases and
25 medium skirted screw bases. They are used, you see

1 them used, for outdoor illumination. They're the
2 ones that turn green as they get older. But they
3 also have a utility as a UV curing, and for
4 inspection purposes. So that's the one family that
5 there may be some -- we need to very closely define
6 or label the lamps in some way.

7 MR. BROOKMAN: Should they be included or
8 excluded?

9 MS. ANDERSON: In the sense that they can
10 be used for general lighting applications, which
11 would typically be outdoors, in less color-critical
12 applications, they should be covered. But I think
13 there needs to be some provision for the UV curing
14 and the inspection applications, because they are
15 widely used for that.

16 MR. BROOKMAN: And it would be a separate
17 definition?

18 MS. ANDERSON: We'll try to work out
19 something, try to work with DOE and Navigant and
20 PNNL.

21 MR. BROOKMAN: Okay. Well, thank you,
22 that was very helpful. Daniel.

23 MR. YOUNG: Daniel Young. Just a follow
24 on question to that. Is there -- what about LEDs?
25 Could those be used in the specialty applications?

1 MS. ANDERSON: You have some LEDs with UV
2 output, but really the UV output of LEDs is pretty
3 limited at this point, and not sufficient for those
4 applications. You have short arc to high pressure
5 mercury vapor lamps, for example, that are used to
6 etch the circuitry on silicon chips, and you would
7 never get the output from LEDs at this point in time
8 for that type of application.

9 MR. BROOKMAN: Okay.

10 MR. YOUNG: Thanks.

11 MR. BROOKMAN: Joanna.

12 MS. MAUER: Joanna Mauer. Just another
13 clarification question. Susan, all of these types
14 of mercury vapor lamps that you're talking about,
15 these are ones that are used with ballasts that are
16 exempted from the --

17 MS. ANDERSON: In the case of mercury
18 vapor, they are exempted based on, if we go back to
19 EISA 2007, but metal halide was never considered at
20 that point, because it was only mercury vapor
21 ballasts that had been eliminated.

22 MS. MAUER: Okay. So it's mercury vapor
23 lamps that are using ballasts that are exempted from
24 the --

25 MS. ANDERSON: The ballasts are specially

1 labeled right now, for specialty application only,
2 so I'm thinking we could do something similar for
3 clear mercury vapor lamps that are used for the UV
4 curing and the inspection processes.

5 MR. BROOKMAN: Okay. There are several
6 distinct pieces of information that the Department
7 is asking about in item six and seven, particularly
8 I call your attention to item seven, "any additional
9 lamps that should be excluded from the scope of
10 coverage." Yes, Keith.

11 MR. COOK: Keith Cook. Basically, the one
12 thing that was in the written text which is not
13 included so far in this is whether or not standby
14 mode should be included. And standby mode does not
15 apply, really, to lamps. It's an electronic driver
16 which is excluded anyway. We also, though, agree
17 with the current coverage except as Joe pointed out
18 earlier, we think it should be stopped at 1000 watts
19 - above 1000 watts is -- should be also excluded,
20 because it's not a general lighting.

21 MR. BROOKMAN: Okay. Additional comments
22 on these two. Look at them. Defining
23 characteristics and also specialty applications, and
24 then in seven, exclusions. Nothing additional.
25 Okay.

1 MR. WALKER: All right, so we'll move on
2 to metrics. DOE is considering several metrics for
3 assessing the performance of HID lamps. The first
4 will be initial lamp efficacy. Initial lamp
5 efficacy is the ratio of light output to input power
6 at the beginning of the life of the lamp. An
7 alternative metric could be a maximum input power,
8 or maximum input wattage. In this case, DOE would
9 establish a maximum input wattage for a given light
10 output or range of light outputs.

11 So these metrics cover omni-directional
12 lamps, which are lamps that cast light in all
13 directions. But if DOE were to include directional
14 lamps in the scope of coverage, it would plan to
15 pursue a different metric.

16 So this slide goes over possible metrics
17 that could be employed if directional lamps were
18 included. Center beam candle power and beam (or
19 zonal) lumens could be possibilities. Center beam
20 candle power or CBCP measures the intensity of light
21 at the center of the beam angle, and DOE could
22 require a minimum CBCP for a given lamp shape
23 diameter or input power. And alternatively, for
24 beam lumens, DOE could require a minimum beam lumens
25 or zonal lumens per watt for a particular lumen

1 output, or input power range.

2 So this slide provides opportunities for
3 comment on the metrics. In item 13, DOE is asking
4 for comments on the use of efficacy as a metric for
5 omni-directional lamps, and then item 14, essential
6 metrics that could be used if directional lamps were
7 to be included. Though from the discussion that
8 we've had so far, the interest seems to be for them
9 to be excluded.

10 MR. BROOKMAN: Okay. We'd like to get
11 further confirmation, I believe. Susan.

12 MS. ANDERSON: Well, I notice that you
13 skipped over several items.

14 MR. BROOKMAN: Oh.

15 MR. WALKER: You mean in terms of the
16 numbering?

17 MS. ANDERSON: Yes.

18 MR. WALKER: The numbering doesn't match
19 the framework document. The numbering matches the
20 comments that you would have seen in the framework
21 document, but are not necessarily in the same order.

22 MR. BROOKMAN: But everything in the
23 framework document you'll cover rather
24 systematically?

25 MR. WALKER: There may be one or two

1 exceptions where an item is left out, but there's
2 still an opportunity for that to be done in a
3 written comment.

4 MR. BROOKMAN: So I don't want to -- it
5 looks like you're very well prepared. We don't want
6 to mess you up.

7 MS. ANDERSON: We can -- so long as we
8 have the opportunity to comment there.

9 MR. BROOKMAN: Great. We'll make sure
10 you've got that. Okay. Let's try and -- I think
11 it's useful to make the comments as they fit with
12 the order of the slides. It's better for the
13 record, I think.

14 So you can see item 13 and 14, potential
15 metrics in HID lamp conservation standards and also,
16 let me see, differentiating between center beam --
17 well, the center beam intensity metric. Susan.

18 MS. ANDERSON: Susan Anderson. We
19 absolutely agree that the lamps should be measured
20 based on initial lumen output. Our standards are,
21 Tom, I believe, you measure them at 100 hours, so
22 you have achieved lamp stability. We also had, in
23 our earlier comments when we did the test and
24 measurement procedures, we had recommended that you
25 use the definition for lamp efficacy that's in IES

1 RP16. On double checking it, we find that they
2 don't define lamp efficacy. They define luminous
3 efficacy, which is the lumen output of the lamps
4 divided by the input wattage, which is what you're
5 going after. So our recommendation would be that
6 you still use the definition in RP16, but perhaps
7 you should use the term lamp luminous efficacy as
8 the appropriate term.

9 Then in terms of other measurements, say
10 for directional lamps, the DOE has already suggested
11 discarding these and excluding them from this
12 particular rulemaking, and NEMA definitely agrees
13 with that. And if that's the case, then you don't
14 need to come up with metrics for those, specific to
15 those lamp types.

16 MR. BROOKMAN: Joe.

17 MR. HOWLEY: Yes. We would agree with
18 that, that there is very limited use of directional
19 lamps in the HID area, and it certainly -- new
20 metrics based on zonal lumen, center beam candle
21 power, would be complex to develop. They have not
22 been developed yet and don't think it would be
23 appropriate to develop them in the HID family. We
24 recognize there's other rulemakings going on that
25 deal more with directional lamps that might be more

1 appropriate to develop such metrics, but we wouldn't
2 recommend developing them here.

3 MR. BROOKMAN: Susan, you were speaking on
4 behalf of NEMA, and Joe as chair of that section,
5 you're reinforcing what she said.

6 MR. HOWLEY: Yes, that's correct.

7 MR. BROOKMAN: Thank you. Okay. So then
8 any additional questions you have about this? No?
9 No additional. Joanna.

10 MS. MAUER: Joanna Mauer. My
11 understanding is that lighting designers typically
12 use mean lumens when choosing lamps and fixtures,
13 and then if you have a lamp that has poor lumen
14 maintenance that you'd have to use lamps with higher
15 wattages or use more fixtures. And so that lumen
16 maintenance has a direct relationship to energy use
17 in the field. So I'm wondering if DOE is
18 considering including or incorporating lumen
19 maintenance somehow in the standards?

20 MR. WALKER: For now the plan per the
21 framework document is that when considering more
22 efficacious and lower energy-consuming replacements,
23 and when considering the effects of standards, that
24 those replacements would be -- make sure that those
25 replacements could have the same lamp lumen

1 depreciation, LLD, mean lumen output. I don't know
2 if that answers your question exactly. Maybe a
3 manufacturer could speak to the relationship between
4 initial efficacy and mean efficacy.

5 MR. BROOKMAN: Let's let Joe try. Joe, go
6 ahead.

7 MR. HOWLEY: Yes, just want to make a
8 comment that lighting designers do consider that but
9 recognize that this standard is for all HID lamps in
10 all applications. New construction, new design
11 represents just a small percentage of sales in any
12 one year. So when you're considering the 95 percent
13 or more of installed base that these lamps would go
14 into, it doesn't really have any effect because the
15 user would have to use a lamp that's appropriate for
16 that fixture. HID lamps are very difficult --
17 systems are very difficult to use other sources.
18 You're typically locked into to a certain HID system
19 once that's designed and installed.

20 With regard to new installation, there is
21 a separate rulemaking going on with the ballast that
22 will more directly affect those new installations,
23 as opposed to this rulemaking, which is going to
24 have a much bigger effect on existing installed
25 base, which is really how we should be looking at

1 this rulemaking.

2 MS. MAUER: This is Joanna Mauer again.

3 And in the existing installations, would lumen
4 maintenance affect the wattage of lamps that you
5 would install?

6 MR. HOWLEY: No, it only affects how fast
7 you lose light output, but the wattage is the same,
8 so there's no energy impact on that.

9 MS. MAUER: But if you're moving towards a
10 lamp that's much more efficacious, you might kind of
11 go a step down in wattage to account for the extra
12 lumens you're getting at the same wattage?

13 MR. HOWLEY: If that was possible, but it
14 often requires a different fixture, a different
15 ballast to do that, and in some cases -- there may
16 be a few opportunities where that's possible, but
17 it's limited right now, and most HID systems, the
18 user really doesn't have a lot of options.

19 MR. BROOKMAN: Because of the installed
20 base.

21 MR. HOWLEY: Well, yeah, they're just
22 technically not a lot of options for the user to say
23 if they're using a 250 watt metal halide, they
24 really don't have the option of putting 175 watt
25 metal halide lamp in there. It's not like

1 incandescent. The ballast is driving that lamp at a
2 specific wattage. If you put 175 watt lamp in
3 there, the ballast will try to drive it at 250
4 watts, will overdrive it and give you very short
5 lamp life if they try to do that. And probably
6 violate UL ratings and other things if you tried to
7 do that. So it -- it's much more difficult for
8 users of existing systems to lower the wattage of
9 those systems.

10 MR. BROOKMAN: Susan, you want to add on?
11 No. Okay. Alex.

12 MR. BOESENBERG: Alex Boesenbergh, NEMA. I
13 just wanted to point out that we will include some
14 comments relative to this under item 38 and 39 where
15 questions are asked about group relamping and
16 relamping practices as well as maintenance and
17 repair of HID lamps, ballasts, and fixtures. And
18 it's pretty much the same answer. No, we don't
19 think anything's going to change, and no, it's not
20 economical often, to repair one of these devices,
21 you just replace them.

22 MR. BROOKMAN: Okay. Thank you. Final
23 comments here?

24 MR. WALKER: Okay. So we had a break on
25 the agenda, but we're doing pretty well.

1 MR. BROOKMAN: We've only been at this for
2 about 50 minutes. So keep going.

3 MR. WALKER: Okay. Keep on going.

4 **Market and Technology Assessment, Screening Analysis**

5 MR. WALKER: Let's start with the
6 discussion of the Market and Technology Assessment,
7 followed by the Screening Analysis. You can see on
8 this flow chart that decisions and information
9 thought about in these two steps flow through to the
10 rest of the interim analysis.

11 So in the market technology assessment, it
12 serves two main functions. First would be to
13 determine equipment classes and the second to
14 identify technology options that can be used to
15 increase efficacy. And in the screening analysis,
16 DOE examines its list of technology options from the
17 technology assessment, and determines which ones
18 should and should not be considered in the
19 engineering analysis.

20 So we'll move into the first output of the
21 market and technology assessment, which is equipment
22 classes. And equipment class establishes the
23 category of lamps that are subject to the same
24 standard, and so in considering potential groupings,
25 DOE looks at criteria such as capacity of the

1 product, type of energy use, and other performance-
2 related features such as those that affect consumer
3 utility.

4 So in the framework document DOE outlined
5 equipment classes on the basis of CCT and initial
6 light output, and DOE did not consider separating
7 equipment classes based on lamp technology because
8 it determined CCT effectively segregated those
9 groups, or segregated high pressure sodium from
10 metal halide or mercury vapor.

11 If we look at CCT in a little more detail,
12 HID lamps are available with a variety of CCTs, but
13 equipment usage indicates that consumers specify
14 lamps of particular CCTs for certain applications.
15 For example, the higher CCT of metal halide lamp is
16 preferred to the lower CCT of a high pressure sodium
17 lamp in an indoor warehouse application where people
18 would be moving about. And so this indicates
19 consumer utility on the factor of CCT. And then
20 based on a review of catalog information, it does
21 indicate that initial efficacy varies with CCT.

22 So based on the difference in efficacy and
23 the presence of consumer utility, DOE is considering
24 establishing equipment class on the basis of CCT.

25 So the table at the bottom of this slide

1 shows the three CCT ranges under consideration in
2 the framework document. The 1900 to 2500 range
3 would include high pressure sodium lamps, and the
4 2501 to 5000, and 5001 to 6999 would include metal
5 halide and mercury vapor.

6 So I'll go over the second class-setting
7 factor.

8 MR. BROOKMAN: You want to comment here,
9 Susan? You can do that.

10 MS. ANDERSON: Well, just a comment that
11 we made earlier, that the highest temperature range
12 should really be capped at 6000 because anything
13 above that is more than likely aquarium lighting.

14 MR. BROOKMAN: Okay. Thank you.

15 MR. WALKER: Okay. So if we look at the
16 second class setting factor, which was initial light
17 output, again, HID lamps are available with a
18 variety of light outputs, input powers, and while
19 light output and input power are highly correlated,
20 DOE decided to use light output as the class setting
21 factor because it's the feature more directly valued
22 by the customer. And again, customer light output
23 preferences vary by application. For a high ceiling,
24 the customer would require a higher light output
25 lamp than for a lower ceiling or a short pole.

1 So this indicates the presence of consumer
2 utility and again, a review of catalog data
3 indicated lamps of increased light output or
4 increased input power, were generally more
5 efficacious. So based on the difference in lumen
6 efficacy and consumer utility, DOE considered
7 establishing separate equipment classes based on
8 initial light output.

9 So this table outlines the equipment
10 classes for two of the three CCT ranges under
11 consideration, and again, moving forward, if
12 directionality and ballast location are not factors
13 for this rulemaking because directional lamps and
14 self-ballasted lamps have been excluded, they would
15 be removed from tables such as these. And I also
16 want to point out that the lumen ranges that you see
17 on the far right-hand side of the table, have the
18 potential to be collapsed into much fewer categories
19 as we'll discuss in the engineering analysis,
20 because DOE is considering an equation-based
21 approach that could span more than one of these
22 ranges.

23 So this brings us to two items for comment
24 on equipment classes. In item 16, DOE is generally
25 requesting comment on the equipment classes and

1 additional approaches that could be used that are in
2 accordance with this requirement, and specifically,
3 input on the proposal to establish equipment classes
4 based on light output, rather than rated wattage, as
5 well as on CCT, and the appropriateness of the
6 specific lumen output and CCT ranges selected. I
7 know we've heard on the 6999 range, but we could
8 also look for comment on the other ranges as well.

9 MR. BROOKMAN: Susan.

10 MS. ANDERSON: Okay. NEMA disagrees with
11 setting these standards based on lumen ranges. We
12 plan to provide an alternate proposal that will be
13 wattage-based, because of all of our tested
14 measurement is done at wattage, all the standards
15 are based on wattage, and quite frankly, lamps are
16 locked into fixtures based on lamp ballast
17 compatibility and wattage.

18 Also, besides color temperature impacting
19 lumen output, you also have coated versus clear
20 lamps. Generally, coated lamps have a lower lumen
21 output than clear lamps, yet there's a specific
22 utility for the coated lamps. You have things like
23 our standby lamps, which are double arc tube lamps,
24 that have two utilities specific to them. One is
25 longer lamp life, and the other is a safety issue.

1 Those are generally lower lumen output. You also
2 have protect lamps, where you have a shroud around
3 the arc tube to provide special -- additional
4 containment properties, so it's another safety
5 issue. In fact, in your opening slide, you had two
6 protect lamps, shrouded lamps, pictured there. That
7 generally impacts lumen output.

8 So, as I said, NEMA will be providing an
9 alternate proposal that will be wattage-based.

10 MR. BROOKMAN: Thank you. Additional
11 comments here? Do you want to talk -- do you want
12 to give them any initial thoughts about the many
13 different ranges listed here in this table?

14 MS. ANDERSON: Well, one thing we found
15 when looking at these ranges, for a given wattage
16 you could have a coated or a protect or a standby
17 lamp in a different category from where the clear
18 version would be. So that's why we think you need
19 to take those things into consideration and do a
20 wattage-based system, rather than a lumen based
21 system.

22 MR. BROOKMAN: Joe, you want to add on
23 here?

24 MR. HOWLEY: This was in line with what
25 Susan was saying, that you could have a single

1 wattage lamp and have it be in two different
2 categories simultaneously, depending on some of the
3 physical construction of the lamp or even depending
4 on testing variability. There is a wide tolerance
5 range on these particular lamp types with regard to
6 lumen output, which could vary by testing facility
7 or other measurements and we believe this would
8 create a lot of issues and problems going forward in
9 trying to determine exactly where a lamp falls in
10 what lumen category. Which is why we're going to
11 suggest that the proper way to differentiate this
12 product line is by wattage, not by the lumen output.

13 MR. BROOKMAN: Matthew, did we address 17?
14 I don't think we did.

15 MR. WALKER: Well, Susan got into it a
16 little bit. I mean this 17 lists some of the other
17 factors that DOE might consider for equipment
18 classes, including operating position, open versus
19 enclosed fixture rating, CRI-based type, the bulb
20 finish.

21 MR. BROOKMAN: If NEMA's going to come
22 back with a different proposal based on wattage,
23 this is still relevant, right? Shouldn't you
24 comment on 17 as well? Susan.

25 MS. ANDERSON: Seventeen does include some

1 of the things that we've talked about, for instance,
2 the enclosed versus open -- that would be the
3 protect lamp is suitable for an open fixture, where
4 an unprotected lamp would typically be used in an
5 enclosed fixture. We've addressed -- well, we
6 talked about color temperature, not necessarily CRI,
7 but in some cases, in some technologies, when you
8 improve CRI, you're doing it by adding a coating and
9 that lowers the lumen output, the fact that you've
10 added the coating.

11 And if you look at metal halide
12 technology, we changed the chemistry so a lot of
13 times the 4000, 4200 Kelvin lamps are higher lumen
14 output than the 3000 Kelvin, yet they both have
15 utilities, you know, depending on the application.
16 And coated versus clear, we've already talked about
17 that.

18 When you talk about base type, lamp
19 orientation specific, for instance, most of us have
20 higher performing probe-start metal halide lamps and
21 they are position-specific, so there's a specific
22 lamp for a horizontal, specific lamp for base up,
23 and specific lamp for base down. And we change the
24 arc tube configuration based on where -- the
25 position the lamp's going to be operated in. So

1 that doesn't necessarily affect lumen output, so
2 long as they're used in the correct position. But
3 then again, if you do have a universal lamp, say,
4 and that would be most typically in standard probe-
5 start technology, that's a lamp that has a higher
6 performance in a vertical position, base up or base
7 down, than it does in horizontal, but yet there's a
8 utility for those lamps in the fact that if you have
9 an aiming application, you can't use a restrictive
10 position lamp in those applications.

11 You also have an issue that we use
12 position-oriented mobile bases on those position-
13 specific lamps, and they won't fit in a standard
14 socket, which would be in many fixtures, and you
15 also have issues with end users misapplying lamps.
16 And one of the great things about the universal
17 burning lamp is that you cannot misapply it. It can
18 be used in any position.

19 MR. BROOKMAN: Alex.

20 MR. BOESENBERG: Alex Boesenberg. One, I
21 guess, housekeeping comment, relative for that, is
22 that table 3.1, the initial proposed classes based
23 on lumen range, as we've stated clearly, we are
24 developing a NEMA proposal for a wattage-based
25 approach, but just one housekeeping note relative to

1 that table is it includes direction, self-ballasted
2 and things like that, and as has already been
3 discussed, those are outside of the scope per the
4 DOE's initial determination. So, if that table is
5 kept, and we recommend you don't keep it, you should
6 at least pull those things out of it.

7 MR. BROOKMAN: Okay. Thank you. And I
8 just wanted to -- so you need to be submitting that
9 rather quickly, right, since the comment period ends
10 April 19th.

11 MR. WALKER: Twelfth.

12 MR. BROOKMAN: Twelfth. I tried to give
13 you an extra week.

14 MR. BOESENBERG: Yes. It will be as
15 quickly as possible.

16 MR. BROOKMAN: Thank you. Trying to slip
17 that in there.

18 MR. BOESENBERG: Yes, we understand the
19 deadline and I've got what we think is the final
20 draft of that table, we're just not ready to show it
21 to you today until everyone's had a chance to see
22 it.

23 MR. BROOKMAN: Good. I'm sure the
24 Department appreciates your getting that done.
25 Additional comments? Yes, Daniel.

1 MR. YOUNG: Yes, Daniel Young. I had a
2 question for NEMA about the change to a wattage-
3 based system. My understanding is that the efficacy
4 is a component of the wattage and the lumen output,
5 and efficacy being the thing that we're trying to
6 regulate, I'm just a little confused about since one
7 kind of leads to the other, what the difference is.

8 MR. BROOKMAN: Susan.

9 MS. ANDERSON: Well, in HID, if a ballast
10 is designed to operate a 400 watt lamp, it's
11 designed to operate a 400 watt lamp. So if you've
12 got a 400 watt lamp, it doesn't matter whether it's
13 35, 36,000 lumens initially, or 42,000 lumens
14 initially. Remember, most of these are sold into
15 existing installations, the fixture installation is
16 the fixture installation. The ballast is the
17 ballast. If that system uses 450 watts, it's not
18 going to matter whether it's a 36,000 lumen lamp or
19 a 42,000 lumen lamp. There's no energy savings to
20 be realized.

21 MR. BROOKMAN: Daniel.

22 MR. YOUNG: Right. I understand that. I
23 guess my question is, doesn't that just make one
24 lamp perhaps not meet the standard and one that does
25 meet the standard?

1 MS. ANDERSON: But the whole purpose of
2 this rulemaking is to realize energy savings.

3 MR. YOUNG: Sure, right.

4 MS. ANDERSON: There's no energy savings.

5 MR. YOUNG: So I think maybe --

6 MS. ANDERSON: The rulemaking that's
7 covering the ballast and the new metal halide
8 luminaries, that can result in energy savings, and
9 that can determine then, the lamp that's used in
10 that luminaire. Like what's already in place,
11 because of EISA 2007, if it's between 150 and 500
12 watts, it has to be pulse-start. And pulse-start,
13 in general, has better performance than probe start.
14 So that is providing for additional energy
15 efficiency. This would not.

16 MR. HOWLEY: I think in this particular
17 case, just a follow-on. For instance, let's
18 consider the case with HID lamps, there's a 400 watt
19 mercury vapor lamp and a 400 watt metal halide lamp
20 and they both use the same amount of wattage. If,
21 for instance, the standard was set such that the 400
22 watt mercury vapor lamp couldn't meet it, the user
23 of that system would have to replace their entire
24 system, would have to replace their fixture, and the
25 theory then is once they have to replace that

1 fixture, they would replace it with either high
2 pressure sodium or metal halide at a much lower
3 wattage for the same light output. And that would
4 drive energy savings.

5 This is one case where often it's a whole
6 system change that's required as these older
7 inefficient systems go away. It does put a much
8 greater burden, though, on trying to show cost-
9 effectiveness, since the users in the HID world
10 typically are going to have to invest somewhat
11 significantly once these -- if lamp types are
12 eliminated. But it would then ultimately produce
13 energy savings as they switch to a different
14 technology. They may even switch to an LED
15 technology if it's an outdoor fixture, but it would
16 force their hand to do something.

17 MR. BROOKMAN: Okay. That was good.
18 Thank you. Yes.

19 MR. WALKER: So that's all for equipment
20 classes. So we'll move to the second main function
21 of the market and technology assessment, which is
22 development of the list of technology options that
23 can be used to increase lamp efficacy. These
24 technology options are based on those used in
25 commercially available lamps as well as working

1 prototypes.

2 So this slide and the next goes over
3 options identified for each lamp technology. So
4 starting with mercury vapor lamps. These lamps have
5 been heavily replaced with metal halide and high
6 pressure sodium, and DOE is not aware of options for
7 the mercury vapor lamp itself, but rather use the
8 transition to other lamp technologies as the pathway
9 to increased efficacy and reduced energy savings --
10 I mean, reduced energy use.

11 So then moving to high pressure sodium
12 lamps, catalogs indicate a range of high pressure
13 sodium efficacy exists, but DOE is not aware in the
14 framework document of specific options used to
15 achieve these different efficacies. DOE is also not
16 considering other lamp technologies to be
17 substitutes for high pressure sodium, just
18 contrasted with the mercury vapor situation.

19 And then finally, we have metal halide
20 lamps, and the table on this slide describes some of
21 the options available for increasing the efficacy of
22 these types of lamps.

23 • First the use of pulse starting rather than
24 probe start;

- 1 • The use of ceramic material in the arc tube as
- 2 opposed to quartz;
- 3 • The use of formed or offset electrode arc tube
- 4 design;
- 5 • The use of novel gases or different gas
- 6 compositions within the arc tube; and finally,
- 7 • New electrode designs or fluoro... materials
- 8 could reduce losses in the electrodes, and just
- 9 in general, all of these methods could increase
- 10 the efficacy of metal halide lamp.

11 So item 18 welcomes comment on the
12 technology options identified in this section for
13 all three lamp technologies, as well as any
14 additional options that should be taken into
15 account.

16 MR. BROOKMAN: Joe.

17 MR. HOWLEY: Just a few comments, perhaps
18 one on the pulse start versus probe start
19 technologies. The pulse start lamps aren't
20 necessarily more efficient than the probe start
21 lamps if you're looking at initial efficiency. Also
22 an existing user of a probe start system, which are
23 the older metal halide systems, can't just switch to
24 a pulse start lamp. They would have to put new

1 ballasting system in that fixture for that to
2 operate.

3 MR. WALKER: Right.

4 MR. HOWLEY: So there are limitations to
5 some of these technology options.

6 MR. WALKER: I mean that sort of
7 transition would be accounted for in the engineering
8 analysis, transition from probe to a pulse start
9 lamp would also require a purchase of a new pulse
10 start ballast.

11 MR. HOWLEY: Right, and it's already
12 occurring as well, and I know you're to consider
13 other rulemakings, but there's another rulemaking on
14 fixtures that is basically also already forcing this
15 transition in new fixture design where it's the most
16 cost effective. We do not believe this would be
17 cost effective for existing users, but the way to do
18 it is to transition it through the new fixture
19 design, the fixture rulemaking. But I'm sure in the
20 analysis you'll take that into account.

21 MR. BROOKMAN: Susan.

22 MS. ANDERSON: Well, I was just going to
23 say it's not just the ballast that also has to be
24 changed. If you were to try to retrofit a fixture,
25 you also have to change the socket. You have to

1 change the wiring in the fixture, because what's
2 there for a probe start system is not rated to take
3 the high voltages required for the pulse start
4 system. So that's why, in general, if they could
5 not buy replacement lamp, they would have to go to
6 an entirely new luminaire.

7 MR. BROOKMAN: Okay.

8 MS. ANDERSON: So for some end users, that
9 could be a huge financial impact on them. And, you
10 know, further on in here you talk about incentive
11 programs. Well, the incentive programs for HID are
12 generally for outdoor applications, and it's usually
13 for eliminating HID and going to LED. It's not for
14 installing HID. And, in fact, the fluorescent
15 programs, incentive programs, are taken, when you
16 look at a tear out applications, are actually
17 incentivizing people to go from HID to fluorescent.
18 So there's a declining market for HID lamps.
19 They're being hit from multiple sides.

20 MR. BROOKMAN: Okay. John.

21 MR. GREEN: Yes, John Green. As a fixture
22 manufacturer, I totally agree with what Susan said
23 about rewiring and what's necessary to change over a
24 fixture. There's also another item. We have to add
25 a starter into this new electrical circuit for a

1 pulse start lamp, and many fixtures may not be able
2 to handle the additional components.

3 MR. BROOKMAN: They won't fit?

4 MR. GREEN: They won't fit. There's just
5 no place to put it, correct.

6 MR. BROOKMAN: Okay. Daniel.

7 MR. YOUNG: Daniel Young. So I understand
8 there are some products that are built to work as a
9 pulse start lamp on a probe start ballast. So just
10 a note for DOE to make sure to take those into
11 account.

12 MR. BROOKMAN: Okay. Keith.

13 MR. COOK: I think you're referring to
14 some of the new ceramic metal halide type lamps,
15 like the all-start, and yeah, they can be
16 replacement, but they very -- also very efficacious
17 too.

18 MR. BROOKMAN: Joanna.

19 MS. MAUER: Joanna Mauer. Just on the
20 ceramic metal halide, I think DOE said in the
21 framework document that it's considering ceramic
22 metal halide as a technology option for lamps up to
23 400 watts, because that's maybe what's on the market
24 currently. But I think we just encourage DOE to
25 consider not just where the technology is being

1 applied today but where it is kind of evolving, and
2 where it may be or could be applied, and if it could
3 be applied to higher wattage lamps if we're talking
4 about a standard that won't go into effect until
5 2017 or so.

6 MR. BROOKMAN: Thank you. You can see
7 several different technology options there. I don't
8 think we've covered all of these yet. I'm quite
9 sure we haven't. So additional comments on --
10 additional thoughts on technology options. Daniel.

11 MR. YOUNG: Daniel Young. Just a quick
12 comment. Someone noted that a lot of the incentive
13 programs are pushing people away from HID, but I
14 just wanted to make the comment that we have rebate
15 programs that are focused on pulse start metal
16 halide and ceramic metal halide technologies.

17 MR. BROOKMAN: Those are the companies you
18 represent in California?

19 MR. YOUNG: Yes, California Investor-owned
20 Utilities.

21 MR. BROOKMAN: What about the rest of the
22 country? Do you know about that?

23 MR. YOUNG: I don't.

24 MR. BROOKMAN: Okay. Susan. No? Nothing
25 additional? Additional -- yes, Daniel.

1 MR. YOUNG: One more thing. Daniel Young.
2 So again, on the previous slide there's a sentence
3 that says DOE does not consider other lamp
4 technologies to be substitutes for HPS. Does that
5 mean that DOE doesn't include LEDs as substitutes
6 for HPS, or is that not something that's relevant to
7 this right now?

8 MR. WALKER: I think the intention of that
9 statement was looking at the HID world.

10 MR. YOUNG: Sure. Thank you.

11 MR. BROOKMAN: Okay.

12 MR. WALKER: Can I ask a follow-on to
13 John, on fixtures? So, I was wondering if you could
14 comment on the extent to which a customer would have
15 to purchase a new fixture if they're converting a
16 mercury vapor installation to high pressure sodium
17 or metal halide?

18 MR. GREEN: John Green. I'm not sure I
19 understand the question.

20 MR. WALKER: I guess I'm asking if a new
21 ballast, igniter, lamp could be installed in the
22 existing enclosure --

23 MR. GREEN: For mercury --

24 MR. HOWLEY: For mercury vapor fixture and
25 simply retrofit the guts into a metal halide --

1 MR. GREEN: That's probably even less
2 likely than if you had a probe start metal halide
3 current fixture and tried to fit a pulse start into
4 it. Mercury vapor fixtures would be even less
5 likely to accommodate pulse start.

6 MR. BROOKMAN: You're better off pulling
7 it all out and putting in something entirely new?

8 MR. GREEN: Well, the fixture is something
9 -- you mean the entire fixture, yes, that's true.
10 You'd have to probably just consider replacing the
11 entire fixture.

12 MR. BROOKMAN: Susan.

13 MS. ANDERSON: This is going back to my
14 days when I was a ... fixture rep. But there's also
15 something called redirected energy, and you have to
16 make sure that the arc tube is correctly positioned
17 within the optical system of the fixture, and if
18 it's not then the reflector can redirect energy back
19 into the arc tube and cause the arc tube to self-
20 destruct. So if you try to retrofit, there's a lot
21 of things you have to take into consideration beyond
22 just whether you have the right operating system or
23 not.

24 MR. BROOKMAN: Okay. You okay? Get to
25 the microphone, please, Merry. Say your name for

1 the record.

2 MS. WALKER: Merry Walker. As a follow-up
3 to John's comment about replacing mercury vapor
4 lamps with --

5 MR. BROOKMAN: Merry, get close.

6 MS. WALKER: -- pulse start metal halide,
7 were there any issues with replacing mercury vapor
8 with a probe start metal halide, or just with the
9 pulse start?

10 MR. BROOKMAN: John.

11 MR. GREEN: Yeah, the probe start metal
12 halide would probably be a more likely fit. It's so
13 dependent on how the fixture was originally
14 constructed. But there are differences in light
15 center lengths and things that make the optics work
16 correctly, so it's not just an electrical issue,
17 it's a matter of are you distributing light
18 correctly as well. And will the optical system work
19 with the other source. So there's a lot of
20 variables and that's why I hesitate to give you a
21 pat answer. But the probe start would be a more
22 likely fit, at least from the electrical component
23 viewpoint. I don't think I can say any more than
24 that at this point.

25 MR. HOWLEY: And maybe just -- industry

1 experience hasn't been that people retrofit mercury
2 vapor fixtures to the other technologies. We just
3 don't see it done. What we see done is brand new
4 fixture. They might use the same pole, but they put
5 a brand new fixture on that pole, that's either
6 designed specifically for metal halide or high
7 pressure sodium.

8 MR. BROOKMAN: John, follow on. Just for
9 the record, thank you, Joe, and now back to John.

10 MR. GREEN: John Green again. I think
11 that's a good point Joe made, because most of the
12 mercury vapor fixtures that are out there are
13 probably very old. Mercury vapor lasts a long time,
14 so if someone's going to the expense of trying to
15 retrofit an electrical system, they're probably
16 going to just go ahead and do the entire fixture
17 change out.

18 MR. BROOKMAN: I see. Okay.

19 MS. WALKER: Thank you.

20 MR. BROOKMAN: Susan.

21 MS. ANDERSON: I hope everyone remembers
22 that because of prior legislation, you can't buy
23 replacement mercury vapor ballasts, so we already
24 have things in place to get rid of mercury.

25 MR. BROOKMAN: Okay. Great. Thank you.

1 Yes, one more slide.

2 MR. WALKER: So, last slide for me,
3 screening analysis. DOE reviews its technology
4 option list and decides which of those options
5 should become design options for consideration in
6 the engineering. So DOE uses criteria like
7 technological feasibility, the practicability to
8 manufacture, install and service that particular
9 design, as well as any adverse effects on product
10 utility or availability, or health and safety.

11 So in item 19, DOE is welcoming comment on
12 how these four criteria could be applied to the
13 technology options that we discussed in the previous
14 slides.

15 MR. BROOKMAN: Joe.

16 MR. HOWLEY: NEMA agrees that DOE should
17 focus on the maximum practical design. But in the
18 HID world, especially, there's a lot of limitations
19 on what represents a practical retrofit. As you
20 work through what's practical, we agree on assessing
21 it this way.

22 MR. BROOKMAN: You wish to change the
23 wording here and emphasize practical.

24 MR. HOWLEY: Number two does say practical
25 to manufacturing, so --

1 MR. WALKER: I'm with you.

2 MR. BROOKMAN: I think we've got that.

3 Okay. Additional comments? Yes, Susan.

4 MS. ANDERSON: Well, our fear is, because
5 this had happened in prior rulemakings, is looking
6 at prototype lamps that have never been made on
7 regular production equipment or ever installed in
8 the field to get any kind of service data on them,
9 you know, let's stick to something we know works.

10 MR. BROOKMAN: That's a useful comment,
11 thank you. Other comments related to 19 and these
12 criteria, these aspects of screening?

13 Nothing additional.

14 Let's take a break. We really covered a
15 lot of ground very efficiently, very effectively, so
16 my thanks to everyone in the room. It's now 10:20,
17 we're going to take a break for 15 minutes, which
18 means we'll resume at 10:35. Thanks to those
19 joining us via the web, we want you to continue to
20 stay with us. If you're going to -- please --

21 (Whereupon, at 10:20 a.m., the meeting was
22 recessed for a 15 minute period.)

23 MR. BROOKMAN: For those of you joining us
24 via the web, I understand that here in the room that
25 we don't have the capacity, at this point, to unmute

1 the lines that are incoming, although we're working
2 on it, trying to reverse that. So those of you that
3 are joining us via the web, if you have questions or
4 comments, please type them in and we'll try to
5 insert them in the conversation. In the meantime,
6 we've got the tech guys coming up here to see if we
7 can solve that issue.

8 MS. deBUTTS: I mean that was not an issue
9 so far in our conversation, people were able to
10 submit the comments, but we just want to make sure
11 that we can unmute the participants.

12 MR. BROOKMAN: Doing our best to work on
13 that. So we really made good progress already
14 today, and now we're going to hear from Merry
15 Walker, engineering analysis.

16 **Engineering Analysis**

17 MS. WALKER: My name's Merry Walker, and
18 I'm also from Navigant. I'll be discussing the
19 engineering and the product price determination
20 analysis. So as you can see, the outputs of the
21 engineering and the product price determination
22 analyses uses inputs for the life cycle cost and
23 national impact analyses.

24 This slide depicts the engineering
25 analysis methodology. So first DOE chooses
26 representative equipment classes from the full

1 equipment classes that were discussed earlier. Then
2 DOE selects the baseline models from the
3 representative equipment classes and we'll use the
4 base line models to assess changes due to
5 establishing energy conservation standards.

6 Then DOE will identify higher efficacy
7 substitutes from a database of commercially
8 available lamps and develop efficacy levels that
9 range from the baseline model baselines to the
10 maximum technologically feasible level.

11 Finally, DOE will scale the results from
12 the representative equipment classes to those that
13 are not directly analyzed.

14 The representative equipment classes are
15 those that have high volumes or unique performance
16 characteristics. DOE concentrates its analytical
17 effort on these specific equipment classes. Within
18 each representative equipment class, DOE then
19 selects the lamp models that are the most common and
20 least efficacious to be the baseline models. When
21 there's a large portion of the market that has
22 already adopted a more efficacious lamp, then DOE
23 will consider analyzing two baseline models.

24 This table here shows the nine
25 representative equipment classes and their

1 associated 13 baseline models that DOE has
2 preliminarily chosen its analysis. DOE chose these
3 lamps by analyzing commercially available lamps and
4 found that the listed models are the least
5 efficacious and most common. For the representative
6 equipment classes below, you see that there are two
7 baseline models selected. The mercury vapor lamps
8 are the least efficacious -- are typically the least
9 efficacious within their respective representative
10 equipment class, but a large portion of the market
11 has already adopted metal halide lamps. DOE is
12 analyzing both as baseline models because it is
13 important for DOE to be able to correctly assess the
14 life cycle impacts and efficacy level against what
15 is currently used in the market today.

16 So with that, I'd like to open the floor
17 for comments on the representative equipment classes
18 as well as the baseline models selected.

19 MR. BROOKMAN: Let's go back to the
20 previous table. Susan.

21 MS. ANDERSON: One kind of a general
22 comment that we had is that the scaling doesn't
23 typically work with HID lamps. They're non-linear.
24 Whereas scaling worked for halogen car lamps. We
25 don't see it working for HID lamps.

1 And the other thing, we are going to
2 present an alternate proposal that will be wattage
3 based and in that we will establish proposed
4 baseline lamps as well. And then one other thing --
5 and one of the lumen ranges here, this is in the
6 metal halide/mercury grouping, in the 8001 to 12000
7 lumen range, one of your proposed baseline lamps is
8 a 150 watt probe start metal halide. As far as I
9 know, all 150 watt metal halide lamps are pulse
10 start. Is there an exception --

11 MR. BROOKMAN: Tom.

12 MR. HARDING: Tom Harding. There is one.
13 There's a 150 watt probe start that actually works
14 on the 175 watt ballast as a replacement lamp -- and
15 saves --

16 MS. ANDERSON: It's a retrofit?

17 MR. HARDING: It's a retrofit lamp for a
18 175 watt probe start ballast system.

19 MR. BROOKMAN: So what does -- I didn't
20 understand what that does to the categories that are
21 here.

22 MS. ANDERSON: I was just pointing out
23 that except for this one exception, then, there's no
24 150 watt probe start metal halide which was chosen
25 as a baseline lamp.

1 MR. BROOKMAN: Okay.

2 MS. ANDERSON: All the medium screw-base
3 lamps, when those were developed, those were pulse
4 start.

5 MR. BROOKMAN: NEMA's going to come
6 forward with an alternate proposal, based on
7 wattage. Okay. Additional comments on these --
8 this table? None. Okay.

9 MS. WALKER: Okay. After establishing the
10 baseline models, DOE selects higher efficacy
11 substitutes by collecting and analyzing commercially
12 available lamps. DOE recognizes the lamps lumen
13 package and other performance characteristics, such
14 as CRI and CCT are important design criteria for
15 customers and chooses more efficacious lamp
16 substitutes with performance similar to that of the
17 baseline lamp. In order to maintain lumen output,
18 DOE may select a reduced wattage, high efficacy lamp
19 replacement or replace and reduce the number of
20 fixtures to equalize lumen output.

21 Because lamps and ballasts operate
22 together in practice, DOE is basing its energy
23 consumption analysis on a lamp and ballast system.
24 When the ballast is also taken into consideration,
25 it will more accurately characterize the cost

1 effectiveness of an efficacy level.

2 We'd like to open the floor for comments
3 on high efficacy lamp substitutes as well as the
4 availability of reduced wattage lamps, and the
5 practicality of replacing and reducing fixtures as
6 well as whether barriers exist in developing new
7 lamps that would provide reduced wattage
8 alternatives in today's lamps.

9 MR. BROOKMAN: Susan.

10 MS. ANDERSON: Yes. A lot -- we've
11 already made a lot of comments that really apply to
12 this and do please remember that when you're looking
13 at a retrofit like if someone were to go from probe
14 start to pulse start, remember the issues with that,
15 and as John said, you have to add a starter into the
16 fixture and there really isn't -- he doesn't expect
17 there to be room for that, so it's really not
18 practical. You're talking about going to a whole
19 new fixture. So you should take in to when you do
20 your cost analysis, it should be based on a new
21 luminaire. Not a retrofit situation.

22 The other thing, I think John is going to
23 comment.

24 MR. BROOKMAN: John.

25 MR. GREEN: Yes, John Green. As far as

1 the idea of changing the spacing of fixtures, maybe
2 bringing them closer together or further apart,
3 based on a new lamp, is really impractical. There
4 are a few wiring systems out there that allow
5 fixtures to be moved around. They're called
6 flexible wiring systems or modular wiring systems,
7 that are specifically put in to make a space
8 flexible in the way it's utilized. However, the
9 vast majority of installations are done with a fixed
10 conduit system, with fixed terminations where the
11 luminaries are located, and to move luminaries would
12 be a very expensive and time consuming proposition,
13 because conduits would have to be moved, hanging
14 systems redone, and in a lot of cases, a building
15 layout drives the way the fixtures are located
16 anyway. The aisle-ways in warehouses, or grocery
17 stores or wherever this fixture is being used, the
18 location of the fixture is important because of the
19 layout of the application. So the fixture cost may
20 pale in comparison to trying to move electrical
21 systems and repositioning fixtures. So it's a very
22 impractical assumption to make.

23 MR. BROOKMAN: Okay. Susan.

24 MS. ANDERSON: Kind of an additional
25 comment along that line. A lot of times, it's the

1 location of other systems -- duct work, sprinkler
2 heads and that sort of thing that really have the
3 final determination of where the lighting fixture
4 can be located. And in the case of sprinkler heads
5 for safety and insurance reasons, that takes
6 precedence over the ideal location for the
7 luminaire. So it's -- chances are you're not going
8 to see any gain from assuming something like that.
9 And it seemed to me as I read this, that the DOE had
10 come to the same conclusion there.

11 MR. BROOKMAN: Okay. Tom, you want to
12 comment? No. Okay. Susan, please.

13 MS. ANDERSON: One other thing. We did
14 want to note that when you look at mercury vapor
15 being replaced by metal halide or high pressure
16 sodium, it's really application driven. So indoors
17 you tend to see mercury vapor replaced with metal
18 halide or fluorescent, and outdoors, you tend to see
19 mercury vapor replaced with high pressure sodium.
20 That's been the traditional replacement, but in more
21 recent years, because of a lot of the incentive
22 programs that are out there, it's been going to LED,
23 particularly in the last three years, with the
24 stimulus funding that many states and communities
25 have received.

1 MR. BROOKMAN: Okay. Thank you. Yes,
2 Mimi.

3 MS. GUPTA: Mimi Gupta, Navigant. So
4 earlier we talked about a lot of the limitations
5 associated with using reduced wattage lamps and how
6 that might necessitate a ballast change. And then
7 we talked about how changing technology would
8 necessitate a ballast change also. Does the
9 industry see any opportunities for energy savings
10 that would not necessitate ballast change?

11 MS. ANDERSON: We do have some lamps, in
12 our case we call them supersavers, that's our
13 traditional name, where we have a 360 watt metal
14 halide that replaces a 400 watt metal halide. But
15 it operates on the same ballast, and your savings is
16 that 40 watts difference in the lamp. Those are
17 already in the market place.

18 MS. GUPTA: Right. And so I think we've
19 seen those on the market, but there aren't reduced
20 wattage options for every wattage out there. Is
21 there that capability of designing those?

22 MR. BROOKMAN: Keith.

23 MR. COOK: Keith Cook. In all honesty,
24 it's highly unlikely, and the reason is there's such
25 an emphasis on LED systems now as a replacement for

1 a large part of this whole market, that the
2 resources are being spent in that area, as opposed
3 to developing new technologies and new replacement
4 lamps in the HID market. The long term bet is
5 really on the LEDs, and so as far as developing new
6 models, highly unlikely.

7 MR. BROOKMAN: Joe.

8 MR. HOWLEY: I would agree with that.
9 Pretty much what is on the market today, you have to
10 assume that that is what you have to work with.

11 MS. WALKER: Is there a certain tolerance
12 in terms of wattage that a ballast can tolerate,
13 like, you know, you talked about going from 400 to
14 360 as you can operate that on the same ballast.
15 But maybe going from 250 to 175 is out of that
16 capability, it's too big of a difference. Is there
17 a percentage change that --

18 MR. BROOKMAN: Susan.

19 MS. ANDERSON: Well, yeah, that's not
20 within the ballast tolerance range. And there you'd
21 have such a difference in light level, would not be
22 -- you wouldn't be providing equivalent light.

23 MR. BROOKMAN: Keith.

24 MR. COOK: Yeah, essentially what we have
25 to do when we design a new lamp is to actually make

1 sure that there are ballasts available that will
2 drive it. So it's almost an impedance match, and so
3 we have to look at that and to make sure that the
4 replacement that we're putting in will work in that
5 application.

6 MR. BROOKMAN: John.

7 MR. GREEN: Susan noted about the -- I
8 think we've all noted about the technology and where
9 resources are being spent. They were commenting on
10 the lamp manufacturers' viewpoint, but the same
11 thing applies to fixture manufacturers. Very little
12 is being placed now on sources other than LED, so
13 we'd rather place our development funding and
14 resources into a technology we feel is going to be
15 more appropriate in the next five years. So just
16 wanted to reinforce that.

17 MR. BROOKMAN: Thank you. Okay.

18 MS. WALKER: Okay. After identifying more
19 efficacious lamp substitutes, DOE develops a set of
20 candidate standard levels, also known as CSLs, that
21 are considered in the interim analysis. The CSLs
22 span the range of lamp efficacies from the baseline
23 to the maximum technologically feasible level, and
24 considers other factors such as design options.

25 The equipment class structure that was

1 previously discussed reflects a bin efficacy level
2 approach in which DOE would establish one lamp
3 efficacy for each lumen range. Although this may
4 simplify standards, it would subject all the lamps
5 within a lumen range to the same level. Because
6 high efficacy lamps typically have higher lumen
7 output, it could potentially shift the market
8 towards high lumen output lamps that also have
9 higher input power within each bin, thereby negating
10 energy savings. Because of this, DOE is considering
11 an equation-based approach in which lamp efficacy
12 would be defined as a function of lumen output, thus
13 eliminating the need for equipment classes to be set
14 on lumen output.

15 So we had some comments earlier about
16 using wattage instead of lumen output, but we would
17 also like to receive comment on the use of an
18 equation-based approach rather than a bin approach,
19 and also whether highly efficacious lighting systems
20 could be eliminated given a particular lamp efficacy
21 requirement.

22 MR. BROOKMAN: Yes.

23 MR. HOWLEY: This is Joe. We, for this
24 particular product area, we don't believe an
25 equation-based approach is practical -- is a

1 practical way to apply an analysis. We believe, in
2 this case, you have to look at, since this is mostly
3 going to affect new -- mostly going to affect
4 existing systems, you have to look at the existing
5 system installed, for instance, a 200 watt -- or 250
6 watt, say, metal halide system -- and determine is
7 there any practical replacement for that system.
8 They're going to have very limited ability to just
9 change a lamp, which means they'd have to change a
10 lamp and a ballast. And if they have to change a
11 lamp and a ballast, the question is, will the
12 starter, for instance, if you're going to pulse
13 start, the pulse start system fit. In most cases it
14 wouldn't, and so you would have to assume you have a
15 fixture change. If you're going to a fixture
16 change, you have to determine whether or not it's
17 cost-effective to change out an entire system that's
18 already fairly efficient to one that's perhaps
19 slightly more efficient. And given that each system
20 represents its own discrete problems, and there
21 might be different options, whether you're talking
22 175 or 250 or 400, we believe you have to look at
23 each of these in a binned approach. You have to
24 look at each wattage bin, which is what we'll be
25 suggesting, creating wattage bins. And you have to

1 analyze each wattage bin to look at what options
2 there are for the existing system, because this is
3 going to have the biggest impact on existing
4 systems.

5 We believe new systems are already being
6 converted by two other rulemakings, one that
7 essentially eliminated mercury vapor ballasts, and
8 the other one that's forcing fixtures to go to --
9 brand new fixtures to go to pulse start systems.
10 That has taken care of the new systems going forward
11 which represent the future systems. But in terms of
12 the existing system, this rulemaking is going to
13 have the biggest impact on existing systems,
14 existing users, and you have to really look at what
15 they have and what their real options are, and
16 whether or not it's cost-effective to force them, in
17 most cases, to go into an entire new fixture,
18 including electrical labor rates associated with
19 putting in a new fixture.

20 So, again, we don't think -- an equation
21 only works in theory. It's a good theoretical
22 concept if we're in college, maybe that's a good
23 approach. But in the real world, we have to look at
24 specific systems and what these specific equipment
25 options are for that application.

1 MR. BROOKMAN: Keith.

2 MR. COOK: Keith Cook. For item 25, we're
3 not against evaluating highly efficacious light
4 systems, but we do want to proceed very, very
5 cautiously here. And the reason we're saying that
6 is, we know for a fact right now that an unprotected
7 lamp is going to be more efficacious than one that
8 is protected or one that's coated. And yet there
9 are many applications where we absolutely have no
10 choice but to put in a protected lamp. Like
11 gymnasiums or grocery stores or those kinds of
12 environments. And so if we jump to the conclusion
13 that we have to go to this because it's the most
14 efficacious light system, we end up with no solution
15 to the market, I'll tell you right now. So, you
16 know, we agree, let's look at it, but we can't rule
17 out that a lot of these lamps that we know for a
18 fact are less efficacious.

19 MR. BROOKMAN: Okay. Susan.

20 MS. ANDERSON: Well, there's another thing
21 to think about in terms of the protect versus the
22 non-protected lamp too, and that the protect lamp
23 can go in an open luminaire, and in many cases those
24 are more efficient systems and they stay -- the
25 whole system stays cleaner longer, it has better

1 lumen maintenance over its life because of the
2 design of the luminaire not having that lens in
3 place. There's one manufacturer where it's always
4 open around the top of the optical system, so
5 there's literally a chimney effect so that dirt
6 rising up into the fixture, the air movement, the
7 hot air rising from the heat generated by the lamp,
8 lifts it up and out of the fixture, so the inside of
9 the luminaire stays cleaner. So there are definite
10 advantages to these open fixtures as opposed to
11 enclosed.

12 MR. BROOKMAN: Daniel.

13 MR. YOUNG: Daniel Young. I have a
14 question for NEMA. Is your proposal then looking at
15 specific rated wattages, or are there still going to
16 be multiple rated wattages per bin? So instead of
17 DOE's approach, which is to look at bins that might
18 include multiple rated wattages, --

19 MR. BROOKMAN: Daniel, get close to that
20 microphone, please.

21 MR. YOUNG: Sorry. As opposed to DOE's
22 proposal which could potentially include multiple
23 rated wattages within a single bin, is NEMA's
24 approach to split completely by rated wattage and to
25 look at -- so for this rated wattage, this energy

1 would be set here, and so forth?

2 MS. ANDERSON: Our technical folks are
3 actually in discussion on that now. We started out
4 with a proposal that came from our company, and it
5 was strictly wattage based. I'm sure there'll be
6 some binning, but not in terms of today's existing
7 wattages. So like a -- it's possible, I don't know
8 what they're going to come up with -- like the 360
9 watt energy saving lamp would end up in the same bin
10 as the 400. Because they operate on the same
11 ballast.

12 MR. BROOKMAN: Did we cover it? Mimi.

13 MS. GUPTA: I just want to ask one
14 question, following on a comment that Joe made
15 earlier on -- in the meeting, relating to the
16 variability of lumen output for a given wattage
17 lamp. This is an issue that's kind of come up in a
18 lot of the previous lighting rulemakings, having to
19 do with, you know, say we find a commercially
20 available lamp on the market that saves energy, and
21 DOE wants to target as an energy saving option.
22 What is the efficacy standard that represents that
23 lamp? And how does variability fit into that? So I
24 would just request industry to submit whatever data
25 they can as early as possible, regarding the

1 variability in terms of efficacy of a given model
2 and how that should be incorporated into the
3 analysis.

4 MR. BROOKMAN: Okay.

5 MS. WALKER: Okay. Well, actually I have
6 a question, and this is related to the bin versus
7 the equation-based approach. So the same concern
8 that when there's one efficacy level set for a
9 particular bin, it might shift the market towards
10 one end of the bin because it's easier to meet a
11 standard because the lamps are more efficacious at
12 one level. Would you anticipate the same thing
13 happening with the wattage bin approach, shifting it
14 towards higher wattage lamps, perhaps?

15 MR. BROOKMAN: Joe.

16 MR. HOWLEY: No. We wouldn't expect that
17 to happen because the ballasts are rated to drive a
18 specific lamp design, a specific lamp wattage, so
19 you just can't put in a 400 watt lamp in a 250 watt,
20 say, system, because it's more efficient. In fact,
21 the regulation grouped 250s and 400s together in the
22 same bin, and you set the reg based on the 400, it
23 would eliminate a 250 watt lamp, and there would
24 literally be no product that could go into that
25 system if you did that for that user, because he

1 couldn't use it. He'd have to go to a brand new
2 fixture in that case. So, bin hopping in this
3 particular case, that might be more of an argument
4 for perhaps a source where you can go up and down
5 quite easily with wattages, perhaps more of an
6 incandescent type of source, where you can move it
7 anywhere. Where, with metal halide, they're
8 discretely designed. The wattages are discrete.
9 The ballasts are discrete. There really isn't any
10 opportunity for the user to bin hop up or down. So
11 we wouldn't expect that to be a concern with this
12 particular product line.

13 MR. BROOKMAN: Joanna.

14 MS. MAUER: Joanna Mauer. I think we'd
15 encourage DOE to consider an equation-based approach
16 if DOE can develop an equation that represents the
17 relationship between lumen output and efficacy, I
18 think it would just better represent that
19 relationship between efficacy and lumen output.

20 MS. WALKER: Okay. The final step to the
21 engineering analysis is to scale the efficacy levels
22 that are established for the representative
23 equipment classes to those that are not directly
24 analyzed. DOE intends on using scaling factors that
25 are observed in catalog data or by extrapolating

1 lumen output using regression equations.

2 We'd like to open the floor for comments
3 on the scaling approach.

4 MR. BROOKMAN: Susan?

5 MS. ANDERSON: Well, as we've already
6 mentioned, HID lamps are non-linear in response, so
7 we really don't see how you can go down that path.
8 You also have the issue, once again, of coated
9 versus clear, protect versus unprotect, standby
10 versus not standby, CCT, CRI --

11 MR. HOWLEY: Orientation.

12 MS. ANDERSON: -- orientation.

13 MR. HOWLEY: Orientation is a big one.

14 MS. ANDERSON: We have all those issues.

15 MR. BROOKMAN: Mimi.

16 MS. GUPTA: So, I guess I think the
17 question here, this is Mimi Gupta, is for those
18 other issues that you're talking about, can none of
19 them be characterized by a percentage reduction in
20 efficacy if we're talking about coated versus
21 uncoated or maybe can orientation be represented in
22 that way?

23 MS. ANDERSON: Well, orientation is
24 already pretty clearly represented, because if you
25 look in our catalogues, for -- say, for instance, if

1 it's the universal operating lamp, we give you
2 vertical lumens versus horizontal lumens. And in
3 lamps where we have position-specific oriented
4 lamps, you can compare those ratings base up, to
5 base down, to horizontal. That's all published
6 information. And as is coated versus clear. And
7 when you get into the metal halide family, in
8 particular, you can see the different chemistries
9 and the impact on the lumens, 3000 Kelvin versus
10 4000 Kelvin.

11 MS. GUPTA: So when you say, you know, you
12 don't think scaling is appropriate for HID lamps,
13 you're more talking about scaling across wattages?

14 MS. ANDERSON: Yes.

15 MS. GUPTA: Okay.

16 MR. BROOKMAN: Okay.

17 MS. WALKER: In considering standards, DOE
18 will not set a level -- oh.

19 MR. YOUNG: Sorry, Daniel Young. A
20 question about the scaling. So you've mentioned
21 that it's not a linear relationship. Is there no
22 relationship, or can you isolate certain factors
23 like CCT or coating and develop some kind of
24 relationship.

25 MR. BROOKMAN: Tom.

1 MR. HARDING: Tom Harding. There are
2 relationships. There was a general statement made
3 that as you go up in wattage, you generally get more
4 efficacious. The problem is trying to do one size
5 fits all. There are so many jumps: clear/coated,
6 universal, correlated color temperatures. There are
7 different chemical technologies. I mean from a
8 standpoint of materials, metal halide is one of the
9 most complicated ones. Most light sources have one
10 or two elements. Metal halide can have ten. So
11 they're very complex, and they all do different
12 things. And so it's very hard to find an equation
13 that covers everything. But within very narrow
14 parameters you can make short jumps in equations.
15 But then you can't jump, as Susan said, if you want
16 to make a more efficacious fixture, you might take a
17 lens off and use a less efficacious lamp, say a
18 protected lamp, makes a better system, doesn't make
19 it a more efficacious lamp. So just so many jumps.
20 But in general there are rules that -- not rules,
21 there are observations as you go up in wattage you
22 generally get more efficacious.

23 But I can sit here and give you all kinds
24 of exceptions. I can tell you now a 400 watt lamp
25 that has higher efficacy than 1000 watt lamp.

1 Changing chemistry and materials. There's just so
2 much of that in these metal halide systems.

3 MS. WALKER: Okay. So, again, in
4 considering standards, DOE will not set a level that
5 can only be met by a single proprietary design.
6 Because of this, DOE is seeking feedback on the
7 existence of proprietary designs. We'd like to open
8 the floor for comment on this issue, as well as any
9 other issue related to the engineering analysis.

10 MR. BROOKMAN: Alex.

11 MR. BOESENBERG: Given the individual
12 nature of the comment, NEMA will not be able to
13 provide comment on this subject. So my comment is I
14 have no comment.

15 MR. BROOKMAN: Joe.

16 MR. HOWLEY: There may be individual
17 manufacturer designs, but as you're going through
18 the manufacturer interview process, you may ask them
19 about unique designs that companies may have.

20 MR. BROOKMAN: So you would just --

21 MR. HOWLEY: They do exist.

22 MR. BROOKMAN: That's what I wondered.
23 You anticipate that there could be proprietary
24 designs that the Department of Energy might need to
25 consider.

1 MS. ANDERSON: Yes, patent protected.

2 MR. BROOKMAN: And so they will need to
3 seek that out.

4 MR. HOWLEY: Yes.

5 MR. BROOKMAN: In a protected sort of a
6 way. Okay.

7 MS. WALKER: Thank you. For this
8 rulemaking, DOE plans on estimating end user price
9 directly, rather than using a bill of materials and
10 marking that up to generate the manufacturer's
11 selling prices, also known as MSPs. This is because
12 it's not practical to reverse engineer an HID lamp
13 to derive the manufacturer production cost of the
14 lamp. They are not easily disassembled and fill gas
15 composition and partial pressures are difficult to
16 assess. Therefore, DOE is considering collecting
17 manufacturers' suggested price lists, also known as
18 blue book values, and applying discounts based on
19 distribution channels through which the lamp is
20 purchased. DOE will gather price information from
21 state procurement contracts, large distributors, and
22 other publicly available end user prices to
23 determine discounts.

24 We would like to open the floor for
25 comment on end user price approach for calculating

1 the cost of this efficacy relationship for HID
2 lamps. In particular, DOE seeks comment on typical
3 distribution channels for HID lamps, as well as the
4 allocation of market share between these channels.

5 MR. BROOKMAN: Alex.

6 MR. BOESENBERG: Alex Boesenber. That's
7 another topic we refer to the individual
8 manufacturer interviews, given the individual nature
9 of such arrangements and cost structures.

10 MR. BROOKMAN: You can't characterize
11 typical distribution channels as we have in previous
12 rulemakings?

13 MS. ANDERSON: Distribution channels, yes.
14 Pricing, though, we're not allowed to discuss, due
15 to antitrust rules.

16 MR. BROOKMAN: Okay.

17 MS. ANDERSON: And we do -- in our written
18 comments we will have some modifications to the
19 distribution channel.

20 MR. BROOKMAN: Okay.

21 MS. WALKER: Okay. Thank you. Should we
22 continue?

23 MR. BROOKMAN: Yes.

24 MS. WALKER: I'll pass on to Michael Myer.

25 MR. BROOKMAN: Now, energy use analysis,

1 Michael Myer. How are we doing with the folks on
2 line, Emily.

3 EMILY: We're going to patch them through
4 so they can comment.

5 MR. BROOKMAN: Okay.

6 **Energy Use and Markup Analysis**

7 MR. MYER: Thank you. My name is Michael
8 Myer.

9 MR. BROOKMAN: I guess we then need to
10 remind everyone who's joining us online to mute
11 their telephones if they're not going to speak and
12 unmute them if you want to speak, and we'll be
13 recognizing you as best we can when our webmaster
14 over here sees that you want to contribute to the
15 conversation. Okay, Michael.

16 MR. MYER: That was just --

17 (Problems with sound.)

18 MR. BROOKMAN: So we're having technical
19 difficulty and we're going to try and resolve this
20 very quickly, so hang in there those here via the
21 web.

22 MR. MYER: I'm going to try it again. I
23 think they've corrected it in the room while we're
24 waiting, so I'll wait one more second. This works,
25 I don't hear any echo, so I will continue on. Do

1 we need to wait for the court reporter? Okay.

2 Thank you.

3 My name is Michael Myer, and I'll be
4 discussing both Energy Use and Markup Analysis.
5 These are both inputs that are factored into the
6 life cycle cost and payback analysis, which then
7 also get factored into other analysis later on.

8 Energy analysis is pretty straightforward.
9 We're trying to determine the energy use data for
10 HID systems. Obviously, as we discussed, ballasts
11 have an important role here, mainly for the power
12 input, so they'll be used. We'll take the input
13 power data from the engineering analysis, just a
14 median -- a typical wattage input that'll be
15 generated in the engineering analysis. Ultimately,
16 we want to get a sense of where lamps are used, in
17 what type of spaces, and roughly how long they're
18 operated in those spaces. We will look at the most
19 recent 2010 US lighting market characterization,
20 the commercial building energy consumption survey,
21 also known as CBECS, and also the manufacturing
22 energy consumption survey.

23 We'll take all that data and aggregate it
24 and get a sense of what the typical operating hours
25 are, and then we'll take the typical input power

1 and multiply them together and you get annual
2 operating hours per year.

3 Brings us to items 31 and 32. On 31,
4 we're requesting comment on ballast efficiency and
5 ballast input power. This is separate from -- this
6 is really more historic numbers, because the idea
7 with the energy analysis is we're trying to get a
8 sense of what the energy savings potential could be
9 from standards, and so we're interested in ballasts
10 that were previously installed, what their input
11 powers are that are now probably covered by
12 standards such as metal halide or the mercury vapor
13 standard and what those ballast efficiencies should
14 be. It's a slightly different scenario than usual.
15 I'll pause for comment for a second.

16 MR. BROOKMAN: Susan.

17 MS. ANDERSON: Well, when taking into
18 consideration the installed base, I mean the
19 installed base is basically magnetic, so where
20 magnetic ballast, you're going to have to make sure
21 that you look across multiple manufacturers'
22 catalogs, and look at those system input powers.
23 And you might also look at luminaries because you
24 also -- it's not as much so as in fluorescent, but
25 you can have a fixture effect that can impact the

1 system input power.

2 MR. BROOKMAN: What is that? A system
3 effect?

4 MS. ANDERSON: Once the ballast is
5 installed in a fixture and it's in a confined area,
6 it can change the input power of the system.

7 MR. BROOKMAN: Okay.

8 MR. MYER: I guess I'd like to elaborate
9 on that. So using current catalog data for -- can
10 we use stand-in for mercury vapor specialty
11 ballasts, since they can still be currently sold
12 and they're in catalogs, as a representative
13 mercury ballast -- mercury vapor ballast input
14 power for something, let's say, that was installed
15 in 2006? That's -- ultimately that's the historic
16 aspect we're trying to get at. And the same
17 question would be for probe start metal halide
18 fixtures, now that the ballasts are covered by a
19 standard, can we use the current magnetic data that
20 we're seeing out there and should we assume a
21 different efficiency and thus a different input
22 power for magnetic probe start systems that were
23 installed in, again, let's say 2008, that were
24 precovered?

25 MS. ANDERSON: For metal halide, you're

1 going to be able to get at least the ballast, for
2 the ballast manufacturers, you'll be able to get
3 those numbers because there's no restriction on
4 selling replacement metal halide ballasts.

5 MR. MYER: Okay.

6 MS. ANDERSON: In the case of mercury
7 vapor, for most applications, those ballasts that
8 drive the specialty lamps are not the same ballasts
9 that drive the general lighting lamps. But I would
10 think that ballast manufacturers would have --
11 could help with older editions of their catalogs,
12 or even luminaire manufacturers, older editions of
13 their catalogs to help you get to that information.

14 MR. BROOKMAN: Thank you. John.

15 MR. GREEN: Yes, in a previous employment
16 I actually did a lot of ballast design, and it may
17 not be as simple as pegging one input wattage to a
18 ballast. When I was designing ballasts, we
19 actually manufactured two, one was a low loss
20 version, which had lower input power than the
21 standard. It had a premium cost associated with
22 it, but it was a choice customers could make. So
23 it may be a little more involved than just picking
24 one number. May have to look at a number of
25 different types of ballasts.

1 MR. BROOKMAN: Okay. Thank you. Joe.

2 MR. HOWLEY: On item 32, I just was going
3 to agree that your proposed methodology and the
4 sources that you have selected to look at seem
5 appropriate. Trying to get at hours of use and
6 various applications. We've seen those studies in
7 reports and they seem like they represent a
8 reasonable survey of actual operating conditions.

9 MR. BROOKMAN: So are you speaking on
10 behalf of NEMA?

11 MR. HOWLEY: On behalf of NEMA, yes.

12 MR. BROOKMAN: Thank you. Susan.

13 MS. ANDERSON: I would say in one previous
14 rulemaking, we saw when they took commercial
15 offices different from retail, so just keep that in
16 mind, because when we saw that previous rulemaking,
17 the number for commercial did not reflect retail
18 operating hours.

19 MR. HOWLEY: I suppose that's true. We
20 reserve the right to actually see what numbers
21 you're selecting. And further comment, if we think
22 that they were accurately selected.

23 MR. MYER: Sure. Of course. In terms of
24 follow on what you're saying, Susan, in terms of
25 HID and typical applications, you're going to see

1 them much more common in retail than you are in
2 commercial -- in commercial office -- and that's
3 why you're pointing that out.

4 MS. ANDERSON: Right. Like you're going
5 to see them in a big box retailer, that's our
6 grocery store, that sort of thing. You're not
7 going to see them -- so commercial generally
8 reflects more office space as opposed to retail
9 space.

10 MR. MYER: Thank you. Continuing on. So
11 then the other analysis would be the markup
12 analysis, and that was briefly touched on
13 previously by Merry Walker. The purpose -- this is
14 slightly different than previous passes -- Merry
15 said, you can't really take apart an HID lamp and
16 get a sense of the cost, so we're going to use the
17 existing cost for -- not the existing cost, but the
18 blue book or the price list where we can. But at
19 the same time, we still look for markups that's
20 been discussed many times in this meeting already,
21 that in some cases you may have to replace a
22 ballast, or in some cases you may have to replace
23 an entire fixture, and those do have markups
24 associated with them, as well we're interested in
25 any costs associated that we can figure in as well.

1 So what we're going to do is we're going
2 to identify distribution channels which we'll show
3 in a second, and then we're also going to want to
4 estimate markups from each step in the
5 manufacturing process.

6 So we identified two initial HID lamp
7 distribution channels. They're shown here as one
8 and two. They're very similar. The first one
9 would be from the manufacturer to wholesaler or
10 electrical distributor, to a contractor, to an end
11 user. The second one there's no contractor, it
12 would be just the manufacturer to the electrical
13 wholesaler to the end user.

14 As we've discussed also, in some cases you
15 will possibly need to replace a ballast outright.
16 We then identified a replacement HID ballast
17 distribution channel. Again in this case, it would
18 be the ballast manufacturer, to an electrical
19 distributor, to a contractor to an end user.

20 And then the third option that we
21 discussed rather in depth, is that the potential to
22 have to change to a wholesale fixture. We
23 identified in this case, it would be a fixture
24 manufacturer to an electrical distributor, to a
25 contractor, to an end user.

1 And that brings us to items 33 and 34. We
2 welcome comments and suggestions concerning pricing
3 and approach for existing consumer prices for
4 lamps, but also for ballasts and fixtures, because
5 they will have to get factored in there. And item
6 34, comments on typical manufacturer, wholesaler,
7 and contractor markups.

8 MR. BROOKMAN: Susan. Alex first.

9 MR. BOESENBERG: I can do the first one on
10 pricing. We can't do that here, sorry. Individual
11 manufacturers, during their interviews, will have
12 an opportunity to assist the DOE in that.

13 MR. BROOKMAN: Thank you. Susan.

14 MS. ANDERSON: My comment is on
15 distribution channels. When you're looking at the
16 HID ballast and also the luminaire distribution,
17 remember that you have, particularly like with
18 industrial businesses, they have people that can do
19 the work. They don't need a contractor. So it may
20 go from the manufacturer to the wholesaler, to the
21 end user.

22 And then also, when you get to the fixture
23 distribution channels, there are some fixture
24 manufacturers that sell directly to the end user.
25 And they totally skip the wholesaler and the

1 contractor.

2 MR. MYER: Would those be utilities or
3 what type of industry would you expect those to be?

4 MR. COOK: Could be utilities, could be
5 municipalities, typically project work.

6 MR. MYER: I'm sorry, I'm not familiar
7 with the term "project work."

8 MR. COOK: It's when we're selling
9 specific -- like we will bid on a job at a specific
10 city, and so we will deliver straight to that city,
11 and they will arrange installation and things like
12 that.

13 MR. MYER: Would you characterize that as
14 outdoor more you can't define it as whether it's
15 outdoor or indoor?

16 MR. COOK: It doesn't have to be
17 necessarily outdoor, although that is a good
18 example of it.

19 MR. MYER: Okay.

20 PARTICIPANT: Sometimes they're sold that
21 way.

22 MR. COOK: Depends on who the customer is.

23 MR. MYER: Thank you. At this time I'm
24 going to turn the presentation over --

25 MR. BROOKMAN: Wait. Yes, John, please.

1 MR. GREEN: Back up. The HID lamp
2 distribution channel. There's also probably a
3 number three there, where a lot of -- I'll say some
4 fixture manufacturers package lamps with fixtures,
5 so it's actually a light manufacturer to the
6 fixture manufacturer, and then that would be a
7 third method of distribution of HID lamps.

8 MR. MYER: Okay. And that would be in a
9 new construction scenario and not in a replacement
10 scenario.

11 MR. GREEN: That's correct, yes.

12 MR. MYER: Okay. And they would be paying
13 a markup -- so I guess I need to figure that out.
14 So it would be fixture manufacturer with lamp, but
15 it would be -- and then it would be the same
16 channel, the fixture channel, but with a lamp.

17 MR. GREEN: Yes, just so you take number
18 two and insert fixture manufacturer after lamp
19 manufacturer, and then still go to the wholesaler
20 and end user.

21 MR. MYER: Okay.

22 MS. ANDERSON: That's typically the most
23 common scenario with new installations. Because it
24 saves the contractor the labor of installing the
25 lamp.

1 MR. MYER: Great, and appreciate any rough
2 estimates of percentage of distribution channels as
3 well.

4 At this time I will turn the presentation
5 over to Scott Morris, who will introduce life cycle
6 cost analysis and payback period analysis.

7 **Life Cycle Cost Analysis and**
8 **Payback Period Analysis**

9 MR. MORRIS: Thank you, Michael. Good
10 morning. I'm Scott Morris, and as Michael
11 mentioned, I'll be talking first about the life-
12 cycle cost and payback period analysis.

13 So the life-cycle cost and payback period
14 analysis builds upon previous analyses to
15 determine, as the name implies, the total life-
16 cycle cost and payback period of the equipment
17 considered in this rulemaking. The life cycle cost
18 and payback period analysis considers the effects
19 of a standard on individual customers. Specifically
20 life-cycle cost is the total cost of HID lamps,
21 including the price of the lamp, installation
22 costs, and operating expenses through the end of
23 the lamp's lifetime, expressed in today's dollar
24 figures.

25 The payback period of a lamp more

1 efficacious than a baseline lamp, is the average
2 number of years it takes a customer to recover the
3 potentially higher first cost through decreases in
4 operating expenses, as shown in the diagram in the
5 bottom here. To account for the range of possible
6 life cycle costs and payback periods, DOE will
7 incorporate Monte Carlo simulations which uses
8 inputs originating from probability distributions,
9 as opposed to average values.

10 Of course, reduced energy use yields
11 reduced energy costs. DOE will use the most recent
12 annual energy outlook produced by the Energy
13 Information Administration to project future
14 electricity price trends. At the same time, DOE
15 uses EIA form 826 data to establish current
16 electricity prices, and then uses the annual energy
17 outlook to project those prices into the future.

18 This brings us to item 35. DOE welcomes
19 any comments on the proposed methodology for
20 estimating electricity prices.

21 MR. BROOKMAN: Alex.

22 MR. BOESENBERG: Alex Boesenberg. I
23 believe as we have in the past, we highly recommend
24 that DOE consult the Edison Electric Institute --

25 MR. MORRIS: Pardon me?

1 MR. BOESENBERG: Edison Electric
2 Institute, Mr. Steve Rosenstock, due to their
3 excellent information regarding price by region and
4 users.

5 MR. BROOKMAN: Okay. Thank you.
6 Additional comments on electricity prices and the
7 methodology also? Okay.

8 MR. MORRIS: Thank you. Discount rates
9 are used to establish the present day value of
10 future expenses. DOE uses the weighted average of
11 ... debt to equity ratios to develop a distribution
12 of discount rates for use in the life cycle cost
13 analysis. And as item 36 says, of course, the
14 Department welcomes any comments regarding the
15 approach for determining discount rates for the
16 life cycle cost analysis.

17 MR. BROOKMAN: No comments? Okay.

18 MR. MORRIS: So there are two primary
19 costs associated with the lifetime of HID lamps;
20 installation costs and operating costs. DOE will
21 consider the expenses involved with installing HID
22 lamps, ballasts, and fixtures. The Department
23 assumes HID lamps require no maintenance during
24 their lifetimes, but are replaced upon failure or
25 early retirement. For example, cleaning costs are

1 typically, we believe cleaning costs are typically
2 part of a fixture operating cost. Any comments in
3 that regard?

4 MR. BROOKMAN: Joe.

5 MR. HOWLEY: Yeah, we would agree that
6 with HID, they're generally replaced as they fail,
7 especially high wattage HID lamps cover a large
8 area, and unlike fluorescent where if one
9 fluorescent lamp goes out in, for instance, the
10 fixtures in this room, it could be left out for
11 quite a while and doesn't really impact the light
12 level of this room. But if a, say a 400 watt metal
13 halide goes out in a store, they're going to
14 replace that lamp fairly quickly and not leave a
15 whole section of their store dark. And generally,
16 when they replace it, they may clean the fixture
17 when it's being replaced. They usually don't do
18 cleaning in between.

19 In terms of electrical rates, RS means is
20 one source of electrical labor rates. I will note,
21 however, that electrical labor rates can vary
22 greatly in this country, depending on what city
23 you're working in -- from past experience. So,
24 somehow, I'm not sure how that's factored in, but
25 this has to be cost-effective in the high labor

1 rate areas as well as the low labor rate areas.

2 MR. MORRIS: Part of the purpose of the
3 Monte Carlo analysis is to incorporate higher and
4 variable electricity costs, but we'll definitely
5 keep that in consideration.

6 MR. HOWLEY: So that's electricity cost,
7 but I was referring to the electrical contractor
8 labor rates.

9 MR. MORRIS: Sorry.

10 MR. HOWLEY: They both have similar issues
11 of quite a bit of variability throughout the
12 country.

13 MR. BROOKMAN: So you can see the comment
14 box.

15 MR. MORRIS: Yes, I forwarded to the two
16 comments here, the two comment boxes.

17 MR. BROOKMAN: Leave that up.

18 MR. MORRIS: Okay. So each lamp's life
19 cycle cost is of course affected --

20 MR. BROOKMAN: Pardon me, I wasn't clear.
21 Would you go back to items 37 and 39?

22 MR. MORRIS: I'm sorry.

23 MR. BROOKMAN: I wasn't sure that we
24 covered this and I lost track, so I just want to
25 make sure that we did before we move on.

1 Installation and maintenance and repair. Okay. I
2 think we covered it.

3 MR. MORRIS: We did. I mean the idea that
4 you cannot repair or maintain an HID lamp is
5 correct. Nobody removes an HID lamp and repairs
6 it. It is definitely replaced.

7 MR. BROOKMAN: Thank you. Now you may
8 move on.

9 MR. MORRIS: Sorry for the confusion,
10 Doug. So each lamp's life cycle cost is affected
11 by its lifetime. DOE will use manufacturer
12 literature, other literature sources and inputs
13 from other interested parties in determining lamp
14 lifetimes. Lifetimes can be adjusted to account
15 for group relamping practices, which decreases the
16 cost per lamp because labor is less costly when
17 many lamps are replaced at once.

18 On the next slide we have a couple comment
19 boxes. Item number 40, the Department welcomes
20 comments on lamp lifetimes and how group relamping
21 practices may affect lamp lifetimes. And 38,
22 comments regarding how relamping practices would
23 change if HID lamp life is affected by new
24 standards.

25 MR. BROOKMAN: Susan.

1 MS. ANDERSON: Well, basically, for HID
2 lamps, it's much more common to see spot versus
3 group, even though we do specifically recommend
4 group relamping, particularly with metal halide.
5 The reality is spot relamping is what is done. And
6 the other thing that I would say, if you do
7 evaluate group relamping, if you go to the IES
8 recommendations for indoor applications, it's RP-
9 36-03, and they recommend group relamping at 60 to
10 70 percent of rated life. And then it's DG-4-03
11 for roadway. So those would be good sources for
12 that. You might also want to check with lighting
13 service companies. Like, we have a division that's
14 a lighting service company and find out if they do
15 group relampings, what they actually do in
16 practice. But they don't -- it's not a reduction
17 of 91 to 94 percent or whatever is over there.
18 It's much greater than that.

19 MR. BROOKMAN: Okay. Thank you. That's
20 helpful. Michael.

21 MR. MYER: Michael Myer. Pacific
22 Northwest National laboratory. Susan, you said
23 kind of in general that HID lamps are not group
24 relamped. Is there any other, within the three
25 lamp types, or in applications -- I understand

1 street lighting probably is the least group
2 relamped because of the magnitude of street
3 lighting, but parking lots or interior, any --
4 either of those or metal halide -- any specific --
5 any --

6 MS. ANDERSON: They all tend to be much
7 more spot relamped than group relamped. Because as
8 Joe was mentioning earlier, a given fixture covers
9 -- it's the only thing providing light in a given
10 area, so when it goes out, it needs to be replaced.

11 MR. HOWLEY: You might be able to get a
12 little better information from having conversations
13 with these lighting service companies who generally
14 are group relamping fluorescent systems, but you
15 could ask them what their experience is with group
16 relamping HID systems. I think it would be
17 relatively minor, but they may be able to give you
18 a better sense of how often these are group
19 relamped.

20 MR. BROOKMAN: Okay?

21 MR. MORRIS: Okay. Thank you. I'll turn
22 the mic back over to Michael Myer to discuss
23 shipments.

24 MR. BROOKMAN: How are we doing here?
25 We're ahead of schedule, and are we okay? Keep

1 pressing ahead here? Yes? We'll just see where we
2 are as we approach noon. Okay.

3 **Shipments Analysis**

4 MR. MYER: Thank you, Doug. The shipment
5 analysis works in tandem with the life cycle cost
6 and payback period analysis to provide information
7 into the national impact analysis. The shipment
8 analysis is to look at -- we create two scenarios.
9 One's called the base case scenario and the other
10 one is called the standards case scenario. And we
11 want to get a sense of how they affect national
12 energy savings and net present value.

13 How we develop shipment scenarios or
14 shipment projections, we look at a lot of data if
15 we can get it. We look at manufacturer and
16 industry organizations, any reports talking about
17 shifts in technology, or continuation of
18 technology, trends in technology, national energy
19 and lamp surveys, and also historic HID lamp
20 shipment data from NEMA. I know NEMA publishes a
21 newsletter that often shows quarterly what some of
22 the HID shipments are, and we use that as a source
23 as well.

24 We'll discuss each of the different
25 shipments and the methodology in a second. But I

1 want to first start with items 15 and 41. On 15,
2 DOE welcomes input on disaggregated market share
3 based on input wattage for each of the HID lamp
4 technologies. And I'll pause for a second.

5 MR. BOESENBERG: Alex Boesenberg, NEMA.
6 To item 15, first of all, we're a little confused
7 about what was being asked for in terms of what the
8 data is intended to drive. What's the goal from
9 that data? Then to continue on, as you noted, we
10 do collect data on these products, however, one
11 challenge we have to providing the government with
12 data is that we don't necessarily gather it in the
13 way that you were asking. We don't tend to report,
14 have our members report, based on wattages, but
15 rather based on technology and base type. Since
16 it's sales data, we want to know where -- who is
17 buying it, where it's going, which means we care
18 more about the application. As we've already
19 stated, I think the discussions have borne that
20 out. The fixture type and where it is, strongly
21 dictates what goes in it. So we track it by
22 application.

23 In our public comments, we're going to
24 give you an excerpt of what one of our quarterly
25 reports looks like, and we welcome discussions as

1 to whether or not there's a way for us to either
2 analyze the existing data, or if necessary, I can
3 ask my members to consider a special survey. But
4 we welcome the opportunity to see if we can work
5 something out, save the government time in
6 gathering this information. And I'll pause if you
7 have any questions on my comments on item 15,
8 particularly what's the end goal, so we know what
9 you're looking for.

10 MR. MYER: Ultimately, I mean, the end
11 goal is to get a sense of if, rather than just say
12 that metal halide was X million units or X percent,
13 to get a sense of where the trends are in -- better
14 than just low, medium or high wattage -- in the 175
15 watt versus the 250 watt, where are you seeing
16 shipments? Whatever finer, granular resolution we
17 can get related to shipments, related to -- again,
18 at a global level, HID lamps up or down, limits
19 some of the analysis we can do.

20 MR. BROOKMAN: Alex.

21 MR. BOESENBERG: Alex Boesenberg. Based
22 on your shipments, do you -- it's your impression
23 that the fact that our data is gathered then by
24 application and base type, will that still be
25 useful to you? It sounds to me like it will.

1 MR. MYER: In some cases.

2 MS. ANDERSON: It's technology.

3 MR. BOESNEBERG: Technology, sorry. What
4 did I say?

5 MS. ANDERSON: Application.

6 MR. BOESNEBERG: Oh, yeah.

7 MR. MYER: Now that Susan's elaborated
8 that it's technology, not application, that is
9 different. In terms of technology, I assume you're
10 separating out by mercury vapor, high pressure
11 sodium and then the three typical types of metal
12 halide. And then for base type, pretty much 150 is
13 medium base and 150 and above is mogul base, but
14 anything we can get beyond that would be helpful as
15 well. I know some special surveys in the past have
16 done, at least the wattage bins -- low, medium and
17 high wattage bins. But again, anything -- so
18 beyond just the base type would be helpful. Yes.

19 MR. BOESENBERG: Anything else, Susan?

20 MR. BROOKMAN: Susan?

21 MS. ANDERSON: The only metal halide
22 family we separate out is ceramic. So we don't
23 separate by pulse start versus probe start.

24 MR. HOWLEY: We would need a special
25 survey.

1 MS. ANDERSON: Right.

2 MR. HOWLEY: To get what you're asking
3 for. We can consider a special survey.

4 MR. BROOKMAN: So I think it's worth
5 having that on the record, Joe. You could consider
6 a special survey to gather that data?

7 MR. HOWLEY: Right. We'd want to discuss,
8 you know, exactly what would be most useful before
9 we would go through that exercise. Perhaps we
10 could have that further discussion.

11 MR. BROOKMAN: Thank you.

12 MR. MYER: Continue on to item 41. DOE
13 welcomes recommendations on other sources of HID
14 shipment by proposed equipment class. We also
15 welcome comments on future long term trends in HID
16 lamp efficacy.

17 MR. BROOKMAN: Probe start, quartz, metal
18 halide versus pulse start, quartz or pulse start
19 ceramic. Sounds pretty complicated.

20 MR. HOWLEY: We understand it.

21 MR. BROOKMAN: Susan.

22 MS. ANDERSON: Well, I mean, the new
23 products we're seeing an expansion in lower
24 wattages, and we're seeing an expansion in pulse
25 start ceramic. That's where the new technology is

1 going. It's not going in probe start.

2 MR. BROOKMAN: That's the industry at
3 large?

4 MS. ANDERSON: Industry at large.

5 MR. BROOKMAN: Okay.

6 MR. MYER: I'm sorry, can we separate
7 those two out, so I understand it better. You're
8 seeing an increase in ceramic pulse, and then low
9 wattage -- is that also in ceramic pulse or all.

10 MS. ANDERSON: Yes.

11 MR. MYER: So it's really con -- the same.
12 Thank you.

13 MS. ANDERSON: But the new wattages that
14 are coming out tend to be in the low wattage range,
15 to replace halogen.

16 MR. MYER: So if you're saying replacing
17 halogen, is that omnidirectional or non-
18 omnidirectional?

19 MS. ANDERSON: Both.

20 MR. MYER: Thank you.

21 MR. BROOKMAN: Okay. That's helpful.
22 Thank you. Additional comments on item 15 and 41?

23 MR. MYER: Continuing on to the
24 methodology. So the shipments model will look at
25 three different essentially accounting

1 methodologies for -- one is new installations.
2 These are fixtures that are being brought to market
3 with a -- a new fixture, essentially, for new
4 construction with an HID lamp. Replacements.
5 These are lamps that have failed or retired from
6 service and they're being sold. And then
7 retrofits. These are early replacements, such as
8 an entire grocery store is being relighted and the
9 equipment is still in good service condition but
10 they're just going with a new design. So those are
11 the three different scenarios there. And we would
12 like to -- we'll ultimately estimate proportions of
13 shipments based on those types of scenarios.

14 We welcome comments based on our
15 accounting methodology here described.

16 MR. BOESENBERG: Alex Rosenberg, NEMA. We
17 have no further edits or clarifications to that.
18 Those definitions seem acceptable.

19 MR. BROOKMAN: Okay. Thank you. Joe.

20 MR. HOWLEY: The only thing I'll add is
21 the overwhelming bulk of what this rulemaking would
22 accomplish is going to affect the replacement
23 options. The new installation is more affected by
24 the existing ban on mercury vapor ballasts and the
25 requirement to put a pulse start ballast in new

1 metal halide fixtures, most of the new metal halide
2 fixtures. And there's not a lot of retrofits that
3 occur because of the previous discussion, of how
4 difficult it is to retrofit an HID fixture. So
5 really the focus should be overwhelmingly on how
6 this affects replacements.

7 MR. BROOKMAN: Additional comments.
8 Keith.

9 MR. COOK: Well, just a real quick
10 comment. Even on the new installations, this whole
11 market is driven by efficiency and so to think
12 we're going to have a huge impact, I think is
13 misleading, because our market on HID is already
14 being attacked by linear fluorescent, T5s, T8s,
15 because of the efficaciousness of those
16 applications, and that's typically in warehouses
17 and industrial applications and things like that.
18 And in the outdoor market, the LED is by far
19 becoming dominant, again attacking what had
20 predominantly been this market in the past. And so
21 just a word of caution. We don't see where we're
22 going to be able to impact this particular market
23 very much going forward with new rulemaking.

24 MR. MYER: Thank you. Continuing on. So,
25 as I mentioned earlier, there are two types of

1 scenarios. One is called the base case, the other
2 one is called the standards case. The base case
3 essentially assumes what would the shipments be
4 projected into the future, in the absence of any
5 amended -- or I'm sorry, new, in this case -- new
6 standards. That being said, it will actually look
7 at what the effects of lamp shipments are from
8 other standards such as we've discussed many times,
9 mercury vapor and metal halide having the effect.
10 While those are separate standards, they do have an
11 effect on future shipments of those two
12 technologies, so they will be included here in the
13 base case. ... to wrap your mind around. And it'll
14 be a mixture of the different efficacies sold and
15 the absence again, of new regulation. We typically
16 look at historical shipments and try to get a
17 lifetime distribution and how they're installed and
18 replaced, and that type of thing.

19 Then there's the standards case -- I think
20 I'm having problems with the computer -- Thank you.
21 That contrasts with the other type of analysis I
22 mentioned, the standards case. This is what
23 ultimately would be in -- what would the shipments
24 look like into the future, assuming the proposed
25 standards. We will -- it helps us to look at the

1 difference between the two programs and you look at
2 the differential, and you get a sense of the
3 savings and -- energy savings and the net present
4 value.

5 We will also consider the effects from
6 market pull programs which have been discussed
7 previously in this presentation as well.

8 Brings us to item 43, DOE welcomes
9 comments on proposed conservation standards might
10 affect shipments of HID lamps, and also any
11 information on market pull programs.

12 MR. BROOKMAN: Susan.

13 MS. ANDERSON: Well, as we've already
14 talked about, the -- we already have regulations in
15 place that are impacting what's happening in new
16 fixtures, and those were both laws that were
17 passed, EPACT 2005 and then EISA 2007. The other
18 thing, I think somewhere in here I think it
19 mentioned maybe the impact of state programs, but
20 most state programs, except for California's Title
21 20, were negated by the federal regulations that
22 passed there. So basically the federal regulations
23 copied what had already been passed in existing
24 state legislation.

25 And then on the pull through, I know the

1 gentleman from Energy Solutions said that they do
2 have incentive programs for going from probe start
3 to pulse start. But what we're really seeing
4 happening in the market place is that people aren't
5 going from probe start to pulse start, they're
6 going from probe start to fluorescent. And you can
7 get a lower wattage package, you have greater
8 energy savings, you have longer lamp life, and the
9 energy savings is compounded by the fact that you
10 get better lumen maintenance out of those
11 fluorescent lamps, so that means you can go with an
12 even lower wattage system. So that accentuates the
13 energy savings.

14 Where we are seeing incentive programs,
15 it's impacting more outdoors, and people are going
16 to solid state as opposed to going to another HID
17 technology. In some cases they're going to
18 induction, because induction is kind of a long-
19 lived, lower cost option, compared to solid state.
20 But most of it is going to solid state. I mean,
21 the HID market, the market place is taking HID out
22 of installations.

23 MR. BROOKMAN: Joe.

24 MR. HOWLEY: I just wanted to reiterate
25 that the effect of the market pull programs might

1 be different than you're projecting, but it's
2 actually -- the effect has been to shrink this
3 market and to eliminate the lower efficiency
4 sources, and we expect that will continue. So your
5 projection on market pull should take that into
6 consideration.

7 MR. BROOKMAN: Thank you. Okay. Okay.

8 MR. MYER: At this time I'm going to
9 return the presentation to Scott Morris who will
10 discuss the national impact analysis.

11 **National Impact Analysis**

12 MR. MORRIS: The national impact analysis
13 effectively combines the results of the life cycle
14 cost analysis and shipments analysis to determine
15 the energy savings potential and monetary effect of
16 a standard on the nation as a whole

17 So to state it differently, the NIA is
18 designed to assess the monetary impact and energy
19 savings of a standard on the entire country. So to
20 put it simply, each year in a 30-year analysis
21 period, which is DOE looks at a 30-year analysis
22 period, which begins in the year when the standard
23 takes effect, most likely, 2017. Each year has
24 equipment purchase and installation costs and
25 operating expenditures. In any given year, if

1 operating cost savings are greater than the
2 increased equipment costs, the result is a net
3 savings. If the equipment costs outweigh operating
4 cost savings, the result is a net cost to the
5 nation. The national impact analysis sums across
6 all years of the analysis period to determine the
7 economic effect on the nation, and the national
8 energy savings resulting from a standard.

9 National energy use is calculated for the
10 base case, shown on the left side in the base case
11 scenario and for the standards case scenario shown
12 on the right, for every year of the analysis
13 period, all 30 years. The site energy use in both
14 cases is converted into primary or source energy
15 use, using a site to source conversion factor. The
16 difference in energy savings between the base case
17 and the standards case projections yields national
18 energy savings.

19 Are there any comments or confusion on the
20 diagram or anything I've said? Okay. Methodology
21 is somewhat clear. Good.

22 The net present value calculations are
23 done in similar fashion as the net national energy
24 savings calculations. Monetary costs for both base
25 case and standards case scenarios are calculated.

1 The difference between operating cost savings which
2 in both base case and standards case scenarios is
3 the sum of the energy cost and repair and
4 maintenance cost boxes, the difference between
5 operating cost savings and installed cost
6 increases, discounted appropriately, yields the
7 national net present value of savings.

8 So this brings us to a couple items for
9 discussion. First of all, DOE welcomes comments on
10 any data sources that should be used in the
11 national impact analysis. In number 44 and 45, the
12 Department welcomes comments on whether more
13 efficacious lamps would be operated more as a
14 result of their increased efficacy.

15 MR. BROOKMAN: Joe.

16 MR. HOWLEY: Well, in this particular
17 case, the HID market is under tremendous change
18 right now, given what was just talked about, the
19 market pull programs, the existing regulations,
20 making it -- perhaps a ten year analysis possible
21 in terms of analyzing what we expect to see happen
22 over the next ten years. But we think this is
23 impossible to try to figure out what might happen
24 over the next 30 years, given the dynamic changes
25 happening over the next ten years. We don't know

1 what this market's going to look like ten years
2 from now, and what you would project over the last
3 20 years, it would be a wild card in terms of what
4 may exist, what technologies -- I mean a lot of
5 these technologies may not even exist in the market
6 place at that time. Obviously, if they wouldn't
7 exist, there wouldn't be any national energy
8 savings to pull forward.

9 So we're not sure -- perhaps there's a
10 reason why a 30 year analysis is required, but from
11 a practical standpoint, it doesn't seem to make
12 much sense. Perhaps we could even ask why -- why
13 30 years with such a radically changing market?

14 In terms of the --

15 MS. ANDERSON: (Comment off mic)

16 MR. MORRIS: So let's stop and see if
17 there's a response --

18 MR. BROOKMAN: Do we have an answer for
19 the 30 year?

20 MR. MORRIS: Historical precedence --
21 Michael, do you have a comment?

22 MR. MYER: No.

23 MS. ANDERSON: Is there a regulation?
24 Something that requires you to use 30 years?

25 MR. BROOKMAN: Betsy.

1 MS. KOHL: This is Betsy Kohl from the
2 DOE-GC. There may be something in our process rule
3 that we publish that sorts of sets the standards
4 for our analyses, and that's actually available on
5 our website, but I mean if you guys have comments
6 on a different or better analysis period, and why
7 that might be useful, we'd certainly consider them.

8 MS. ANDERSON: I mean the comments that
9 Joe just made, I mean technology is changing so
10 fast. I mean, I don't -- as efficient as -- and
11 I'm an old fluorescent person -- as efficient as
12 fluorescent is, in 30 years, I don't know if it'll
13 be here. And I think fluorescent will outlast HID,
14 except in a very few limited applications. I mean
15 the world is going solid state.

16 MR. HOWLEY: Basically, if this regulation
17 doesn't make sense in ten years, it's certainly not
18 going to make sense in 30 years, because of all the
19 change happening in HID market place. And so maybe
20 we would recommend that you look at a ten year
21 analysis, might be more robust than a 30 year. If
22 you still want to do your 30 year, I'm not sure
23 what you're putting in your last 20 years. You may
24 not have much product to play with at that point.

25 MR. BROOKMAN: Okay. Thank you. Susan,

1 yes.

2 MS. ANDERSON: The other comment that I
3 would make -- and this will be in our written
4 comments -- when we work with end users, three
5 years is about the longest payback time any of them
6 will tolerate. If it goes beyond that, they won't
7 do the change-out.

8 The other thing that I want to say to you,
9 and I'm speaking from my own experience within my
10 own company, is we are an HID lamp manufacturer,
11 but we took out HID in a brand new distribution
12 center and replaced it with T5 fluorescent.

13 MR. BROOKMAN: In your facility?

14 MS. ANDERSON: In our own facility,
15 economics were there to justify it. So -- and when
16 we do all the evaluations, because we've
17 retrofitted all of our facilities, when we do the
18 evaluations, we don't do payback, we do ROI.

19 MR. BROOKMAN: Daniel, I'm looking at you,
20 noting that California frequently leads the charge
21 on these things with market pull programs, so I'm
22 wondering if they have a -- if what's going on
23 there tracks the manufacturers experience.

24 MR. YOUNG: Sure, absolutely. We're
25 definitely trying to incentivize LEDs as much as

1 possible, and I think -- I personally would love to
2 see LEDs wipe out HID's in the next two years. But
3 obviously that's not going to happen. But joking
4 aside, I do think that in existing fixtures, that
5 could last anywhere from ten to 20 years, there may
6 still be a market for the lamps that go into those
7 fixtures, so that's something that could help to
8 justify a longer analysis period, even if it's
9 difficult to project.

10 MR. BROOKMAN: Michael Myer.

11 MR. MYER: Thank you, Doug. The fact that
12 mercury vapor is roughly 80-plus years old this
13 year, and probe start is roughly 50 years old at
14 this point, and they're still installed in the
15 market place, and if users want a low payback or
16 low ROI, there are probably legacy products out
17 there that are still going to continue to just
18 replace the lamps until they can't replace the
19 lamps well into the future. I think mercury vapor
20 is a great example. The ballast can no longer be
21 sold, but we're still selling -- well, not we, but
22 the industry is still selling lamps, at least over
23 a couple million is the last NEMA estimate I've
24 seen. I know it's a decline, but it's still
25 existing. So I think even though we are projecting

1 out 30 years and it's hard to know where we will be
2 in 30 years. Thirty years ago if I could have
3 bought some Apple stock, I probably would have at
4 this point. You know, projecting into the future
5 with -- do we know that certain technologies live
6 on, and so I think there's still -- we may not be
7 able to project forward with great accuracy, but we
8 still -- there's definitely precedent that mercury
9 vapor and probe start which are very old, still
10 exist in the marketplace and there's an abundance
11 of installed stock.

12 MS. ANDERSON: But the other thing to keep
13 in mind is that the innovation rate has accelerated
14 dramatically from what it was in the past. And
15 it's -- that's changing the world, and so are LEDs.

16 MR. BROOKMAN: Yeah, the lighting industry
17 is being transformed as we speak, right. Keith, go
18 ahead.

19 MR. COOK: And believe it or not, I have
20 seen replacement LED devices to replace the quartz
21 metal halides in street lighting fixtures. And so
22 the replacement market is not stationary either.
23 It's also changing. And so the thought that what's
24 already installed base is going to continue there
25 may not be true in this technology.

1 MR. HOWLEY: I think the point is that you
2 should consider these shrinking as you project out
3 five, ten, 15, 20 years. You should be projecting
4 out shrinking market segments for mercury vapor,
5 for probe start lamps, I mean these should be
6 projecting down to zero at some point, because they
7 probably -- I can't imagine mercury vapor systems
8 lasting 30 more years.

9 MR. BROOKMAN: Joe, thank you, and Keith,
10 thank you. Michael.

11 MR. MYER: I think those are -- I
12 appreciate those comments. Those will be
13 definitely factored into the shipments analysis in
14 the base case already, based on what you're telling
15 us. And just while I have you, do you project
16 either pulse start or high pressure sodium, which
17 way that line's going in roughly, you know, you
18 were nice enough to prognosticate a year, rough
19 time window for other technologies? Do you see
20 high pressure sodium 30 years out, declining, or to
21 a point? I know it's a guess, but --

22 MR. BROOKMAN: Joe.

23 MR. HOWLEY: That's harder to project. We
24 don't expect, certainly, growth in that area.
25 Whether utilities will stay with high pressure

1 sodium. High pressure sodium still is very
2 efficient from a lumens per watt standpoint, so
3 that may be the hardest to dislodge with the other
4 technologies. That may still have a life, but
5 that's a very efficient source right now. Probably
6 the most efficient HID source we make.

7 MR. BROOKMAN: Susan.

8 MS. ANDERSON: I was just going to say one
9 of the things that's happening is utility rate
10 structures, the way they're set up, they -- in some
11 cases they can't accommodate the LED retrofit, so
12 there's a huge change going over there and how the
13 LEDs -- how the utilities have their rates
14 structure set up.

15 And something else that's going on, and
16 it's happening at the University -- not the
17 University of Virginia, but Virginia Tech -- and
18 we're participating in it, and I know some of my
19 other fellow NEMA member companies are -- there are
20 studies that are being done, as to white light
21 versus the more golden white light of high pressure
22 sodium as we like to diplomatically refer to it,
23 that -- to determine whether seeing in outdoor
24 applications is better under white light sources
25 than it is under the more golden white light. And

1 if that would, in fact, allow people to go to lower
2 wattage systems than as opposed to using the high
3 pressure sodium.

4 So there's a lot of research going on in
5 that area in the white light and color temperature
6 arena that may have a big impact down the road too.

7 MR. MYER: I just have one other question.
8 I appreciate this candid feedback. As regards to
9 shipments and changes in technology, is it fair to
10 say that low wattage or low lumen sources are going
11 to be the first on the bubble to be possibly
12 replaced by other technologies? And essentially,
13 you know, as you increase in lumen package or
14 wattage, it's going to be harder, not harder, it's
15 going to be a more delayed effect before other
16 suitable other option, since you're talking about
17 other technologies outside the HID realm.

18 MR. BROOKMAN: Susan.

19 MS. ANDERSON: Yes.

20 MR. MYER: Thank you.

21 MR. BROOKMAN: Okay. That was helpful.

22 MR. MORRIS: Thank you. It sounds like
23 all the fun is in the shipments part of this. But
24 jumping back to the national impact analysis, the
25 Department of Energy will use the DOE national

1 energy savings and NIA spreadsheet which calculates
2 energy consumption beginning in the first year of
3 the analysis period through the end of the analysis
4 period. And basically, this slide is especially
5 important for item 46, the Department welcomes any
6 comments on features it would like to see in the
7 NIA model, as well as any other inputs on the
8 national impact analysis model.

9 MR. BOESENBERG: Alex Boesenberg. We sort
10 of glazed past item 45. I'd like to return to that
11 for one brief comment, if I may.

12 MR. BROOKMAN: Yes, please do.

13 MR. BOESENBERG: The question is, will
14 these more efficacious, more efficient HID lamps be
15 operated longer, more, that is, on a given basis
16 because they're more efficient? The rebound effect
17 of, oh, don't worry, those CFLs are efficient, we
18 don't have to turn off the lights in the living
19 room any more. Because these products are not
20 residential and don't have a lot of human
21 intervention, but rather they are operated on
22 astronomical clocks or as dictated by sunrise and
23 sunset, we do not believe that there will be much,
24 if any, change in operating hours just because
25 they're more efficient. Perhaps more popularity,

1 but not -- they're just not going to leave street
2 lights on all day.

3 MR. BROOKMAN: Gotcha. Okay. Thank you.
4 (comment off mic)

5 MR. BOESENBERG: Yeah, but the alternative
6 is control systems are getting better, right.
7 (comments off mic)

8 MR. MORRIS: So then --

9 MR. BROOKMAN: Forty-six, thank you.

10 MR. BOESENBERG: NEMA has no comment on
11 item 46.

12 MR. BROOKMAN: So we're at a point where
13 we should decide what to do. It's noon. It's five
14 after noon. The -- typically, the manufacturer
15 impact analysis takes, I don't know how long, but
16 the next -- the utility impact, employment,
17 environmental, and regulatory impact analysis,
18 those are downstream analyses, they don't take very
19 long to breeze through those. So, do you want to
20 just keep going?

21 PARTICIPANTS: Yeah.

22 MR. BROOKMAN: Strong preference to keep
23 going.

24 MS. ANDERSON: We've got consensus, yes.

25 MR. BROOKMAN: I'm with you. Okay.

1 MR. MORRIS: You see nods from everybody.

2 MR. BROOKMAN: I think we can hang in here
3 for 20 minutes or so.

4 MR. MORRIS: Very good. So we'll jump
5 into the NOPR analyses.

6 **NOPR Analyses**

7 MR. MORRIS: I will be talking about this
8 first one. So on the NOPR phase of this
9 rulemaking, DOE will conduct several additional
10 analyses to determine how this energy conservation
11 standard affects things such as customer subgroups,
12 manufacturers, utilities, and emissions. And I
13 will briefly discuss the life cycle cost subgroup
14 analysis.

15 The LCC subgroup analysis quantifies the
16 impact of a standard on subgroups of customers
17 within the general population. Chiefly, DOE will
18 study the effects of this energy conservation
19 standard on customer subgroups that may be
20 adversely affected by the rulemaking.

21 In the comment box, DOE welcomes any
22 comments -- I should mention too a couple examples
23 of possible customer subgroups -- including
24 utilities, municipalities, and transportation
25 facilities. The Department would be very

1 interested in any other subgroups of the population
2 who might be -- who should be considered in the
3 rulemaking.

4 MR. BROOKMAN: Joe.

5 MR. HOWLEY: I think that subgroups here
6 to consider as we do these analyses are people who
7 are using existing mercury vapor systems, or -- if
8 -- as you're projecting different levels of
9 standards, I imagine one of the levels will get to
10 the point where people using probe start metal
11 halide lamps are affected at some point, and those
12 subgroups, the users, are going to be forced to
13 replace the entire fixture when you get up to that
14 point. I suppose you could say the smaller users
15 of those systems, say, school districts that might
16 just use these in a gymnasium, or something of that
17 nature, or a smaller retailer accounts, would be
18 significantly affected if all of a sudden they
19 could not get the lamp and they have to replace
20 their entire lighting system with a brand new HID
21 lighting system. That would have a significant
22 impact and maybe not -- it would possibly be hard
23 to cost justify, but certainly you should look at
24 whether or not that kind of forced behavior could
25 be cost justified on those smaller user groups.

1 MR. MORRIS: Thank you, Joe. You
2 mentioned the school districts, specifically. Can
3 you mention other entities?

4 MR. BROOKMAN: Susan's going to follow on.

5 MS. ANDERSON: I was going to say like
6 community centers. You see a lot of community
7 centers with HID lighting and like a general
8 purpose gymnasium facility, or swimming pools and
9 that sort of thing. Yeah, those are typically
10 people on a limited budget, where it's going to
11 have a much greater impact on them.

12 MR. BROOKMAN: Okay. Keith.

13 MR. COOK: Yes, similarly, roadway
14 lighting ends up being a major issue, and the
15 problem we've got is if you are requiring a
16 situation where you can't get a replacement any
17 longer, the utilities or municipalities or
18 whatever, then has this significant problem,
19 because unfortunately roadway lighting poles have a
20 tendency to get hit by cars, and they don't want to
21 have to go through and replace all of them, and
22 they don't want one that's mismatched. And so
23 you'll end up with significant push back from those
24 areas if they have to change out their poles.

25 MR. BROOKMAN: Susan, keep going.

1 MS. ANDERSON: Something else I was going
2 to mention. I worked in the Kansas City market
3 area for a number of years, both with Holophane and
4 with Sylvania. We sold roadway lighting systems,
5 high mass lighting systems. And they -- the state
6 of Kansas had an interesting philosophy when they
7 did roadway lighting. They did the interchanges
8 with metal halide, and then they did the roadways
9 leading up to the interchanges with high pressures
10 sodium. And had a couple good reasons for that.
11 The color change signaled a change to the drivers,
12 and then where the accidents were most likely to
13 happen were in the congested areas of the
14 interchanges, so they had better color rendering
15 for all the investigative purposes, and for
16 eyewitness accounts and that sort of thing. So
17 they had a very distinctive purpose in wanting to
18 have two distinctive colors. And the high pressure
19 sodium was the more efficient, so it was used
20 covering the greater area, but then in the more
21 critical area they used the metal halide. So
22 there's value in different technologies.

23 MR. BROOKMAN: Alex, did you have --
24 nothing there. So additional comments on subgroups
25 as requested, and also 49.

1 MR. MORRIS: Okay. Thank you. I'll turn
2 the time over to Merry Walker.

3 **Manufacturer Impact Analysis**

4 MS. WALKER: The purpose of the
5 Manufacturer Impact Analysis or also known as the
6 MIA, is to identify the impacts of energy
7 conservation standards on manufacturers,
8 manufacturer subgroups, and the cumulative
9 regulatory burden on the industry as a whole. DOE
10 does this by analyzing the industry cash flow and
11 net present value through the GRIM, or the
12 Government Regulatory Impact Model, and
13 interviewing manufacturers to assess the impact of
14 standards, both qualitative and quantitative.

15 The analysis methodology is broken into
16 three main phases. The first is in which DOE
17 creates an industry profile to characterize the
18 industry and to identify the key uses in
19 manufacturing. The second phase, DOE prepares an
20 industry cash flow model with the GRIM that takes
21 into account any investment and revenue changes
22 that the industry might experience, and an
23 interview questionnaire to guide interviews with
24 manufacturers. In phase three, DOE interviews
25 manufacturers, assesses the impacts of standards,

1 both quantitative and qualitative, looking at the
2 impacts on competition, manufacturing capacity,
3 employment, and regulatory burden.

4 With that, DOE seeks comment on the HID
5 lamp manufacturer subgroups and regulations that
6 DOE should consider in examining cumulative
7 regulatory burden.

8 MR. BROOKMAN: Keith.

9 MR. COOK: One concern that we've got is
10 the fact that along with the new potential
11 rulemaking comes significant testing and reporting
12 requirements. And as we've discussed in previous
13 Meetings, this can be significant due to the number
14 of subgroups we may end up with, within the HID
15 family. And, you know, we've estimated per
16 manufacturer, the testing could easily exceed a
17 million dollars per year on a market that's flat,
18 as we've already discussed, flat at best, and
19 probably even diminishing.

20 That amount of testing ends up being a
21 significant burden to the smaller manufacturers who
22 aren't even really represented here today, to the
23 point where it could lead to them getting out of
24 the market entirely if we're not careful. So this
25 has a significant impact in, like I said, a market

1 that's not growing, and we're very concerned with
2 it.

3 MR. BROOKMAN: Okay. Thank you. Susan.

4 MS. ANDERSON: To add to that, there was a
5 suggestion made that instead of looking at initial,
6 to look at mean lumens and maintained lumens.
7 These are very long-lived products, so by the time
8 we get to 40 or 50 percent of rated life, which the
9 metal halide, mean lumens are measured at 40
10 percent, for mercury vapor and HPS it's at 50
11 percent of rated life. That's thousands of hours
12 of operation, and you're talking about huge
13 electricity bills, and not just from operating the
14 systems, but then the necessary cooling for those
15 facilities where we use those. There's a huge
16 expense, an investment in the equipment, and then
17 the operating expense will be huge.

18 MR. BROOKMAN: Okay. You can see the
19 request for comment there, 48 and 49. Additional
20 comments, and particularly -- have we heard about
21 cumulative regulatory burden yet? Yes, Joanna.

22 MS. MAUER: Joanna Mauer. If I can just
23 ask a follow up question to Susan. We're talking
24 about measuring mean lumens, would that be
25 something different than what you're -- because you

1 often report mean lumens in catalogs. Would this
2 be additional testing?

3 MS. ANDERSON: But we don't do it on the
4 number of lamps that we're anticipating the DOE
5 might require us to do. So you're talking about a
6 significant additional investment.

7 MR. BROOKMAN: Alex.

8 MR. BOESENBERG: Alex Boesenberg. So to
9 follow up on Susan's statement. We did provide our
10 best estimates in the test procedures NOPR over
11 potential costs and comments on the, not only cost
12 of performing the testing, but the cost of test
13 rigs and things like that. Everything that adds
14 costs increases the burden. We will mention in our
15 written comments several additional considerations
16 for cumulative regulatory burden, and I am
17 personally open to being involved in the
18 discussions of that, both to better understand it
19 myself, and better represent the interests of the
20 members.

21 But the reason NEMA created a manager of
22 regulatory affairs is our existing legislative
23 regulative guy couldn't handle the workload, and
24 we've even had to add another position for state
25 regulation. I consider it job security, but I've

1 always enjoyed putting myself out of a job by
2 getting a system streamlined or properly set up.
3 I'm never worried about finding work. Personally,
4 as I said, I would like to see open discussions to
5 better understand the models being used to quantify
6 and estimate regulatory burden, because industry --
7 we are trying to figure it out ourselves.

8 But so many companies make multiple
9 products, and almost every one's got a regulation
10 or is slotted for one. These are the same people
11 you saw at the last rulemaking, and these are the
12 same people you saw at the one before that. We can
13 only do so much.

14 MR. BROOKMAN: Okay. I'm with you. Do
15 you have something here, Matthew?

16 MR. WALKER: Yes, I had a question back on
17 the small business impacts. I was curious if you
18 had kind of estimates of number of lamps that those
19 types of companies would sell, or what the size of
20 those businesses would be. Is that something you
21 can talk about?

22 MR. BROOKMAN: Keith.

23 MR. COOK: I would say you really need to
24 try and approach them to try and get that
25 information.

1 MR. WALKER: We will include that, I was
2 just ready for a sneak peek.

3 MR. BOESENBERG: That's something, when
4 you come to me, to NEMA, to discuss how to obtain
5 the lamp shipment and technology shipment sales
6 data, that's a good question to ask at that time
7 when I have a NEMA business office there, they will
8 be able to answer it, whether or not that's
9 something we're able to parse out -- I mean, we
10 know who we get the information from, but we have
11 very strict laws, internal bylaws, regarding the --
12 what's the right word -- the disclosure, thank you
13 -- you knew what I was saying -- the disclosure of
14 sales per company. So we usually aggregate the
15 data and anonymize it. But relative to your
16 question, we may be able to provide, I can't
17 promise, but it comes to my mind that we do have
18 small manufacturers, so for a given product type,
19 we may be able to give you the aggregate small
20 business sales or something. I don't know. That's
21 a question we have to put not only to the NEMA
22 business office, but probably to the NEMA lawyers.

23 MR. BROOKMAN: Okay.

24 MS. WALKER: I have just one follow up
25 question to NEMA. I was wondering if we could also

1 receive some feedback on the percentage of all lamp
2 manufacturers, specifically HID lamp manufacturers,
3 that are part of NEMA. I know that the percentage
4 is very high, but it would be nice just to
5 understand approximately what percentage of the
6 lamp manufacturers are part of NEMA.

7 MR. BOESENBERG: I'll see what we can do.

8 MS. WALKER: Okay. Thank you. I will
9 pass it on to Michael Myer.

10 **Downstream Analyses**

11 MR. MYER: Thanks, Merry. As Doug said, I
12 will be doing the remainder analyses which happen
13 downstream, which means they happen not in the
14 interim analysis, but in the NOPR analysis itself.

15 The first one that happens is the utility
16 impact analysis. The focus of the utility impact
17 analysis is to examine the effects of potential
18 standards on electricity generation. We use a
19 model called the National Energy Modeling System,
20 NEMS. It's been modified for the DOE buildings
21 technology program, so it's designated as NEMS-BT.
22 We use some AEO data regarding generation. We
23 model what the energy savings effects could be from
24 standards compared to non-standards, and get a
25 differential, and the output is what the deferred

1 generating capacity could be.

2 Brings us to item 50. We seek comment on
3 input or plans to use NEMS-BT and conduct the
4 utility impact analysis.

5 MR. BROOKMAN: Alex.

6 MR. BOESENBERG: Alex Boesenbergh. We
7 suggest the government follow up with that at the
8 individual manufacturer interviews.

9 MR. MYER: The follow on question.
10 There's something in there specific to each
11 manufacturer regarding utility generation?

12 MR. BOESENBERG: This is a topic we
13 historically do not have a lot of comments on, is
14 the best way to answer your question. I wish I
15 understood NEMS, but I haven't had the time.

16 MR. BROOKMAN: Thank you.

17 MR. MYER: Moving on. The next one is
18 employment analysis. This -- the manufacturers
19 impact analysis just looks at direct employment on
20 the manufacturers. The employment analysis looks
21 at indirect employment effects. It does look at
22 both, direct and indirect, but the ultimate output
23 is about indirect. It also uses a model, and this
24 one is the Impact Sector Energy Technologies Model
25 to look at the indirect employment analysis.

1 Again, it looks at what the potential effect on --
2 indirect employment could be as a result of
3 standards.

4 Item 51, DOE requests feedback on its
5 approach to assessing employment impacts for the
6 equipment covered.

7 MR. BROOKMAN: Alex.

8 MR. BOESENBERG: Alex Boesenberg. This is
9 another topic that varies greatly, I would venture
10 to say, by individual company and their policies,
11 and their individual geographic and regional
12 considerations. So we have to defer to the
13 manufacturer interviews for that.

14 MR. BROOKMAN: Thank you. John.

15 MR. GREEN: Yes, I understand you'll
16 probably be interviewing lamp manufacturers, but
17 will interviews be done for other companies that
18 may be impacted by this, such as ballast and
19 luminaire manufacturers? It was just a question.

20 MR. MYER: At this time, yes, lamp
21 manufacturers are the only ones being interviewed,
22 but it is something we will take into
23 consideration, interviewing -- besides the ballast
24 and fixture manufacturers, are there other
25 manufacturers that could be potentially affected?

1 MR. GREEN: Those are the two that come to
2 mind, but they could have some input on the impact
3 on employment, so that's why I brought it up here.

4 MR. MYER: We appreciate it, thank you.

5 MR. BROOKMAN: Additional comments? None.

6 MR. MYER: The next one is the emissions
7 analysis. Those who are familiar with the process
8 might know this better as the environmental
9 assessment. Same type of idea, just a new name.
10 The whole point of the emissions analysis is to
11 look at the environmental effects resulting again
12 from energy standards, and changes in power plant
13 emissions. There's four emissions that we look at:

- 14 • Carbon dioxide
- 15 • Sulfur dioxide
- 16 • Nitrous oxides, and
- 17 • Mercury.

18 Carbon dioxide is the main emission that
19 is reported and reviewed. Because of existing
20 legislation on sulfur dioxide, no major changes
21 are expected, near zero is usually the way we
22 describe it. With nitrous oxide, it's kind of a
23 mixture. There are caps in 28 states, and so we
24 look at the effects of nitrous oxides in the non-

1 covered 22 states. And then also we will report
2 possible mercury emissions being affected because
3 of all the standards.

4 Item 52, DOE seeks input on its plans
5 again to use the NEMS-BT model to modify slightly
6 to look at the different effects on emissions for
7 this standard.

8 MR. BROOKMAN: Alex.

9 MR. BOESENBERG: NEMA has no specific
10 comments to this.

11 MR. HOWLEY: I just have one thought is
12 that I believe that the EPA has passed requirements
13 for utilities to limit mercury emissions as well in
14 the next few years, so if that has not been
15 incorporated in this analysis before, you may want
16 to look into that rulemaking, and see if that
17 requires -- I believe it affects coal fired power
18 plants primarily.

19 MR. MYER: I don't know the exact extent
20 of it, but yes, there was some recent work done
21 related to mercury. It was added into the
22 framework because it happened really recently as
23 well, and since this is a downstream analysis, we
24 will look at whatever the new guidance is, the new
25 requirements are. But thank you for the direction.

1 MR. BROOKMAN: Alex.

2 MR. BOESENBERG: Since we're pretty much
3 at the end and we're ahead of schedule, I hope
4 you'll entertain a couple questions about NEMS.
5 You talk about using it for an environmental
6 analysis. Does that mean that if it will greatly
7 reduce carbon dioxide emissions, then it's a good
8 idea? How does NEMS weight this? If you got rid
9 of all street and area lighting, boy would we save
10 a lot of electricity and reduce carbon dioxide
11 consumption. Accidents and deaths might go up. So
12 I'm just curious, what's the tool to balance all
13 that?

14 MR. MYER: That's actually a fair
15 question. This slide, monetization, helps with
16 some of that. So yes, there is some monetization
17 related to that. If you read the NOPR analysis, it
18 does provide a breakdown of many things that are
19 important. So when something goes from a NOPR
20 which is a Notice of Proposed Rule, to the Final
21 Rule stage, there's a whole -- the NOPR includes a
22 whole list of things such as what this standard
23 would potentially have the effect on employment;
24 what it would have on costs; what it would have on
25 emissions. I would say that there's no one guiding

1 rule, no bright line test that says if emissions
2 went to this value then it's a go, because
3 conversely, as you said, there's some other
4 possible effects resulting from turning off all
5 street lighting, something like that. So it's a --
6 there's no one guiding principle that says if you
7 meet this bar, then it goes forward. It looks at a
8 lot of potential effects. Again, employment,
9 direct and indirect; net present value, both the
10 industry net present value as well as the energy
11 savings and generating capacity.

12 MR. BOESENBERG: Thank you. That's a very
13 good explanation and I appreciate it. So that
14 leads to the follow on concern that is far too
15 complex for us to really be able to comment on. I
16 have some discomfort with it, I hope you'll
17 understand, I don't know.

18 MR. BROOKMAN: I'm sure that there are
19 many resources here in the room and elsewhere in
20 the Department that would, perhaps when they come
21 to see you, they could give you more of a fuller
22 explanation on NEMS.

23 MR. BOESENBERG: I welcome that, thank
24 you.

25 MR. BROOKMAN: Okay. Thank you.

1 MR. MYER: So I briefly made mention of
2 the monetization of emissions. We're going to use
3 the social cost of carbon. The second bullet here
4 kind of provides -- there's different intra-agency
5 reviews of the social cost of carbon. They range
6 from 4.9 to 67.6 dollars per metric ton -- those
7 are in 2010 dollars. I'm sorry?

8 MR. HOWLEY: It's a big range.

9 MR. MYER: Yes, Joe, it is a wide range,
10 and there's many things that factor that. There
11 are different discount rates and it's actually
12 there's a lot of different caveats of why it's a
13 different range in different analyses. They're all
14 reported in different tables within the NOPRs. And
15 then we also estimate the potential monetary
16 benefit of reduced nitrous oxide emissions
17 resulting from considered ... standard levels.

18 The final analysis that is done in the
19 NOPR analysis is the regulatory impact analysis. I
20 always personally find the regulatory impact
21 analysis somewhat contradicting in title, because
22 it actually says what could be done in -- separate
23 from a standard, such as a non-regulatory action.
24 Non-regulatory alternatives can be customer
25 rebates, customer tax credits, manufacturer tax

1 credits, voluntary targets, early replacement and
2 bulk government procurement. Again, we use -- in
3 this case we use the national energy spreadsheet.
4 It's modified to say well, what if we did this,
5 what if we did this, to estimate the effects of
6 non-regulatory scenarios, based on experience with
7 considered policies.

8 And the outputs are again, national energy
9 savings, and net present value for the described
10 non-regulatory alternatives.

11 MR. BROOKMAN: Susan.

12 MS. ANDERSON: It's interesting that you
13 mention the other alternatives. Right now there is
14 legislation, it's Senate Bill 398, that would, in
15 the case of outdoor lighting, one of the provision
16 in it would be to eliminate mercury vapor for
17 general lighting applications, the lamps -- the
18 ballasts are already gone.

19 But something else, right now there's --
20 are you familiar with the Commercial Building Tax
21 Deduction Program?

22 MR. MYER: Yes.

23 MS. ANDERSON: It's a federal program.
24 Right now it only includes indoor lighting. It
25 doesn't cover outdoor lighting. You know, a lot of

1 HID is used outdoors. And that's --

2 MR. HOWLEY: (comment off mic)

3 MR. MYER: Just some clarification for
4 those in the room and those who may not be familiar
5 with it. It's -- the deduction that Susan and Joe
6 are referring to was part of EPACT. It gives a
7 proportional income tax deduction, not a credit,
8 related to reduction in installed power density
9 against standard 90.1 2001. From my understanding,
10 I think -- and it does not cover outdoor. The only
11 quasi outdoor activity it does cover is parking
12 garages, which the IRS ruled under an interim rule
13 that they are a non-conditioned indoor space. So I
14 know that there is some review of that ongoing by
15 other agencies as well, that legislation, but I
16 just wanted to clarify that it is a deduction, not
17 a credit. But thank you for the suggestion or to
18 possibly look at the effect of it.

19 MS. ANDERSON: Yeah, I mean there were a
20 couple reasons why they didn't cover it to begin
21 with, because 90.1 only covers systems that are
22 managed by the power system of the building, and a
23 lot of outdoor lighting is not. But still, there's
24 a huge opportunity for energy savings if there were
25 some sort of incentive there to get people to

1 convert outdoor lighting to something more energy
2 efficient.

3 MS. deBUTTS: We will definitely consider
4 that and since the folks that work on that program,
5 you know, are close by as well, so we thank you for
6 the remarks and we'll see if we can include that.

7 MR. MYER: Yes, I had one question for the
8 manufacturers who are reviewing it. One of my
9 concerns about it is that ... it's not always used in
10 interior applications, especially related to HID is
11 the bilevel provision. Do you have any thoughts on
12 how the bilevel provision related to HID lighting
13 could be addressed related to -- there's a
14 requirement that the lighting has to have a bilevel
15 aspect to it.

16 MS. ANDERSON: We're actually working on
17 that in order to accommodate new standards that
18 will be coming out in California.

19 MR. MYER: Thank you.

20 MS. ANDERSON: So, with metal halide you
21 can't -- you don't have this infinite dimming range
22 or anything like that, like you can with
23 fluorescent, but you can step it down, so there --
24 and there also already have been some studies done
25 by California Lighting Technology Center on

1 implementing that type of system.

2 MR. BROOKMAN: I see. Joe.

3 MR. HOWLEY: To that point, the tax
4 incentives so far has been to promote people taking
5 out a HID systems out of warehouses and putting in
6 fluorescent systems that can be more easily
7 bileveled, controlled. And so it's -- that's
8 another -- other regulatory activity that's going
9 on that we hadn't mentioned to date, that you
10 should consider in your analysis. That of course,
11 just continues through 2013, unless Congress
12 decides to extend it. The last time, they decided
13 to extend it five years. All bets are off with
14 what this Congress may do. But that's a 2013
15 Congress that hasn't been elected yet either, so
16 I'm not sure what they might do next year. But
17 that should be taken into account as well, perhaps,
18 as another factor that is impacting the HID
19 marketplace. Not in a positive way, in a negative
20 way.

21 MR. MYER: Thank you.

22 MR. BROOKMAN: Alex.

23 MR. BOESENBERG: Alex Boesenbergh. I have
24 one clarifying question for this slide, non-
25 regulatory alternatives for the regulatory impact

1 analysis. So am I correct when I say that your
2 analysis is in that how non-regulatorial
3 alternatives such as those listed might reduce the
4 opportunity for energy savings from the rule and
5 somehow they impact -- encourage energy savings any
6 way or already, but you're not considering new
7 ones, is that right? Because I don't know how the
8 Department would extend the Commercial Building Tax
9 Deduction, even if they agree with it.

10 MR. MYER: Well, there's definitely a
11 mixture of things here. Certain -- the six items
12 listed there, some are not actually promoted by --
13 customer rebates, obviously, would not come from
14 the government, would come from --

15 MR. BOESENBERG: We're open to that
16 option.

17 (Laughter.)

18 MR. MYER: So the way I tend to think of
19 this in my head is that we look at what the
20 national energy savings are, which is reported in
21 quads of energy savings, and the net present value,
22 which is dollar amount from the standards case.
23 And then what could it be from these potential
24 other alternatives. As Joe was saying that you're
25 seeing other incentives push away from HID. Is

1 there greater savings from not doing a standard but
2 encouraging manufacturers to retool or to upgrade
3 through a tax credit, rather than a regulatory
4 compulsory action, but financially - the carrot, I
5 guess is the best example -- rather than requiring
6 them, you must be this efficient, or rather saying,
7 you know, you can write off much faster deduction
8 of upgrading to a new machine that develops this
9 type of lamp. So that's what it is, it's a
10 comparison of could they do other things that are
11 not standard driven.

12 MR. BROOKMAN: Okay. So comments on --
13 additional comments on the regulatory impact
14 analysis?

15 MR. MYER: At this time --

16 MR. BROOKMAN: Then now we have an
17 opportunity to have additional comments, anything
18 that we haven't covered already today that perhaps
19 some of you even have notes on, being as well
20 prepared as you are.

21 MR. BROOKMAN: Susan, microphone.

22 MS. ANDERSON: We wanted to go back to
23 eight, nine, ten, and eleven, and actually Tom
24 Harding has the expertise to comment on those.
25 Those were things impacting the -- where we were

1 allowed to make additional comments related to the
2 test procedure.

3 **Final Comments**

4 MR. HARDING: Yes, being the 12:30 time,
5 just because you wanted to hear from me. Quickly,
6 I'll make it in five minutes, I think, unless you
7 have a lot of questions.

8 Item eight, which is welcoming comments on
9 test procedures, and particularly for photometry,
10 and it was an open-ended question on integrating
11 spheres specificity, and LM 78, and the answer is
12 that's fine. We accept LM 78, the information
13 needed to photometer these HID lamps is all in
14 there. It related to source size versus sphere
15 measurement size. It's all in there. We accept
16 that. It's also related to the CIE recommendations
17 on that.

18 MR. BROOKMAN: Michael.

19 MR. MYER: Michael Myer, Pacific Northwest
20 National Laboratory. I'm supporting the test
21 procedures. I just have one question. During the
22 test procedure meeting, there was comment about LM
23 51 being updated. We were forwarded a draft copy
24 of LM 51 and it appears that a fair amount of the
25 new stuff in LM 51 is also related to sphere

1 specificity, and do you feel that LM 78 covers
2 enough of that, or do you still will you direct us
3 back to the new -- currently revised version of LM
4 51?

5 MR. HARDING: Well, I haven't seen the
6 revised version of LM 51. I am familiar with the
7 document, but I haven't seen any revision of it
8 yet, so I don't know what they've changed in it. I
9 don't think it's a big issue. I think we're all
10 fine that there's historically a ten to one ratio
11 from lamp arc size or source size to sphere
12 diameter, and I don't see that that's changing.

13 Item nine was the document -- NEMA
14 standard, LSD 26, which was on tolerancing, it's
15 not been a published document, and because of all
16 this regulatory work, we're revising it very
17 regularly, a couple times a month, and we started
18 with incandescents, added fluorescent, it's now
19 adding HID. It's including not just lamps, it's
20 including ballasts. And it deals with the standard
21 deviations of all these measurements. And inherent
22 in the source, as well as from lab to lab kind of
23 things. So we're trying to put that all in, and
24 it's a very active group, mid-year is kind of our
25 target date to have this all out. But once you

1 know the statistics, you may be able to do better
2 plans for measuring these things.

3 MR. MYER: Michael Myer, Pacific Northwest
4 National Laboratory. I'm sorry, so mid-year, so
5 would that be summer of 2012?

6 MR. HARDING: I'm guessing. I don't have
7 a firm date. It's winding down, I know that,
8 because we've submitted all our data. I just don't
9 know what NEMA's looking at a target date, but we
10 said mid-year and I believe -- there's discussions
11 and I believe that's about right.

12 Item ten was the use of NVLAP accredited
13 testing facilities. Data normally submitted to
14 these things come from NVLAP facilities, but the
15 way the lighting companies work, they typically
16 have one setup, one sphere system for light sources
17 that's NVLAP accredited. But the data is often
18 taken at the factories where they produce the
19 product, they pull samples out, put them on test
20 and do the data. So the data bases we all have are
21 not on NVLAP systems. And they're expensive to
22 maintain, that's why basically each company has
23 one. So if we're going to require a lot more data
24 like this light testing data in particular, which
25 is normally done at the plants, we have a NVLAP

1 situation. We've either got to overload the
2 central unit, if we're not careful, or we've got to
3 diversity out to some of the plants to make them
4 NVLAP approved.

5 MR. BROOKMAN: Those labs in the plant,
6 are they somehow NVLAP certified or something?

7 MR. HARDING: No, I don't think they're
8 anything, they're just their own place. Now they
9 often try to correlate the data to the central
10 NVLAP-approved system, but it's not directly NVLAP
11 measured.

12 MR. BROOKMAN: Michael.

13 MR. HARDING: It's used as a correlation
14 headquarters, if you like, to make sure the plants
15 stick there.

16 MR. MYER: Michael Myer, Pacific Northwest
17 National Laboratory. I guess -- I read the written
18 comments related to NVLAP, and I was a little
19 confused. So it appeared that in NEMA's written
20 comments related to NVLAP, they were supportive of
21 NVLAP for color measurements, and you just said now
22 but NVLAP is hard for --

23 MR. HARDING: Well, efficacy and color.

24 MR. MYER: So you were going to be okay
25 with that -- I guess that's the clarification. So

1 NVLAP for efficacy and color is fine, but when
2 something that's a long term, such as lumen
3 maintenance, there's a burden -- not burden, but a
4 potential, as you said, of overloading the center -
5 - not enough ... space.

6 MR. HARDING: There is that, yes.
7 Efficacy of course is what you're measuring anyway.
8 There was an issue when it came to incandescent,
9 general service incandescent lighting, you know
10 where there was a life requirement of 1000 hours
11 and we're saying, how do you do 1000 hour light
12 verification in a NVLAP facility? That was an
13 issue.

14 But everybody will agree that lumens and
15 color can easily be done there, in any NVLAP
16 facility. The issue is how much money has to be
17 spent to bring all this life testing into
18 compliance with NVLAP. In other words, do we have
19 to now NVLAP approved factories where the data is
20 taken? Do we have to expand the central NVLAP
21 facility? All of that costs money, manpower, and
22 equipment, as well as the certification cost, which
23 is not maybe so bad for huge corporations, but for
24 some of the smaller companies, it's significant,
25 let me tell you. I've been having trouble getting

1 the money allocated.

2 Those are the items that we had skipped
3 over. I think that was all of them. Oh, the
4 sample size one, yeah. Sorry. We did look at
5 sample sizes where 21's one of the going numbers
6 that's thrown around. We're kind of reserving our
7 own judgment until we get done with this LSD 26
8 paper and know some of the statistics. Knowing
9 some of the statistics will help us perhaps make a
10 better recommendation as to how to do it.

11 One of the things is, if we have to do
12 long life testing, how do you choose, for example,
13 the infamous three lamps a month over seven months
14 in a 12 month period, and then put them all up for
15 life testing. Or do you put them up three a month?
16 And then you've got staggered outputs or one
17 thought is maybe we do a chunk at the beginning if
18 we have to do this kind of testing. But we wanted
19 to see what the statistics showed up, and this LSD
20 26 working group is looking at this one as well.

21 MR. BROOKMAN: Okay. Thank you. Alex.

22 MR. BOESENBERG: Alex Boesenber, NEMA.

23 And as a reminder, we did submit comments on a 21
24 lamp sample size in our test procedures NOPR
25 response and we continue to stand by that. It's a

1 very challenging number at that size for the
2 equipment, manpower, and cost of performing those
3 tests.

4 MR. BROOKMAN: Okay. Thank you.

5 MR. BOESENBERG: A thousand watt lamps,
6 boy does that burn a lot of juice.

7 MR. BROOKMAN: Thank you. So you seem
8 quite systematic. Michael, go ahead.

9 MR. MYER: Michael Myer. Reading the NEMA
10 comments and going back to what Tom was saying
11 about three lamp samples per month, is it fair to
12 say that unlike other lamp technologies that
13 production runs are not continuous for certain HID
14 lamps, or that if they're continuous they happen on
15 maybe a more staggered cycle and there's not
16 monthly? It would be, you know, six or eight
17 weeks, some longer -- some more intermediate period
18 than a monthly lamp run?

19 MR. BROOKMAN: Tom.

20 MR. HARDING: Tom Harding. Depends on the
21 type. There's some very specialized products,
22 well, I shouldn't say specialized, lower volume
23 products, and you're not going to run those all the
24 time. You're going to do it at intervals. The
25 more higher production, higher sales items, you're

1 going to run more often. So it does vary. I don't
2 know, I can't speak for the other companies, so I
3 don't know how often they run the various types.
4 We do them, of course, in significant enough runs
5 to justify the equipment setup.

6 MR. BROOKMAN: Now is an opportunity to
7 make any additional comments, raise additional
8 issues that haven't been covered fully and seems as
9 though you all had quite a lot of preparation that
10 went into this. I'm certain the Department really
11 appreciates that. Anything else that you'd like to
12 raise at this point? Because we're nearing the
13 close of this meeting. Nothing additional at this
14 time? So back to then, Lucy deButts for closing
15 remarks.

16 **Closing Remarks**

17 MS. deBUTTS: Sure. Well, again I would
18 like to thank everyone for providing us with your
19 input. I think it was a very interesting
20 discussion, and we got a lot of good information
21 from all of you, so thanks. If you'd like to
22 submit written comments, which we expect from you
23 and appreciate, there are several avenues for you
24 to do that. As usual, when you submit written
25 comments please address the rulemaking, provide the

1 docket number, and refer to the RIN for that
2 rulemaking.

3 We encourage you to submit them through
4 the regulations.gov or through the e-mail address
5 shown here on this slide. However, if there are
6 difficulties with doing it electronically, there's
7 always an option to send it in via postal office or
8 courier, as shown here. Brenda Edwards, who we met
9 earlier and during all the previous meetings, will
10 be taking care of the comment collection.

11 So again, comment period is closing on
12 April 12th, and we extended it to accommodate
13 everybody as much as we can. We have to consider
14 the test procedures so we'd like to get your
15 comments by April 12th if possible.

16 And again, if you'd like to give
17 additional information or you need to access the
18 framework document, or agenda, and the transcript
19 of this meeting, these are the links that will be
20 useful for you to consider. As well as the website
21 for each product pages.

22 Any questions on that?

23 MR. BROOKMAN: There's one more thing.
24 The Department frequently provides a Xerox copy of
25 the business cards of the individuals that have

1 checked in, and I see Brenda is going to be handing
2 out a copy of that right now for your reference.

3 MS. deBUTTS: Any questions before we
4 conclude? Well, Doug, it's back to you.

5 MR. BROOKMAN: Thanks to all of you.
6 Appreciate it, and safe travels.

7 (Whereupon, at 12:46 p.m., the meeting in
8 the above captioned matter was adjourned.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings

Executive Court Reporters
(301) 565-0064

before:

U.S. DEPARTMENT OF ENERGY

In the Matter of:

**PUBLIC MEETING ON THE ENERGY CONSERVATION STANDARD
FRAMEWORK DOCUMENT FOR
HIGH-INTENSITY DISCHARGE LAMPS**

Were held as herein appears and that this is the original transcript thereof for the file of the Department, Commission, Board, Administrative Law Judge or the Agency.

Further, I am neither counsel for or related to any party to the above proceedings.

Wendy Greene

Official Reporter

Dated: April 3, 2012