

UNITED STATES OF AMERICA

DEPARTMENT OF ENERGY

**PUBLIC MEETING ON ENERGY CONSERVATION STANDARDS
PROPOSED RULEMAKING FOR DISTRIBUTION TRANSFORMERS**

U.S. Department of Energy
1000 Independence Ave., SW
Washington, D.C. 20585
Room 8E-089 Review Center

Thursday
February 23, 2012

Facilitator:

Doug Brookman
Public Solutions
Baltimore, MD

Participants Identified:

Andrew deLaski
Appliance Standards Awareness Project

Charlie Stephens
Northwest Energy Efficiency Alliance

Timothy Ballo
Earth Justice

Bruce Hirsh
Baltimore Gas and Electric

John Caskey
National Electrical Manufacturers Association

Ray Polinski
ATI-Allegheny Ludlum

Bob Saint
National Rural Electric Cooperative Association

Michael Hyland
American Public Power Association

Greg Coulter
Consultant for PROLEC GE International

John Phouminh
Pepco Holdings, Inc.

Casey Ballard
ABB Inc.

Jerry Corkran
Cooper Power Systems

Philip Hopkinson
HVOLT, Inc.

Robin Roy
Natural Resources Defense Council

Gerald Hodge

Howard Industries, Inc.

Steve Rosenstock
Edison Electric Institute

Eric Petersen
AK Steel Corporation

Ned Brush
Consultant

Wes Patterson
Consultant - Navigant

Robert Berman
Berman Economics

Paul Ryan
Hitachi Metals America, Ltd.

Jim Creevy
National Electrical Manufacturers Association

Carl Bush
PEMCO Corporation

Jamie Bishop
Allegheny Technologies

James Rakowski
ATI-Allegheny Ludlum

Alex Hoffman
American Public Power Association

Alan McCoy
AK Steel Corporation

Chuck Foster
Edison Electric Institute

Donald Junta
U.S. Department of Agriculture

Ned Brush

BBF & Associates

Richard Parker
University of Connecticut

Kevin Looby
Lakeview Metals, Inc.

Alex Bosenberg
National Electrical Manufacturers Association

Kenneth Winder
Moon Lake Electric Association, Inc.

Zolaikha Strong
Copper Development Association

Eric Petersen
AK Steel Corporation

Barry Racey
AK Steel Corporation

Jeffrey Petrich
Ernst & Young

Ismael Leon
Prolec GE International

Participants from the Department of Energy:

John Cymbalsky
Appliance Standards Program

Ami Grace-Tardy
Office of the General Counsel

James Raba
Project Manager

Brenda Edwards
Program Support Specialist

Participants from Consultants:

Christopher Bolduc
Lawrence Berkeley National Laboratory

Katie Coughlin
Lawrence Berkeley National Laboratory

Matthew Nardotti
Navigant Consulting

Robert Carmichael
Navigant Consulting

Brian Coffey
Navigant Consulting

Michael Rivest
Navigant Consulting

Pamela Costello
Navigant Consulting

Caitlin Johnson
Navigant Consulting

Zhimei Luo
Navigant Consulting

Presenters:

Brian Coffey
Navigant Consulting

Christopher Bolduc
Lawrence Berkeley National Laboratory

AGENDA

<u>ITEM</u>	<u>PAGE</u>
Welcome, Mr. Brookman	6
Welcome for DOE, Mr. Raba	6
Introductions	7
Agenda Review, Mr. Brookman	10
Introductory Remarks, Mr. Raba	13
Opening Remarks	16
Rulemaking History, Schedule, Scope Negotiated Rulemaking Process Mr. Coffey	51
EPCA Factors, Scope, Definitions, Test Procedure, Equipment Classes Mr. Coffey	61
Engineering Analysis, Mr. Coffey	79
Markups, Loading, Distribution Channels Ms. Coughlin	96
Life Cycle Cost Analysis, Payback-Period Analysis, Ms. Coughlin	108
Shipments, National Impact Analysis, Refurbishments Ms. Coughlin	113
Trial Standard Levels, Proposed Standards Mr. Bolduc	128
Discussion of Proposed Standards	155
Closing Remarks, Mr. Raba	178

1 and information.

2 But nevertheless we have a lot of things
3 to cover in today's agenda, so before I go too far,
4 I'll turn it back to Doug. Welcome, thank you for
5 being here and participating right along from the
6 beginning. We'll have more. Thank you.

7 MR. BROOKMAN: We typically start off with
8 introductions around the room. I'm going to start
9 to my left. You can get used to turning the
10 microphones on and off. For those of you seated at
11 table, the little green lights have to come on.
12 Please say your name, and organizational
13 affiliation.

14 **Introductions**

15 MR. HIRSCH: Bruce Hirsh, Baltimore Gas
16 and Electric.

17 MR. BROOKMAN: Thank you.

18 MR. CASKEY: John Caskey, NEMA.

19 MR. POLINSKI: Ray Polinski, ATI-Allegheny
20 Ludlum.

21 MR. SAINT: Bob Saint, National Rural
22 Electric Cooperative Association.

23 MR. HYLAND: Mike Hyland, the American
24 Public Power Association.

25 MR. COULTER: Greg Coulter, Consultant for

1 Prolec-GE.

2 MR. PHOUMINH: John Phouminh, PEPCO
3 Holding, Inc.

4 MR. BALLARD: Casey Ballard, ABB.

5 MR. CORKRAN: Jerry Corkran, Cooper Power.

6 MR. HOPINSON: Phil Hopkinson, HVOLT, Inc.

7 MR. deLaski: Andrew deLaski, Appliance
8 Standards Awareness Project.

9 MR. ROY: Robin Roy, Natural Resources
10 Defense Council.

11 MR. HODGE: Jerry Hodge from Howard
12 Industry.

13 MR. ROSENSTOCK: Steve Rosenstock, Edison
14 Electric Institute.

15 MR. PETERSEN: Eric Petersen, AK Steel
16 Corporation.

17 MS. GRACE-TARDY: Ami Grace-Tardy,
18 Department of Energy, General Counsel's office.

19 MR. CYMBALSKY: John Cymbalsky, DOE.

20 MR. RABA: Jim Raba, DOE.

21 MR. LOOBY: Kevin Looby, Lakeview Metals.

22 MR. BROOKMAN: Let's start over here.

23 Please stand up and say your name.

24 MR. BOLDUC: Christopher Bolduc, LBL.

25 MS. COUGHLIN: Katie Coughlin, Lawrence

1 Berkeley Lab.

2 MR. NARDOTTI: Matt Nardotti, Navigant.

3 MR. CARMICHAEL: Rob Carmichael, Navigant.

4 MR. COFFEY: Brian Coffey, Navigant.

5 MS. EDWARDS: Brenda Edwards, DOE.

6 MR. BROOKMAN: Please.

7 MS. BRUSH: Ned Brush, Consultant.

8 MS. STRONG: Zolaikha Strong, Copper
9 Development Association.

10 MR. PATTERSON: Wes Patterson, Consultant
11 for Navigant.

12 MR. BERMAN: Robert Berman, Berman
13 Economics.

14 MR. RYAN: Paul Ryan, Hitachi Metglas.

15 MR. CREEVY: Jim Creevy, NEMA.

16 MR. BOSENBERG: Alex Bosenberg, NEMA.

17 MR. BALLO: Tim Ballo, Earth Justice.

18 MR. FOSTER: Chuck Foster, Counsel for EEI

19 MR. BUSH: Carl Bush, PEMCO Corporation.

20 MS. BISHOP: Jamie Bishop, ATI.

21 MR. RAKOWSKI: Jim Rakowski, ATI.

22 MR. HOFFMAN: Alex Hoffman, American
23 Public Power Association.

24 MR. RACEY: Barry Racey, AK Steel
25 Corporation.

1 MR. McCOY: Al McCoy, representing AK
2 Steel.

3 MR. STEPHENS: Charlie Stephens, Northwest
4 Energy Efficiency Alliance.

5 MR. BROOKMAN: Thank you. Thanks again
6 for all of your for being here this morning. We
7 should also acknowledge and welcome those that have
8 joined us via the web. We have thirty-odd
9 participants via the web today, so that's a goodly
10 number of folks.

11 All of you received a packet of
12 information as you came in the door. I'm going to
13 refer to that packet. There's an agenda. There are
14 some written statements. There is a slide deck
15 which will be the basis for discussion and
16 presentation as the day goes on here, and also the
17 Federal Register notice.

18 **Agenda Review**

19 MR. BROOKMAN: Start with the agenda
20 first. Immediately following this agenda review,
21 there's an opportunity for anybody that wishes to do
22 so to make opening statements, brief comments,
23 hopefully fairly brief about the issues that matter
24 to you, what you'd like to see focused on today from
25 your perspective.

1 Immediately following that, we're going to
2 talk - get a presentation and an opportunity for
3 discussion on rulemaking history, schedule, scope
4 and the negotiated rulemaking process. From there, a
5 description of the EPCA factors, scope definitions,
6 test procedure, equipment classes. Immediately
7 following that, engineering analysis.

8 We'll take a coffee break round about
9 10:15 or so this morning, and following the coffee
10 break, a description, lots of opportunity for
11 discussion on markups, loading, distribution
12 channels, life-cycle cost and payback-period
13 analysis, national impact analysis, refurbishments.
14 Then trial standard levels and proposed standards,
15 discussion of proposed standards

16 And the schedule as listed here in the
17 agenda is that we're going to finish today at 12:45.
18 I think no one wishes to truncate the opportunity
19 for comment and discussion. We'll go efficiently
20 and rapidly forward, we'll just see how long it
21 takes for us to do this. If we get to 12 or so, or
22 12:30 and we still have a fair piece to go, we'll
23 pause for lunch. Then we'll return and keep at it.

24 Any questions or comments about the
25 agenda? I see none at this point.

1 I'd ask for your consideration. Many of
2 you are familiar with this process. Please speak
3 one at a time. You're going to have to turn on the
4 microphone each time you speak. Please say your
5 name for the record each time you speak. I'm going
6 to be cuing individuals by name as best I can, so
7 you know who's in the queue. I also wish to
8 encourage follow-on comments. The back and forth
9 between individuals is sometimes very helpful to the
10 Department as it is sorting through what to do with
11 all this commentary.

12 Please keep the focus here. Turn your
13 cell phones on silent mode if you would, please, and
14 limit the sidebar conversations. If you can try to
15 be concise, there's certainly a lot to be said.
16 Having read the PowerPoint slides last night,
17 there's a lot of content here. So let's see if we
18 can keep it focused there. And I must say, if we're
19 disciplined in the conduct of the discussion today
20 as we were with the introductions, then that bodes
21 well for all of us, I think.

22 So I turn it back then to - do you want to
23 do opening statements first, or do you want to do
24 some additional introductory slides?

25 MR. RABA: Introductory slides.

1 MR. BROOKMAN: Introductory slides -
2 yours?

3 MR. RABA: Yeah.

4 MR. BROOKMAN: Okay.

5

6 **Introductory Remarks**

7 MR. RABA: Good morning again. Jim Raba,
8 Project Manager, distribution transformers proposed
9 rule and rulemaking. A lot of familiar faces. It's
10 good. Hope these are friendly faces, as they say.
11 You're certainly familiar and thank you for being
12 here today.

13 Today, as I said before, we're going to
14 present the results of the Department of Energy's
15 analyses of energy efficiency standards for
16 distribution transformers thus far as a proposed
17 rule. More so, we want to hear from you and to
18 encourage discussion of any issues surrounding this
19 rulemaking. Also we encourage your comments,
20 information and data as we look to a final rule by
21 October of this year. Written comment period for
22 this proposed-rule phase closes April 10th.

23 I mentioned issues. Today we're
24 highlighting issues of interest with comment boxes
25 like these throughout today's presentation. And

1 there are various ways to submit comments: email,
2 postal, hand delivery by courier, and the like.

3 Flashback to the Energy Policy Act of
4 2005, EPACT started all the ball rolling. October
5 2007, DOE issued a final rule establishing standards
6 for liquid-immersed and medium-voltage dry-type
7 distribution transformers. But, the Department was
8 ordered to reconsider. So, the Department agreed to
9 an expedited timeline whether to amend standards for
10 liquid-immersed and medium-voltage dry-type
11 distribution transformers, and low-voltage
12 distribution transformers were included with that.

13 So here we are today. This has been a
14 unique rulemaking and a first for DOE. Let me show
15 you. Here's the classic timeline, and here we are
16 today. You can see it started out back in July, end
17 of July 2011, and now we're at the NOPR stage there
18 at the beginning of this year. So in July 2011, DOE
19 issued a Notice of Intent to negotiate a proposed
20 rule. And you know the rest. The comments, data,
21 information exchanged in good faith by all
22 interested parties was awesome.

23 DOE established two subcommittees, one for
24 liquid-immersed and medium-voltage distribution
25 transformers, and one for low-voltage distribution

1 transformers, and these included, both included
2 manufacturers of transformers, steel, utilities,
3 energy efficiency advocacy groups, trade
4 associations, and other interested parties.

5 Now the medium-voltage and liquid-immersed
6 distribution transformers committee reached
7 consensus on standards for medium-voltage dry-type,
8 but the committee was unable to reach consensus on
9 liquid-immersed and low-voltage dry-type. So
10 notwithstanding, I believe we all agree that the
11 process was the best part. Congratulations and
12 thanks to all of you that made it happen. Special
13 kudos to the experts from Lawrence Berkeley National
14 Laboratory and Navigant Consulting Incorporated, and
15 our facilitator, Richard Parker at the time, that
16 did virtually 24/7 work for all you and for today's
17 proposed rule. So, in Doug Brookman's style, give
18 yourselves a round of applause. Well done.

19 (Applause.)

20 So here we are. We're looking at the,
21 again, at the essential seven: economic impact,
22 operating cost savings, projected energy savings,
23 performance, competition, national energy
24 conservation, and other factors. So, we'll then
25 proceed then to look forward now in this proposed

1 rulemaking phase and introduce then Brian Coffey who
2 will continue from Navigant Consulting.

3 MR. BROOKMAN: We did still want to take
4 opening remarks here at the outset.

5 MR. RABA: Okay. Still. Forgive me,
6 thank you. We invite you, we want to hear from you,
7 any opening remarks. We know there's some people,
8 persons of interest here who like to make statements
9 for the record, so raise your hand and Doug will
10 recognize you.

11 MR. BROOKMAN: Brief opening remarks.
12 Yes, please Ray.

13 **Opening Statements**

14 MR. POLINSKI: Ray Polinski from ATI-
15 Allegheny Ludlum, and just want to read a prepared
16 statement. ATI-Allegheny Ludlum fully supports the
17 Department of Energy's preliminary ruling regarding
18 more-stringent efficiency standards for distribution
19 transformers. The DOE fully utilized the expert
20 technical and manufacturing input from the
21 negotiated rulemaking process in arriving at this
22 decision. This results in higher standards for
23 transformers with mandated efficiencies typically
24 exceeding 99 percent, which ranks among the highest
25 in the world. At the same time, the standard

1 protects thousands of U.S. manufacturing jobs.

2 The new efficiency standards maintain a
3 competitive balance between grain-oriented
4 electrical steel transformer cores and long-standing
5 alternative materials. Grain-oriented electrical
6 steel is an advanced, highly engineered material
7 that uses nano-scale technology to produce a steel
8 that is nearly a perfect single crystal throughout.
9 This yields excellent electrical efficiency
10 properties when properly designed into a transformer
11 core. Grain-oriented electrical steel manufacturing
12 is carried out economically on a mass-production
13 basis with global production surpassing two million
14 metric tons annually from a multitude of producers.
15 These factors ensure adequate supply for all
16 manufacturers of distribution transformers and
17 vigorous competition on price.

18 More radical increases in mandatory
19 efficiency would result in the wholesale replacement
20 of grain-oriented electrical steel with a core
21 material that is manufactured on a very limited
22 basis relative to the size of the U.S. distribution
23 transformer market, by a single foreign-owned
24 company that currently exports much of its
25 production. Regulation resulting in a monopoly

1 position for core materials is likely to result in
2 uncontrolled price increases and supply shortfalls,
3 particularly for small manufacturers of distribution
4 transformers, and is likely that transformer prices
5 will increase rapidly in such environment. This
6 cost would invariably be passed on to consumers of
7 electricity.

8 A scenario where grain-oriented electrical
9 steel is not available as a core material option
10 would damage the dwindling manufacturing base in the
11 U.S. and could result in a long-term situation where
12 no domestically owned company would produce the
13 strategically important material for transformers
14 that are the critical link in the U.S. electrical
15 grid.

16 Ongoing investment to improve grain-
17 oriented electrical steel efficiencies, while
18 alternative core material options - excuse me.
19 Ongoing investment used to improve GOES [grain-
20 oriented electrical steel] efficiencies while
21 alternative core material options that have been
22 produced for over 30 years also remain available.

23 The DOE has arrived at a well-balanced
24 update to the distribution transformer efficiency
25 standard that results in significant additional

1 energy savings, is environmentally responsible,
2 maintains the domestic manufacturing base for core
3 materials and meets America's current and future
4 needs for electrical energy conservation, cost
5 effective delivery, and stability of supply.

6 Thank you.

7 MR. BROOKMAN: Thank you. I think all of
8 you received a copy of that opening statement from
9 Ray in your packet. Additional, and hopefully brief,
10 opening statements. Yes, Phil.

11 MR. HOPKINSON: Phil Hopkinson, HVOLT,
12 Inc. I'm not going to read the letter that I
13 submitted -

14 MR. BROOKMAN: Which is in the record.

15 MR. HOPKINSON: -- which is in the record,
16 but I would do something that I find that I like to
17 do, which is to compliment those who deserve it when
18 they do deserve it, and certainly to pick on those
19 when I think that they don't deserve it. But in
20 this particular case, I have to say that I am
21 extremely pleased with the NOPR as it is submitted
22 and as we are addressing it today. I think that
23 there are benefits that come through to certainly
24 energy savings, and as some of my colleagues have
25 calculated, they've concluded that in liquid-filled

1 transformers, there is more than a 41 percent
2 reduction in loss over the low first-cost design as
3 a result of this NOPR, which is quite a change over
4 what it had been back before we started to regulate
5 distribution transformer energy efficiency.

6 So I think that the result of improved
7 losses is clearly there. I think also that the
8 ability to use multiple steels, including M3, which
9 has become quite a workhorse to the industry, as
10 well as amorphous core, which also is an evolving
11 technology and material and is starting to take on
12 wider use. Both materials are capable of being
13 used, and I think that that part is good as well.
14 And I think that it keeps the small manufacturers in
15 business, which is something that I personally have
16 worked hard to try to achieve in this process, and
17 I've been fortunate to do work for Navigant and
18 certainly my DOE friends as well as many of the
19 manufacturers. So I have to conclude that just
20 excellent work, and of course, Richard Parker, I
21 thought, did a wonderful job also in the process.

22 So that's heartfelt and not read, but I
23 think that's what I believe.

24 MR. BROOKMAN: Okay. Thank you.
25 Additional comments here at the outset. It is John,

1 is it?

2 MR. CASKEY: Yes. John Caskey, NEMA. I
3 did prepare some remarks and sent them to Jim. I'm
4 not sure if you got them or not for the record.

5 MR. RABA: I've not received them yet, but
6 they will go into the record.

7 MR. CASKEY: Okay. So I'll get you the
8 more official version, but I'll just read this very
9 quickly, a part of it. NEMA would like to thank the
10 Department of Energy and its staff for providing
11 NEMA and other stakeholders the opportunity to
12 participate in the innovative negotiated rulemaking
13 process for energy conservation standards for
14 distribution transformers. From NEMA's perspective,
15 this process has been extremely valuable in helping
16 all the stakeholders understand the interest and
17 concerns of the other stakeholders. In addition, it
18 provided an opportunity for the transformer and
19 steel manufacturers to explain existing technologies
20 and markets, and for the Department's consultants to
21 refine the various models and input assumptions used
22 in the analysis.

23 From NEMA's perspective, the energy
24 efficiency levels presented in the NOPR represent
25 the highest level of energy savings that are

1 economically justified and maintain a healthy
2 transformer industry in the United States. Going
3 beyond the proposed levels will disrupt the steel
4 and transformer industries in the U.S. Further, we
5 are concerned that transformer efficiency levels
6 higher than what are contained in the NOPR could
7 lead some utilities to rebuild old transformers in
8 place of buying new, high efficient transformers,
9 which would be counter-productive to the objective
10 of greater energy efficiency.

11 In short, NEMA strongly recommends that
12 the DOE adopt the efficiency levels stated in the
13 NOPR, because we believe these are the highest
14 efficiency levels that are economically justified
15 and support a healthy utility, steel, and
16 transformer industries in the United States. Thank
17 you.

18 MR. BROOKMAN: Thank you. Other comments
19 here at the outset? Jerry.

20 MR. CORKRAN: Jerry Corkran, Cooper Power
21 Systems. I also have a letter in the information.
22 I won't read the whole letter, but the key sentence
23 in it is that Cooper considers the proposed ruling
24 the best choice for the distribution transformer
25 industry and for the American people who will

1 receive more efficient transformers in a cost-
2 justifiable manner.

3 MR. BROOKMAN: Thank you very much. Yes,
4 please.

5 MR. COULTER: Greg. Greg Coulter, Prolec-
6 GE. I have a short statement. Prolec-GE would like
7 to thank you for the opportunity to attend this
8 public hearing and to offer our perspective on the
9 proposed rule as it relates to medium-voltage
10 liquid-immersed distribution transformers. It would
11 also like to thank the Department for allowing us to
12 participate in the recently concluded negotiated
13 rulemaking sessions.

14 Although we were disappointed the process
15 did not result in a negotiated agreement for liquid-
16 immersed distribution transformers, we feel it did
17 provide a critical venue for concerned parties to
18 communicate their perspectives and positions that we
19 believe has enhanced and resulted in the proposed
20 rule.

21 In the negotiation sessions we were party
22 to and supported the NEMA proposal for liquid-
23 immersed distribution transformers, which we
24 believed provided significant energy savings while
25 maintaining manufacturers' ability to utilize a

1 range of materials and sources to achieve those
2 savings. We are pleased to see that the proposed
3 rule is consistent with the NEMA proposal for
4 improving efficiency levels while preserving the
5 flexibility in materials and designs needed to serve
6 the varied requirements of the customers. We
7 commend the work of the Department and offer our
8 support of the proposed rule.

9 However, we remind the Department that
10 NEMA position included provisions relating to
11 special handling of covered products for specialized
12 applications where physical constraints are an
13 ongoing issue. Since GE also manufactures network
14 and vault distribution transformers at our
15 Shreveport, Louisiana location, we want to emphasize
16 that many of our customers for these unique products
17 have critical size, weight, and other physical
18 performance limits that can conflict with changes in
19 efficiency standards.

20 Our written comments which will be
21 provided to the Department will support the
22 recommendations of the working group for networks
23 and vaults established as part of the negotiated
24 rulemaking activities.

25 MR. BROOKMAN: Thank you. Other comments

1 here at the outset. Andrew, do you have a comment?

2 MR. deLASKI: (off microphone comment) So
3 actually, this is going to be a little lengthy,
4 Doug, if you'll forbear -

5 MR. BROOKMAN: Who are you? (Laughter)

6 MR. deLASKI: My name's Andrew deLaski and
7 I'm the Executive Director of the Appliance
8 Standards Awareness Project. ASAP is a coalition
9 project that is led by a steering committee that
10 consists of consumer organizations, energy
11 efficiency advocates, environmental organizations, a
12 major public utility, and state government
13 representatives. We are an organization that
14 advocates for cost-effective energy efficiency
15 standards across a range of products, and have been
16 involved in DOE rulemaking processes for about the
17 last 15 years.

1 In this opening statement I want to do
2 five things:

- 3 • One is I want to correct the record with
4 respect to the positions taken during the
5 negotiation process;
- 6 • Secondly, I want to make some overall brief
7 observations with respect to the selected
8 levels for low-voltage dry-type transformers;
- 9 • Third, I want to make two specific
10 recommendations for additional analysis
11 that's needed with respect to low-voltage
12 dry-type transformers;
- 13 • Fourth, I'm going to shift from low-voltage
14 dries to the medium-voltage liquid-immersed,
15 and I'll make some overall observations with
16 respect to medium-voltage medium-voltage
17 liquid-immersed transformers;
- 18 • And then close with three specific
19 recommendations for additional analysis
20 that's needed with respect to medium-voltage
21 liquid-immersed transformers.

22 First of all, let me correct the record.
23 If you look at page 2292 of the NOPR, the Department
24 attempted to characterize the positions taken at the

1 end of the negotiation process. In here it states,
2 this is on the right hand side of 7292, lower right
3 hand corner, the document states, "For medium-
4 voltage liquid-immersed distribution transformers,
5 the advocates represented by the Appliance Standards
6 Awareness Project recommended efficiency level, also
7 referred to as EL-3, for all design lines."

8 So we made it clear during the negotiation
9 that we reserved the right to push for higher
10 efficiency levels in a contested rulemaking. We
11 also made it abundantly clear that we were very
12 prepared to accept EL-2 as a negotiated outcome. I
13 think everybody who was part of that process knows
14 that there was a set of us in that negotiation
15 process who were prepared to accept EL-2 as the
16 outcome, the transcripts from that negotiation
17 process reflect that.

18 So let me just remove any ambiguity. We
19 think EL-2 would be a good outcome as a final rule.
20 EL-2 is best represented by TSL-4. Unfortunately,
21 and this is a little shocking, the Department did
22 not set up a TSL which reflects EL-2 despite the
23 fact that a broad set of stakeholders supported that
24 as a likely or as a good outcome, but TSL-4 is the
25 closest to EL-2 as a - most closely represents EL-2

1 as a TSL.

2 So, I want to shift to correcting the
3 record with respect to low-voltage dries. On low-
4 voltage dries, on the following page, the document
5 states that "ASAP recommended EL-4 for all design
6 lines." Again, this is incorrect. We recommended
7 EL-4 for design lines seven and eight. We did not
8 make a recommendation with respect to design line
9 six.

10 MR. BROOKMAN: Will you state where you
11 are again in the record, Andrew?

12 MR. deLASKI: So I'm in the middle of page
13 7293.

14 MR. BROOKMAN: Thank you.

15 MR. deLASKI: Now I recognize that the
16 Department was under extreme time pressure in
17 preparing this NOPR, and I think we saw that during
18 the negotiation process, and again I also applaud
19 the consultants and the team for what was an
20 extraordinary amount of work last fall and working
21 under time pressure to both support a negotiation
22 and to develop a NOPR at the same time, and I
23 suspect that the NOPR, frankly, doesn't reflect the
24 full negotiation because we were still talking in
25 December 22nd, and you guys probably had to write

1 this earlier in December. So I think that the
2 record is, if you go back to the complete record,
3 you'll see that some additional work needs to be
4 done to have the final rule reflect the complete
5 record of the negotiation process.

6 I also think, you know, it resulted in
7 having to rush and, in rushing, mistakes get made
8 and I understand that, but I just wanted to take the
9 time to correct that record, and there are other
10 items within the NOPR that also will need to be
11 corrected I think, based on the negotiation record.

12 I want to then shift to low-voltage dry-
13 types. The choice that DOE made for low-voltage
14 dry-type transformers, which is TSL-1, in our view
15 does not adequately weight the consumer,
16 environmental, and energy saving benefits from
17 selecting higher levels. And specifically we
18 recommend TSL-3, which is the same as EL-4 as the
19 recommended standard that we think would be a better
20 balancing of the seven factors and would lead to
21 more significant energy savings.

22 Now DOE, in choosing the lower efficiency
23 level leans very hard on concerns about
24 manufacturers. In fact, if you would choose the
25 level that would maximize consumer benefits, you

1 would choose the level that we've recommended. In
2 leaning on impacts to manufacturers, there's really
3 a focus on the capacity of small manufacturers to be
4 able to miter transformers or shift to wound-core
5 construction.

6 We think that the impact on small
7 manufacturers is an important factor to consider in
8 the rulemaking, but it's not the only factor, and
9 the decision-making here seems to have turned on
10 this one critical question of what are the impacts
11 on small manufacturers. If you look at the data,
12 the Department says that about 50 percent of low
13 voltage dry-type transformers manufactured in the
14 rulemaking. And so specialty - there are a lot of
15 specialty low-voltage dries, and this is where most
16 of the small manufacturers have the bulk of their
17 business that is outside the scope of this
18 rulemaking.

19 The Department also concludes that 75
20 percent of low-voltage dry-type transformers are
21 manufactured in Mexico. These are the commodity-
22 grade transformers that make up the bulk of the
23 market, and also make up the bulk of the opportunity
24 for energy savings, are being manufactured in Mexico
25 by high volume transformer manufacturers, as opposed

1 to by the small manufacturers that appear to be the
2 primary concern the Department raises with respect
3 to going to higher efficiency levels.

4 So then turning to small manufacturers,
5 the concern the Department raises is the access to
6 mitering machines. To go to EL-4, we recognize,
7 would require manufacturers to miter their cores.
8 You've got two options, to buy a mitering machine,
9 which the record shows is an investment of about a
10 half a million dollars for a basic mitering machine,
11 or you can source your cores. About 50 percent of
12 small manufacturers, according to DOE, already have
13 a mitering machine. Half a million dollars is a
14 significant investment, but it's not an investment
15 that's outside the reach of most viable businesses.

16 Manufacturers readily acknowledge that
17 they already source their cores. Big manufacturers,
18 the biggest manufacturers to the smallest
19 manufacturers, source cores today. So the notion
20 that you can't have a viable business that sources
21 cores is inaccurate. It is part of the business
22 today. There is no reason why it can't be a
23 continuing part of the business in the face of a new
24 efficiency standard.

25 So we think that DOE's rationale for not

1 selecting the higher level, EL-4, is poorly argued,
2 is not substantiated by the record, that
3 manufacturers can choose to either source cores or
4 to invest in mitering machines to get to the higher
5 efficiency level of EL-4, that DOE should reconsider
6 and reevaluate the options of small manufacturers to
7 comply with the standard.

8 Finally, I would say that it would be
9 irrational, almost silly, to deny the public
10 billions of dollars in net consumer benefits for
11 want of a few million dollars in investment capital
12 in mitering machines. We're talking about - how
13 many mitering machines are we talking about? What's
14 the investment? The Department's analysis doesn't
15 address this question. We're talking about
16 significant benefits for consumers and for the
17 environment that are being left at the table for
18 want of a small amount of money to invest,
19 relatively small amount of money to invest in
20 mitering equipment.

21 So, two recommendations, which are
22 somewhat related but not entirely. One is that the
23 Department needs to do additional analysis to fill
24 in the gaps in the engineering curves. This was
25 discussed during the rulemaking process. If you

1 look through the negotiation process, if you look at
2 the results of DOE's analysis of the national impact
3 analysis and the LCC, what you'll see is there's not
4 a big difference between TSL-1, TSL-2, and TSL-3.
5 The Department shows, in fact, that the life-cycle
6 cost analysis is identical between TSL-1 and TSL-2.
7 That's a shocking result. It's a result that's
8 inconsistent with the record, because the
9 manufacturers and everyone sitting around the table
10 said the consumers buy the low-voltage dry-type
11 transformers based on first cost. The market is
12 exactly at the DOE standard, the lion share of the
13 market. Yet the DOE analysis shows that if you go
14 from TSL-1 to TSL-2, there's no change. And we
15 discussed this during the negotiation process, the
16 reason for that DOE has modeled a flat or virtually
17 flat curve, no change in LCC results as you move
18 from TSL-1 to TSL-2 to TSL-3. And that's simply not
19 what's being observed in the marketplace.
20 Purchasers are deciding to buy low cost transformers
21 because they're focused on first price and to go up
22 to higher efficiency levels does entail an increase
23 in first cost, and that's not reflected in the
24 numbers. So DOE needs to do additional analysis to
25 fill in those gaps in those scatter plots so that we

1 know what the shape of that curve is. DOE's
2 consultants during the analysis said on the record,
3 during negotiation, that the analysis for TSL-3 was
4 robust, but they were concerned that the analysis
5 for TSL-2, for EL-2 and EL-4 was inadequate, and
6 that's the case. It's inadequate analysis. We
7 don't have a curve that reflects the actual changes
8 in costs as you go from TSL-1, EL-1 to 2, to 3, to
9 4. When you fill in those gaps, I think you'll see
10 a shape that would suggest that there's a more
11 significant change in national savings as you go up
12 from 1, to 2, to 3.

13 One of the gaps that we think needs to be
14 filled in is to look at M4 butt-lap designs for low-
15 voltage dry-type transformers. This is a gap that
16 we think will show that there's a more cost-
17 effective standard at that level.

18 So this leads to my second recommendation
19 which is that DOE needs to more fully investigate
20 the limits of butt-lap manufacturing methods with
21 material substitution. And the Department has
22 concluded in the NOPR that TSL-1 is the highest
23 level that you can go to and still use butt-lap
24 manufacturing techniques. And says, we can't go to
25 TSL-2, which is the NEMA premium level, because you

1 can't butt-lap at TSL-2. Yet during the negotiation
2 process, manufacturers said they butt-lapped at EL-
3 2. So here we have a decision based on an assertion
4 which is not supported by substantial evidence on
5 the record.

6 So DOE, by investigating what are the
7 limits of butt-lapping manufacturing techniques
8 using material substitution will be able to more
9 fully make a decision based on that criteria, which
10 is apparently quite important to the Department.
11 Now, don't get me wrong, we don't think butt-lapping
12 should be the criteria by what DOE makes its
13 decision. We think, as I said in my opening
14 remarks, that standards that can be achieved by
15 mitering or wound cores are fully justifiable based
16 on the record. But if you're going to decide, make
17 a decision based on the limits of butt-lapping, then
18 you need to look for those limits thoroughly.

19 So let me shift to medium-voltage liquid-
20 immersed. For this equipment super class, the level
21 proposed by DOE is far below the point which would
22 maximize consumer benefits. As with low-voltage
23 dries, the Department has put an inordinate amount
24 of weight on the impacts on manufacturers to the
25 detriment of the potential for consumer benefits.

1 Indeed, the difference between the level the
2 Department proposed and the level that we support,
3 which is EL-2, and EL-2 being best represented by
4 TSL-4, a difference of a multiple of four. So four
5 times the energy savings, four times the net
6 consumer benefits going from the level proposed to
7 the level that we support.

8 The Department leans, in this
9 determination, on impacts on manufacturers, clearly
10 leans on three things: impacts on the transformer
11 manufacturers, particularly small manufacturers, the
12 availability of amorphous metal, and impact on steel
13 manufacturers. These are the three concerns
14 outlined as to the reason why DOE hasn't gone to
15 levels that would result in larger benefits for
16 consumers. And the crux of each of these points is
17 the crossover point. We all discussed at length last
18 fall, where is this magical crossover point? Where
19 is it that you find that you get robust competition
20 between manufacturers of grain-oriented electrical
21 steel and amorphous metal. We think finding that
22 crossover point is a critical part of the decision.
23 We think it's appropriate. We want to have an
24 outcome where we have robust competition amongst
25 core steel suppliers, core material suppliers. We

1 think it's valuable to have three domestically based
2 domestic manufacturers of core material suppliers
3 who are competing robustly in the marketplace to
4 provide core material. In the market today, the
5 grain-oriented electrical steel manufacturers have
6 the lion's share of the market, AK and Allegheny
7 Ludlum are the incumbent players in the core steel
8 market, so we have two - two competitors who have
9 the lion's share of the market. Move into a market
10 where we have three competitors we think would be a
11 better competitive outcome than the status quo.

12 So the question is, where is that
13 crossover? During the negotiation - so DOE seems to
14 have concluded that sticking with the status quo
15 where we have two competitors is a good outcome.
16 That's essentially what we have. During the
17 negotiation, two of the largest manufacturers said
18 on the record that this crossover point, where you
19 get robust competition between amorphous metal and
20 conventional electrical steel is roughly at EL-2.
21 So again, roughly TSL-4. A third major manufacturer
22 on the record said that it's roughly at EL-1.5.

23 Steelmakers and unions endorsed EL-1 in a
24 written letter submitted to the Department shortly
25 after the new year. EEI, APPA, and NRECA also

1 endorsed EL-1 in a letter submitted to the
2 Department in January. So these positions reflect a
3 diversity of views as to where that crossover point
4 actually is. Now, incredibly, and this is really
5 shocking, the Department actually took the standard
6 below a level recommended by any of these
7 stakeholders in their written comments. Now, I'm
8 not surprised to hear backpedaling this morning, the
9 folks say yeah, the proposal looks good, but it's
10 actually lower than what they recommended. So for
11 the lion's share of the transformers on the market
12 for the small single-phase transformers, liquid-
13 immersed transformers, the proposal was EL-point
14 four. Yet all the stakeholders I just named
15 supported a level higher, EL-1. EL-1.5, EL-2 as the
16 likely crossover point. You know, it's almost mind-
17 boggling the Department would go to a level that's
18 below that recommended by anybody.

19 So we think it's reasonable to consider
20 going to higher levels in the final rule, as I know
21 the Department does too and has been clear about its
22 proposal. As we think about where that crossover
23 point is, we think it's reasonable to look to the
24 data and the information from the record during the
25 negotiation by manufacturers which show that that

1 crossover point is roughly at EL-2 or EL-1.5.

2 However, the Department needs independent
3 analysis, so our recommendation is that DOE needs to
4 do a thorough, independent analysis of its own of
5 what the likely crossover points are. Now it's
6 unlikely to be a single point. This analysis needs
7 to recognize that there's pricing power in the
8 market for materials. These are large companies
9 that have significant market share. They aren't
10 price takers. Financial data, financial reporting
11 indicates that grain-oriented electrical steel is a
12 very high profit margin product. Indeed, it is the
13 profit-making center for the steel makers, and that
14 indicates a market in which these folks have some
15 pricing power. So to suggest that they're going to
16 stand idly by and leave prices unchanged while a
17 competitor enters the market just isn't accurate.
18 Prices are a factor that will shift in response to
19 new market entries or nearly competitive market
20 entries.

21 So DOE needs to do a new analysis,
22 independently analyzing the competitive - where are
23 these materials competitive - and recognizing that
24 you're not going to get a single point answer
25 because the prices of the materials will shift in

1 response to the new standards.

2 And the final concern is the impact on the
3 steel manufacturers. This is, of course, a
4 legitimate and important area for the Department to
5 investigate and of concern to, I think, all of us.
6 The incumbent steel manufacturers, of course, have a
7 strong interest in the outcome. Jobs in
8 manufacturing steel, there are jobs in manufacturing
9 amorphous metal. DOE asserts their concern for
10 steel manufacturing jobs, yet has not provided any
11 analysis on what the impact on steel manufacturing
12 jobs are - simply assertions. So the rule will
13 undoubtedly affect steel manufacturers and the
14 manufacturers of amorphous metal, but how? Overall
15 the demand for silicon steel will go up as a result
16 of the low-voltage dry- type rule. It will go up as
17 a result of the medium-voltage dry-type rule.
18 Indeed, a press release issued when the NOPR came
19 out, AK said, looks like our demand is going up
20 because of this rule. The demand for silicon steel
21 went up as a result of the 2007 rule. So the
22 conventional steel manufacturers have seen
23 significant increase in demand for high value
24 electrical steel as a result of the 2007 rule, and
25 again they will as a result of this NOPR if it's

1 finalized as a final rule.

2 What we don't know is, at what point does
3 the demand start to go down, because DOE hasn't done
4 the analysis. We're seeing increased - there will
5 be increased tonnage for more stringent standards.
6 What you don't know is at what point does that
7 increased tonnage turn into decreases in tonnage,
8 because they start to lose market share to amorphous
9 metal. Finding that point is a critical charge for
10 the Department, as it moves to go to a final rule.
11 What's the current tonnage? What changes would you
12 see at different standard levels? And what are the
13 overall domestic jobs at stake? What's the current
14 employment levels in steel manufacturing for
15 electrical steel and what are the potential impacts
16 of standards on - improved standard levels - for
17 manufacturers of core material, whether those jobs
18 are in Pennsylvania or South Carolina. This
19 analysis simply hasn't been done, yet the Department
20 bases its decision, in part, on it. There's no
21 substantial evidence on what the Department has
22 based its decision on when it comes to steel
23 manufacturers thus far.

24 So our second recommendation is that DOE
25 do that analysis. I'm going to close with a

1 discussion of product classes. Greg raised this in
2 his comments about NEMA's recommendations for
3 specific treatment for transformers. We all
4 discussed this at some length last fall. In our
5 comments at the PTSD [preliminary technical support
6 document] phase, we suggested that DOE should
7 investigate separate standards for pads versus
8 poles. We still think this is a valid approach, and
9 that DOE should investigate and consider trial
10 standard levels that set different standards for
11 pads versus poles. Indeed, the whole analysis is
12 based on that. The proposed rule then combines the
13 pad and poles into a proposal, which again is not -
14 the LCC results in the document don't even reflect
15 the actual standards proposed because the analysis
16 is based on pads versus poles.

17 So we think that looking at separate
18 standards for pads versus poles would be a way to go
19 forward that would recognize the differences between
20 pads and poles, and potentially be able to reap some
21 of the significant savings going to higher levels
22 with pads than you do with poles. Now we heard a
23 lot about poles during the transformer negotiations,
24 particularly from the rural utilities, and we heard
25 those concerns and we think that separating these as

1 separate product classes would make good sense.

2 There also was a discussion of high BIL
3 ratings during the negotiation. We think that
4 looking at separate standards for high BIL ratings
5 and low BIL ratings make sense. The bottom line is
6 that the bulk of the market is in the low BIL
7 ratings. You don't want the standards to be held
8 back by the high BIL transformers because of the
9 difficulties of making those more efficient than
10 making low BIL transformers reach higher efficiency
11 levels, such as EL-2 or TSL-4.

12 So our final recommendation is that DOE
13 needs to evaluate some new trial standard levels.
14 We would recommend that DOE first evaluate a trial
15 standard level that reflects EL-2 across the board.
16 We second would recommend that DOE evaluate a trial
17 standard level that evaluates EL-1.5, a level
18 identified by one of the major manufacturers as a
19 likely crossover point. We also would suggest TSL-
20 A1 and B1, that is for each of those then lower the
21 standard by one EL for the poles. So that would be
22 EL-2 across the board, except for EL-1 for pole-
23 mount transformers and EL-1.5 across the board,
24 except for El-.5 for poles.

25 We think if DOE evaluated those TSLs and

1 did the additional analysis that we've described,
2 that you then would have before you a set of choices
3 that would enable you to better balance the seven
4 factors. As we stand right now, the entire
5 weighting on, you know, what is the minimum
6 disruption for manufacturers, and for steel
7 manufacturers, and the result is that consumers are
8 left with billions of dollars of net savings that
9 are not being achieved, and considerable benefits
10 for the environment that are being left on the
11 table. Thank you.

12 MR. BROOKMAN: Thank you. I want to hear
13 from someone else first, and then I'll bring it back
14 to you, Phil. We don't want to do the entire
15 session here based on opening remarks. We want to
16 be rather structured and go through the content
17 that's here in the slides, but these opening remarks
18 I think are important, so we'll keep doing this for
19 a little bit. Is it Mike? Mike.

20 MR. HYLAND: Mike Hyland, the American
21 Public Power Association. No consumers have spoken
22 yet, in my opinion. We've had environmentalists and
23 manufacturers, and we represent 2000 municipalities
24 that represent about 47 million consumers, and every
25 single dollar increase in cost, guess what, gets

1 passed directly to those consumers. We aren't for
2 profit, so costs are a big issue for us. We are
3 very happy with the way the rule came out. We can
4 stand by it. But I also worry about the rule of
5 unintended consequences. We sat here two years ago,
6 or I sent comments here two years ago in a
7 different rule and we agreed with what the agency
8 came up with, and then between this point and the
9 final rule in a certain area, we agreed, it
10 increased.

11 And now we're sitting here in a real mess
12 where the environmentalists are not happy either
13 because this country is poised to actually have a
14 less efficient situation going on as of 2015 if we
15 don't correct it. So when we look at unintended
16 consequences, when you look at this rule, some of
17 the reasons we're concerned, if we did go higher at
18 this point, is the refurbish market which you did
19 not talk about in your comments. The refurbish
20 market is a concern for us. We have some utilities
21 doing that already. It's an unintended consequence.
22 Amorphous cores - many of our members are using it.
23 They're also showing us that they don't last as
24 long. We've heard some arguments there, but we have
25 proof from one of our anecdotal that they don't

1 last the same amount of time as the steels we're
2 using today. And the other is the allocation of
3 resources in these small communities. Every dollar
4 you spend on an increased transformer budget is a
5 dollar you're not spending in another energy-
6 efficiency manner, whether that is energy auditing,
7 or that is lighting, or whatever it may be, those
8 dollars are precious, and we're getting whatever at
9 this point in increase, and it's going to decrease
10 over here a lot more. So the unintended
11 consequences of going higher, at this point, are
12 actually going to hurt the communities that I
13 represent.

14 That's all I have. We're really happy
15 with the process, everything went great. Really
16 enjoyed the process since July. Thank you.

17 MR. BROOKMAN: Other comments here at the
18 outset? Steve Rosenstock.

19 MR. ROSENSTOCK: Steve Rosenstock, EEI.
20 Again, we were part of the process. We appreciated
21 being part of the process. Just a couple of general
22 thoughts in opening. I think DOE and the
23 consultants have done quite a bit of analysis, in
24 fact, it seemed like we were getting a new analysis
25 every week somehow from the consultants. It was

1 very amazing how they were able to put out so much
2 work product.

3 In terms of impacts on manufacturers, it
4 does show in the NOPR, Table 5.38 on page 7359, what
5 the impacts are on transformer manufacturers, based
6 on the types of - this is for liquid-immersed
7 distribution transformers. The NPVs [net present
8 values] are all negative across all TSLs. They did
9 the analysis. They've already done the analysis in
10 there. I don't know what redoing that analysis is
11 going to do, but they have shown summary results on
12 the manufacturers.

13 I heard a lot of discussion about the
14 consumers. Well, APPA, NRCEA, and EEI, we're - EEI
15 is the largest consumer of transformers. We buy new
16 products. We operate them, we maintain them, we
17 replace them. We're the consumers. I heard a lot
18 of things about consumer benefits. With all due
19 respect, as the actual consumer at the table, we're
20 happy to speak for ourselves, thank you very much.
21 We have looked at the numbers. We look at them
22 every day. We have our own way of analyzing them,
23 and we think that the - we have some issues with the
24 rule, especially because right now in the NOPR there
25 is no discussion about how vaults and networks are

1 going to be treated. Hopefully this session today
2 we can discuss that and hopefully there can be some
3 changes before the final rule.

4 In terms of more analysis, because of the
5 court-ordered settlement, DOE has to get this rule
6 out October 1, 2012. If they do significant more
7 analysis, they might have to do a supplemental NOPR
8 and have more public hearings, and I don't - the way
9 the schedule is right now, which is the parties that
10 sued the Department had agreed to this schedule, and
11 some of them are sitting in this room, the rule has
12 to get out October 1, 2012, period, end of quote.
13 So the idea of certain analysis might be nice, but I
14 don't think the Department has time under the
15 settlement. Thank you very much.

16 MR. BROOKMAN: Other comments, before we
17 start doubling back? Okay. Jerry first.

18 MR. CORKRAN: Jerry Corkran, Cooper Power.
19 I want to speak just on the medium-voltage liquid-
20 filled. The DOE says in the proposed ruling that
21 the crossover is EL-1. That's what our computer
22 programs agree with Navigant on. It's an equal
23 playing field at EL-1 between amorphous and silicon
24 core steel, and when you go - whether you go to EL-2
25 or EL-3 it's totally dominated by amorphous, so it's

1 like a teeter-totter when you go past El-1, it's not
2 a level playing field any more. I want to emphasize
3 that point.

4 MR. BROOKMAN: Okay. Thank you. I might
5 suggest pretty quickly we move towards a more
6 systematic discussion of the content that's in the
7 record. We'll take a few more comments. Phil,
8 please.

9 MR. HOPKINSON: Phil Hopkinson, HVOLT,
10 Inc. My good friend, Andrew deLaski, made some
11 comments and I must certainly put something on the
12 record, and having been an engineering manager for
13 both GE's low-voltage dry-type products as well as
14 Square D's low-voltage dry-type products, and having
15 done a considerable amount of work on market size,
16 what I can tell you is if we take the low-voltage
17 dry product in total, that there are about 600
18 million sheets of steel that would make up a stack-
19 core product that covers the industry of low-voltage
20 dries in a normal year today. And as having looked
21 at the investment required to do that with mitering,
22 it would be something that takes not just half a
23 million dollars, but millions and millions of
24 dollars to be able to do that, and that has always
25 been the concern of the low-voltage dry industry, of

1 how much investment can be mustered to support that
2 industry.

3 The small manufacturers that exist in
4 Virginia, in Pennsylvania, in New Jersey, in
5 California, and a good many other states, absolutely
6 cannot afford that investment, and so the issue is
7 will we put those manufacturers out of business, or
8 will we force them to, in effect, purchase cores and
9 perhaps run out of work for them anyway? So that's
10 low-voltage dries.

11 The other piece is in medium voltage, and
12 I could summarize everything by saying that as Jerry
13 Corkran had indicated, the cliff between M3 and
14 amorphous is at design efficiency level one. If you
15 go past that, it's a hard move to amorphous and it
16 cuts off M3 core steel and therefore domestic grain-
17 oriented electrical steel and moves it to a Hitachi
18 product that's out of the country, so that it is not
19 a case of well, maybe we can negotiate a little bit.
20 It's a hard move. That's all I have.

21 MR. BROOKMAN: Thank you. I'd like to
22 proceed then with the presentation slides, get Brian
23 Coffey up here. I presume that most of what's been
24 said here in these opening remarks is embedded in
25 this content, and I'd like to go through and get the

1 varying and different perspectives based on the
2 presentation material.

3 Many of you have participated in the
4 negotiation. Some of you have not participated in
5 this kind of a meeting where there's a real
6 structured opportunity following presentations to
7 get a vigorous discussion going. So let's do that
8 now. Brian.

9 **Rulemaking History, Schedule and Scope**

10 **Negotiated Rulemaking Process**

11 MR. COFFEY: Brian Coffey with Navigant.
12 I think because of the negotiation process many in
13 the room are more familiar than usual with some of
14 the details of how DOE does its analysis, so I'll
15 try to move quickly through these slides. For the
16 NOPR stage of the rulemaking, DOE revises several
17 analyses first presented during the preliminary
18 analysis phase and they conduct some other specific
19 to the NOPR. For the final rule, DOE performs
20 revisions to the NOPR analyses as needed.

21 Here's an overview of the current
22 standards for distribution transformers. I
23 mentioned earlier that low-voltage dry-type has
24 standards set by EPACT 2005, and that both liquid-
25 immersed and medium-voltage dry-type were regulated

1 in the 2007 final rule. Medium-voltage dry-types
2 were unique in that they had standards that varied
3 by BIL rating, and DOE is considering extending this
4 practice to liquid-immersed units as a result of the
5 stakeholders' discussion during the negotiated
6 rulemaking process.

7 EPACT 2005 had also presented the
8 definition of distribution transformer, which was
9 refined by the 2006 test procedure rulemaking. I'll
10 skip reading it aloud for brevity. You can find the
11 text in your handouts.

12 Here's the second half of that definition.
13 This is how the terms liquid-immersed, low-voltage
14 dry-type, and medium-voltage dry-type are defined.

15 MR. BROOKMAN: Pause there for a moment.
16 Any comment on these definitions? Okay.

17 MR. COFFEY: So here are two requests for
18 comment on the definitions. DOE received comment
19 that rectifier and testing transformers should
20 indicate on their nameplates that they are for such
21 purposes exclusively, and request comments on its
22 proposal to require that.

23 Currently, underground mining transformers
24 are not subject to standards. DOE received comment
25 that transformers used in certain other underground

1 activities, but not mining per se, may face
2 constraints similar to those faced by underground
3 mining transformers. DOE has not proposed to expand
4 the definition of underground mining transformer,
5 but requests comment and information useful in
6 precisely expanding the definition to encompass any
7 activity that entails remove of material
8 underground, such as digging or tunneling.

9
10 MR. BALLO: Tim Ballo, EarthJustice. A
11 couple things on this issue. In the preamble for
12 the Federal Register NOPR there is a discussion of
13 including a nameplate on rectifier and testing
14 transformers. I think in principle that's a good
15 idea. However, there wasn't, at least I don't
16 believe there was actual proposed regulatory
17 language in the proposed changes to the CFR [Code of
18 Federal Regulations]. I don't know that's critical,
19 but it is usually helpful to see that in case there
20 are issues with that proposed language. The only
21 question I think I have on the nameplate requirement
22 is whether that's sufficient. I think we heard
23 during the negotiations quite a bit from the
24 manufacturers about potential loopholes, some of the
25 transformers that are defined in the regulations

1 that are exempt from the standards for distribution
2 transformers, particularly other than the rectifier
3 and testing units, the uninterruptable power supply
4 units, and the sealed and non-ventilating
5 transformers. So, I think we had a really
6 productive couple of work groups during the
7 negotiations to arrive at some consensus definitions
8 for networks and vaults and for data center units,
9 and I am happy to continue with those discussions
10 for any of the other transformers that are of
11 concern as a potential loophole for these standards
12 and to jointly recommend with the manufacturers some
13 proposed changes to the regulatorily defined exempt
14 products. So, happy to have those discussions.

15

16 MR. BROOKMAN: Thanks, Tim. We can see the
17 two comment boxes. Comments to in response to
18 these: the issue of nameplates and precisely
19 extending the definition to encompass any activity
20 that entails the removal of material underground.
21 Steve Rosenstock.

22

23 MR. ROSENSTOCK: Steve Rosenstock, EEI. So
24 does this mean, in Issue 5, that DOE would regulate
25 these nameplates as part of the efficiency standard?

1

2 MR. COFFEY: The proposal is to expand the
3 requirement that such transformers that are for
4 these purposes indicate that on their nameplates.
5 So, that would be part of the regulation, yes.

6

7 MR. ROSENSTOCK: So DOE would have to
8 enforce that as part of their regulations?

9

10 MR. COFFEY: Just as any other regulation,
11 sure.

12 MR. BROOKMAN: I'm not seeing anybody
13 wanting to comment on those. Nothing to be said.
14 Phil.

15 MR. HOPKINSON: Phil Hopkinson, HVOLT,
16 Inc. I'm making the presumption that if a
17 transformer is a rectifier transformer and perhaps a
18 three-phase, and perhaps it's a delta primary with a
19 delta and a Y low voltage or some multiple low
20 voltages, that it would be pretty obvious just by
21 the way it's configured that it's for rectifier
22 applications. But are you suggesting that the word
23 rectifier needs to be added to the nameplate as
24 well? It just adds more congestion.

25 MR. COFFEY: So that's helpful feedback.

1 If there's not room on the nameplates, you could
2 comment on that.

3 MR. BROOKMAN: Okay. So with no
4 additional comments, we're going to move on.

5 MR. COFFEY: DOE published a test
6 procedure for distribution transformers in 2006,
7 which is used to assess compliance today. DOE is
8 considering making updates to that test procedure
9 and has requested comment on a number of test
10 procedure-related issues. Some of the issues that
11 have been raised with respect to test procedure.
12 Currently DOE requires that transformers be tested
13 in the winding configuration that produces the
14 greatest losses, but it has received comment that
15 this may significantly disadvantage certain types of
16 transformers. Allowing compliance in any
17 configuration, however, allows transformers to be
18 operated in a mode less efficient than that in which
19 they comply.

20 DOE seeks comment on winding
21 configurations as they relate to energy efficiency,
22 data on how often transformers may be operated in
23 each configuration, and on characteristic efficiency
24 differences between the two configurations, two or
25 more configurations.

1 Also, DOE requests comment on its proposal
2 to require compliance at only KVA ratings that
3 correspond to passive cooling in cases of units with
4 more than one KVA rating.

5 Okay. We'll move on.

6 MR. BROOKMAN: Hang on, one moment.

7 MR. ROSENSTOCK: Steve Rosenstock, EEI.
8 It's actually a bigger, kind of a general question.
9 If you're talking about - you're saying update the
10 test procedures. Is there a separate rulemaking
11 going on for updating these test procedures, because
12 I thought there's supposed to be finalized before a
13 new rule takes effect. Am I - is that -

14 MR. COFFEY: That's right. DOE hasn't
15 published anything yet, but is considering doing so.

16 MR. ROSENSTOCK: Steve Rosenstock, EEI.
17 Is it - but at what stage? Is it - would it be at
18 the preliminary analysis stage, the NOPR stage for
19 the test procedure? Or a final rule stage for the
20 test procedure? The reason I'm asking is because of
21 the timing.

22 MR. COFFEY: Sure. And you're correct to
23 point out that there's a requirement that test
24 procedure must be finalized so many days before the
25 final rule is published. So DOE would have to

1 observe that requirement.

2 MR. ROSENSTOCK: Okay. So - again, Steve
3 Rosenstock, EEI. Is there a schedule for this test
4 procedure update?

5 MR. COFFEY: None that has been publicly
6 announced yet.

7 MR. ROSENSTOCK: Okay.

8 MR. BROOKMAN: Jim Raba.

9 MR. RABA: Right now we're just taking -
10 Jim Raba, DOE - comments from interested parties
11 about the test procedures and could they be amended,
12 could they be upgraded? Should we take a look at
13 them? If it's going to be scheduled, there's time
14 yet to entertain this as a possibility for the
15 future.

16 MR. BROOKMAN: Phil.

17 MR. HOPKINSON: Phil Hopkinson, HVOLT,
18 Inc. As I sit here thinking about the implications
19 of the passive cooling, it's close, but I don't
20 think it quite captures everything, because some
21 transformers will have a 55/65 degrees C rise
22 rating, and there's a different KVA that goes with
23 both ratings. So the question I would have is, does
24 it go to the base rating, which I really think is
25 probably the right answer, or does it go truly to

1 this area that makes it somewhat metaphysical?

2 MR. BROOKMAN: John.

3 MR. CASKEY: John Caskey, NEMA. Two
4 points. One is that we really didn't intend to
5 address all of these issues in the meeting today.
6 We really intend, as NEMA, the organization, to
7 basically submit formal comments by the due date I
8 think is April 10th or something on that order. So,
9 as an industry, will get together and try and
10 address all of these things effectively, then get a
11 written response to them by the April due date.

12 The other point dealing specifically with
13 testing, since NEMA does essentially own the testing
14 standard at this point, we would be happy to work
15 not only as the industry to try and address any
16 concerns that DOE might have and make sure that they
17 are addressed in the next version of that standard,
18 but we'd also be happy to work directly with DOE to
19 make sure that we can - we can get the industry's
20 view on whatever changes that they propose relative
21 to the testing standards, just to make sure they do
22 - they are sort of validated that they will work
23 effectively with the industry.

24 MR. BROOKMAN: Okay. Thank you. You can
25 see the comment boxes there. Additional comments on

1 these two issues? Okay, Brian.

2 MR. COFFEY: With respect to BIL ratings,
3 DOE proposes to maintain the requirement that
4 transformers comply with standards at the BIL rating
5 of the winding configuration that produces the
6 greatest losses. So this is currently what is
7 required today. But DOE requests comment on this
8 proposal. It's worth noting that this is currently
9 only applicable for medium-voltage dry-type units.

10 Another issue raised during negotiations
11 was that of test procedure loading. DOE requests
12 comment on its proposal to maintain current loading
13 values for all types of distribution transformers
14 within its scope, and any data useful in considering
15 the matter.

16 MR. BROOKMAN: So let me say that it's
17 also helpful to comment if you think the Department
18 is going in the right direction. Yes, Greg.

19 MR. COULTER: This is Greg Coulter,
20 Prolec-GE. I guess I'd like to make some general
21 comments on what's been said here. During the
22 negotiated rulemaking there was a lot of discussion
23 about this dual voltage issue, as well as the BIL
24 issue. Andrew mentioned it in his comments, and I
25 think these were important points, as we thought

1 that for dual voltage units either on the high side
2 or the low side, they ought to line up with IEEE
3 standards. While there's not a big difference in
4 losses, it makes it a real complication in the whole
5 process of manufacturing transformers to have a
6 whole different methodology for DOE than exists for
7 the industry, that these ought to line up.

8 The same is true - we discussed the BIL,
9 having different levels for different BILs, and
10 maybe even for dual voltage. That doesn't change.
11 That issue is still on the table, especially as the
12 whole issue of what final efficiency is going to
13 come out is still on the table. It's important to
14 keep these issues on the table and we comment to
15 them. It's tough to comment when you don't know
16 what efficiency you're trying to hit and a few other
17 things, but those issues remain, and we think they
18 ought to be segregated in any final rule that comes
19 out. It would require a change in the testing
20 standard. We wonder if that really could happen,
21 but we think that's the appropriate thing to do.

22 MR. BROOKMAN: Okay. Phil.

23 MR. HOPKINSON: Oh, I'm - Phil Hopkinson,
24 HVOLT, Inc. I would ditto what Greg just suggested,
25 that - and especially I can think in the dual

1 voltage area that sometimes we'll have two ratings
2 that require two different BIL ratings, so the
3 transformer fundamentally gets insulated for the
4 highest BIL. But the testing, I certainly would
5 concur that if we can align that with IEEE's
6 requirements, it makes life much better for those
7 who are manufacturing the transformers.

8 MR. BROOKMAN: Brian, is there anything
9 specific you want to get out of this that you want
10 to ask in addition to the comment boxes?

11 MR. COFFEY: No, I think just to Steve and
12 John's points, these are in here not because the
13 matter needs to be fully discussed or decided today,
14 but because DOE wants to draw attention to these
15 issues so that people can start thinking about them,
16 and submit detailed comments so that if DOE does
17 decide to take some action on the test procedure, it
18 can be as informed as possible.

19 MR. BROOKMAN: Additional comment? Yes,
20 Bob?

21 MR. SAINT: Yes, I'm Bob Saint with
22 National - NRECA. And just an observation. I don't
23 know that much about testing, but just remind folks
24 that the testing procedure has little relationship
25 to the loading - actual loading and operation of the

1 transformers. And they just define the way that we
2 define the percentage, percentage of loading, of
3 efficiency. And if we go and change the testing
4 procedures, keep in mind that it's still not going
5 to reflect the operation of the transformer. We
6 can't, because all transformers are operated
7 differently. But they will change the way that the
8 numbers come out. So to me it will confuse the
9 issue more than help this situation. But, again,
10 I'm not the expert on testing, but it seems like
11 opening up this part of the process with the short
12 time we have is not a productive use of our time.

13 MR. BROOKMAN: Okay.

14 **EPCA Factors, Scope, Definitions,**
15 **Test Procedures, Equipment Classes**

16 MR. COFFEY: So here's the rulemaking
17 diagram again, and we'll start by looking at the
18 market and technology assessment.

19 Here's a mapping of DOE's scope of
20 coverage into equipment classes. These have not
21 changed since the preliminary analysis, by the way.
22 Each transformer type has classes for single and
23 three-phase units, and then medium-voltage dry-type
24 is further subdivided by BIL rating. So, just a
25 reminder.

1 Here's a scope issue. DOE received
2 comment that step-up transformers which are
3 currently not subject to standards may be used as
4 step-down transformers in certain cases to
5 circumvent standards. DOE is not currently
6 proposing to set standards for step-up transformers,
7 but does request comment on whether or not they
8 represent a potential loophole.

9 MR. BROOKMAN: Steve Rosenstock.

10 MR. ROSENSTOCK: Steve Rosenstock, EEI.
11 The second bullet, I'm just - you know, on
12 distribution network, they're using step-down
13 transformers to serve commercial and residential
14 buildings. Can you give me an example of why you
15 would replace a step-down transformer with a step-up
16 transformer? I'm really curious.

17 MR. COFFEY: I think the question is, if
18 they're not subject to standards and significantly
19 cheaper, will a consumer opt to use a step-up
20 running backwards?

21 MR. ROSENSTOCK: Oh, I see.

22 MR. BROOKMAN: Greg, please.

23 MR. COULTER: This is Greg Coulter,
24 Prolec-GE. We do want to make a comment here, and
25 that is we believe this is an issue, step-up

1 transformers being used for step-down transformers.
2 It's easy for a customer to say sell me a step-up
3 transformer. For us, it's the same thing. We don't
4 care. We give you voltages, what it will do, it can
5 go up, it can go down. We believe somehow this
6 needs to be recognized and we think it ought to be
7 recognized the same way that it ought to be
8 recognized for rectifier transformers, test
9 transformers, everything else. It ought to be
10 identified on the transformer. If you're going to
11 exclude step-up transformers, it ought to be
12 specified on the transformer, this is for step-up
13 applications only. We think for rectifier
14 transformers they ought to say for that application
15 only. For test transformers, that application only.
16 For mining transformers, that application only. You
17 can find room on a nameplate someplace. I mean,
18 they don't take a lot of space, but they ought to be
19 either specified that way or not and excluded in the
20 standard.

21 MR. BROOKMAN: Thank you.

22 MR. HOPKINSON: The only area - this is
23 Phil Hopkinson, HVOLT, Inc. The only area that I
24 think that I would have to take my good friend Greg
25 to task on is not that I would disagree that it's a

1 good idea to do it, it's just that if I was the
2 customer buying the transformer and I was smart
3 enough to know that it didn't matter, I could buy
4 this so-called step-up transformer and use it in a
5 step-down application anyway. So my good friend,
6 Greg Coulter, just said he thinks it's happened, and
7 that doesn't surprise me. So that I guess I would
8 look at it more matter-of-factly, which is, you're
9 either going to regulate them or you're not going to
10 regulate them, and the one area, of course, that we
11 think of immediately is wind farm transformers.

12 PARTICIPANT: Those are special. Yup.

13 MR. BROOKMAN: Thanks Phil. So any other
14 thoughts on this subject? Okay.

15 MR. COFFEY: So, moving on, during
16 negotiations DOE received comment that certain types
17 of liquid-immersed transformers may be especially
18 disadvantaged in terms of meeting higher standards.
19 Two of those are network transformers and vault-type
20 transformers, and because these are new, we'll read
21 the proposed definitions.

22 Network transformer is designed for use in
23 a vault for occasional submerged operation in water,
24 and to feed a variable capacity system of
25 interconnected secondaries - secondary windings.

1 And that it's built per the requirements of IEEE
2 C57.12.40.

3 Vault-type transformer is similar but not
4 identical. It's designed for use in a vault and for
5 occasional submerged operation in water, and built
6 per the requirements of IEEE Standard C57.12.23 or
7 IEEE C57.12.24.

8 And so these proposed definitions came
9 directly out of the negotiation process and DOE is
10 now requesting feedback on whether this is
11 appropriate.

12 MR. BROOKMAN: Did the committee reach
13 agreement on this?

14 MR. COFFEY: There was a smaller subset of
15 members that got together and talked about what
16 would be a sensible definition, so this is the
17 result of what they came up with. Yes. Yes.

18 MR. BROOKMAN: Not by the entire
19 committee?

20 MR. COFFEY: I think most of the committee
21 didn't give input to this.

22 MR. BROOKMAN: Greg, please.

23 MR. COULTER: I think I would like to give
24 just a bit more emphasis to this, since I did in my
25 opening comments.

1 MR. BROOKMAN: Were you a part of that
2 working group?

3 MR. COULTER: I personally was not, GE
4 was. It was led by Wes Patterson, my colleague
5 sitting here in the audience, I'm glad to see him
6 here today.

7 MR. BROOKMAN: Let me just - your
8 impression was that the committee, the working
9 group, agreed in principle to what's being described
10 here>

11 MR. PATTERSON: (off microphone) There was
12 unanimous agreement on the working group, but it was
13 also presented to the formal committee and there was
14 no dissension from the formal committee on either of
15 these definitions.

16 MR. BROOKMAN: Okay. That's an important
17 point. That wasn't on the record. He said it was
18 formally presented and there was no decision by the
19 larger committee.

20 MR. PATTERSON: (off microphone) No, I
21 said there was no dissension.

22 MR. BROOKMAN: No dissension, thank you.

23 MR. COULTER: No dissension, and that's my
24 point. I believe what Wes is trying in a backwards
25 way to say is there was agreement on this. We

1 charged that committee to come forth with this. I
2 think even Andrew mentioned in his comments this.
3 There was participants from the advocates as well as
4 the manufacturers and users. We thought this one
5 here was well vetted during the negotiating
6 committee, and general consensus reached.
7 Unfortunately, we did not vote finally in the total
8 committee because we could never reach agreement on
9 other issues to get to this point. But what we
10 would like to do is see that work come forward and
11 be presented again and utilized as the basis for
12 reaching what we thought was basic agreement during
13 the negotiation committee.

14 MR. BROOKMAN: Okay. So what we're doing
15 here today is present some boundaries in what these
16 meetings are supposed to accomplish and seeking
17 consensus is not one of the things we typically do
18 in these kinds of meetings, although - we don't do
19 it here. So, but what we do want is full and
20 complete comment from anybody that wishes to make
21 full and complete comment. So let's hear it - we've
22 heard from you, Greg, thanks for that. Let's hear
23 from others that have comment on this subject.
24 John.

25 MR. PHOUMINH: John Phouminh, PEPCO

1 Holding Inc. I, as the utility company, we
2 certainly are behind this proposal. Basically, in
3 the District of Columbia here, where we - that's our
4 service territory, we use a lot of network
5 transformers, and we are facing with space
6 constraints. Typically the old manhole is four and
7 a half by seven, eight. If we were to follow what
8 the proposal will be, the new transformer would not
9 fit in that manhole, and that requires retrofit of
10 course. The cost of retrofit manhole, pass it on to
11 the rate payer, and the customer will not be happy.

12 MR. BROOKMAN: Okay. So just to confirm,
13 you see the comment box, DOE requests specific
14 comment on the proposal to establish a separate
15 equipment class, so let's here from others on this
16 point. Steve Rosenstock.

17 MR. ROSENSTOCK: Steve Rosenstock, EEI.
18 This was discussed during negotiation meetings and I
19 think this is a very key issue for any utility with
20 urban, especially in urban areas with the networks -
21 with existing networks and vaults. And I think the
22 thought was there should be a carve-out for existing
23 vaults - not new ones, but existing ones, just
24 because, especially because of the size issue.
25 There is just - there's no room. And if the higher

1 efficiency units need more space, or need more area
2 for cooling, et cetera, and ventilation, it's just
3 not there. It won't operate properly. So again, if
4 there was a way to do it in the final rule to have
5 some sort of carve-out for the efficiency levels
6 required for network and vault transformers, we
7 would be in favor of it. Thank you.

8 MR. BROOKMAN: Thank you. Final comments
9 on this? We've got a lot to cover here. Keep
10 going. Andrew.

11 MR. deLASKI: So - we've discussed this
12 and we agree that there should be - this definition
13 makes sense. I don't know where it takes you in
14 terms of efficiency levels. Steve's comment that
15 there's no room, sometimes there's no room. I mean
16 there's often the case that there's no room and we
17 don't know what the incidence of that is. DOE has
18 attempted to characterize this. Table V.18 of the
19 NOPR presents the LCC results for vault
20 transformers, and these LCC results indicate that
21 there's a range of results and if you wanted to
22 minimize the cost for utilities and utilities -
23 those costs then flow through to their customers,
24 would indicate that you would look at TSL - you want
25 to minimize cost, you're going to go to TSL-5. So I

1 think the question is, you know, what level would
2 you choose once you have a separate standard and the
3 notion that it would stay at zero isn't supported by
4 the record.

5 MR. BROOKMAN: Where you started was that
6 conceptually you're okay with this proposal.

7 MR. deLASKI: I'm okay with the definition
8 and I think - I'm not sure if levels will be
9 discussed later. I don't want my support for
10 definition to be - to imply that I support leaving
11 the standard unchanged.

12 MR. BROOKMAN: I understand. Okay. So
13 I'll take final comments on this and then we're
14 moving on. For those of you that are wondering,
15 probably in the next 15 minutes or so, we're going
16 to take a break, okay, if you're getting antsy.

17 MR. COFFEY: So also on scope, DOE
18 received comment that a certain type of low-voltage
19 dry-type transformer, those designed for data
20 centers, may be disadvantaged in terms of meeting
21 higher standards. DOE has proposed to establish a
22 separate equipment class for data center
23 transformers and defines them as the following:

24 It's designed for use in a data center
25 distribution system and has a nameplate identifying

1 the transformer as being for this use only. Has a
2 maximum peak energization or inrush current less
3 than or equal to four times its rated full-load
4 content multiplied by the square root of two as
5 measured under certain conditions, and is
6 manufactured with at least two of the six additional
7 attributes, which are not on the slide, but I'll
8 read them.

- 9 • It's listed by NRTL for K factor rating greater
10 than K4;
- 11 • temperature rise less than 130 Celsius with
12 class 220 insulation, or less than 110 Celsius
13 with class 200 insulation.
- 14 • A secondary winding arrangement that is not
15 delta or Y,
- 16 • copper primary and secondary windings,
- 17 • an electrostatic shield or multiple outputs at
18 the same voltage.
- 19 • A minimum of 50 degrees apart, which when
20 summed together equal a transformer's KVA
21 capacity.

22 So the definition is a little bit
23 cumbersome and not wonderfully lent to be fitting on
24 a slide, but I did want to read it since it was new,

1 and DOE requests comments on the proposal to
2 establish a separate equipment class for data center
3 transformers and on how such transformers might be
4 defined.

5 MR. BROOKMAN: Phil.

6 MR. HOPKINSON: Phil Hopkinson, HVOLT,
7 Inc. I applaud the concept of having a data center
8 transformer. The concept of the inrush current held
9 to four times rating is not accurate, and what
10 really needs to be - the first half-cycle is likely
11 to be in the order of 15 times rated current, so
12 that you would not be able to achieve that. But if
13 it's measured at a 1/10th second point, and sometimes
14 these are, then perhaps that can be achieved.

15 MR. BROOKMAN: Okay. Other comments on
16 the class thing. Steve Rosenstock.

17 MR. ROSENSTOCK: Steve Rosenstock, EEI.
18 Actually, kind of a bigger issue. In terms of a
19 separate equipment class, again, maybe I didn't read
20 that section, does that - I'm neutral on it, you
21 know, if there's a need for it, then by all means,
22 but the issue at this stage is, I don't know were
23 there separate efficiency levels in the NOPR for
24 these products? If the answer is no, we have an
25 equipment class that still has to meet the standards

1 that have been set for all the other low-voltage
2 dry-type transformers. If yes, then people need an
3 opportunity to see what those proposed efficiency
4 levels would be.

5 MR. COFFEY: So there are none proposed
6 right now. This is sort of a low-voltage dry-type
7 analog of the network and vaults for liquids, where
8 the committee said, hey, these certain types of
9 transformers may be especially disadvantaged, let's
10 get a group together and come up with the
11 definition, and then request comments on the
12 appropriateness of that, and how best to treat
13 transformers. So we're hoping that those that have
14 knowledge and opinions on the subject will be able
15 to submit some comments to help DOE reach a
16 decision.

17 MR. BROOKMAN: Andrew deLaski.

18 MR. deLASKI: Just to follow on Steve's
19 comments. I mean it is hard to disentangle this
20 question of these definitions and the levels. We
21 discussed these definitions in the context of the
22 negotiation. I think many of us were thinking that
23 the proposal and the final standards may ultimately
24 be higher than what are already contained in the
25 proposal. And the definition may become unnecessary

1 if the proposal ends up being as modest as the
2 initial - the final ends up being as modest as the
3 initial proposal. If we go to higher levels, such
4 as we've recommended, then I think some of these
5 definitions become necessary to test for the data
6 centers and the vaults.

7 MR. BROOKMAN: Okay. Thank you. Yes,
8 John.

9 MR. CASKEY: John Caskey, NEMA. I think
10 actually we're missing a significant point here,
11 both I think in issue nine as well as in issue ten.
12 You're asking for comment specifically how such
13 transformers might be defined. I think the group
14 working on the network and vault transformers did a
15 good job of defining what they are as well as here,
16 what's for data centers. But the thing that's not
17 asked for, which I think is pretty critical, is how
18 should they be treated relative to the proposed
19 energy efficiency rating. So it's both the
20 definition and the treatment in terms of energy
21 efficiency ratings.

22 MR. BROOKMAN: Is that covered elsewhere?

23 MR. COFFEY: No, I think that that
24 information, any opinions, or data on how these
25 transformers may be specifically affected would

1 absolutely be helpful to DOE.

2 MR. BROOKMAN: Thank you, John.

3 Okay. Let's keep going.

4 MR. COFFEY: DOE also received comment
5 that pole- and pad-mounted transformers, and a
6 couple of folks in the room today have brought this
7 up, may face different incremental cost behavior as
8 efficiencies rise. Although not currently proposing
9 to establish separate equipment classes for pole-
10 and pad-mounted units, DOE does request comment on
11 whether those would be warranted.

12 MR. BROOKMAN: Yes, please, John.

13 MR. PHOUMINH: John Phouminh, PEPCO
14 Holding Inc. PHI supports the proposal to separate
15 pole-mount versus pad-mount transformers. We have a
16 situation where pole-mount is too big, especially
17 the bigger size 333, 500 KVA. It's just like a size
18 of a Volkswagen on top of a pole, and that is not
19 pleased with the customers, and we have to go a
20 different route, which is more expensive, and of
21 course, that cost being passed on to the customers.
22 PHI supports the issue number 11. I will write it
23 up to be sent to the DOE.

24 MR. BROOKMAN: Thank you. Additional
25 comments on pole versus pad. Bruce.

1 MR. HIRSCH: Bruce Hirsh, Baltimore Gas
2 and Electric. I'd like to reiterate that too, that
3 the conditions under which we've got to mount pole-
4 mount transformers compared to pad-mounts are a lot
5 different, and that affects - the efficiency of the
6 transformer affects the size and the weights, and
7 the size and the weights when you've got to hang it
8 on a wood pole becomes a major problem for the
9 utility industry and major cost to change out. And
10 so I think that falls right in line with some of the
11 other discussions that we've had. Andrew's pointed
12 out a lot of times we don't want to hold up a whole
13 class because of a certain grouping, and I think by
14 separating them out, we could handle each class
15 better that way. So we support it too.

16 MR. BROOKMAN: Okay. Any additional
17 comments. Andrew.

18 MR. deLASKI: So we certainly would be
19 interested in seeing, as I said in my opening
20 remarks, trial levels that reflect these classes.
21 Now ultimately whether you - whether the analysis
22 would support setting different standards is, I
23 think, again a separate question. It has to be
24 looked based on analysis, and we can't conclude that
25 until we see the separate analysis. And

1 fortunately, DOE does have this analysis because
2 they have done pads and poles separately in the
3 analysis, and they set a standard which seems to be
4 somehow an averaging of the two. So the proposed
5 standard, for example, the design line 1, is a 3.3
6 percent reduction in losses, whereas the EL-1, the
7 level that many stakeholders supported, was an 8.7
8 percent reduction in losses for that transformer.
9 So I think getting to analysis that specifically
10 addresses - or basing the standard on the analysis
11 which has been done, I think makes totally good
12 sense, and I think LBL and the Navigant team did a
13 good job of coming up with analyses for - taking
14 into account full cost, and that was something that
15 was vetted, I think, pretty thoroughly during the
16 negotiation, and that basing - coming up with
17 appropriate levels for poles and pads would make
18 good sense. And it's also - I think one thing that
19 I've noticed that you know a pole versus a pad, and
20 you're not going to put a pad-mount transformer on a
21 pole, so I don't see a loophole problem here in
22 defining these things and creating those classes
23 should be well within the scope of what can be
24 accomplished in the final rule.

25 MR. BROOKMAN: Okay. Thank you.

1 Additional comments on pole versus pad? I think
2 maybe we should take a break at this point. The
3 engineering analysis section has got a lot of
4 content and may take a little bit of time.

5 Looking ahead for the rest of the day, I
6 figure - it's now almost - we're going to return
7 here at five minutes to 11 to resume. Probably,
8 when we return we'll continue working at least to a
9 late lunch, perhaps 12:30 or 12:45 or so, see how
10 far we can get before we start to crater, and then
11 we'll see how far we get, but there's a lot of
12 content yet to be covered here, so I'm thinking
13 we're probably going to not reach the original end
14 time as stated in the agenda, and no one wants to
15 truncate your opportunity for comment.

16 So those of you that are not familiar with
17 the Forrestal Building? You need to wear this, it
18 needs to be visible above your waist. There are
19 rest rooms on both ends of the hall. There's a
20 coffee shop down on the ground floor that's G,
21 ground floor, just below us. So go to the elevator
22 banks, go down and get it. Please go quickly, 15
23 minutes will fly by and they're not very efficient
24 down there at times, and we will resume at 10:55.

25 And let me - this is a good start on the

1 day, we're getting some really good comment here.

2 We'll see you back here at 10:55.

3 (Whereupon, at 10:40 a.m., the meeting was
4 recessed for a 15-minute period.)

5 MR. BROOKMAN: Okay. Let's resume. Many
6 of you have received a photocopy of the business
7 cards of everybody who's attending here today.
8 That's available, in the event you didn't get hold
9 of one, Brenda Edwards has them, and she's handing
10 them out, so that will be a copy of who all's here.

11 We left off with the engineering analysis,
12 that's where we're going to resume, and back to
13 Brian Coffey. Let's start folks. Okay, Brian.

14 **Engineering Analysis**

15 MR. COFFEY: Yes, thank you. So this
16 brings us to the engineering analysis wherein DOE
17 analyzes the cost efficiency behavior of different
18 types of transformers. Here are the liquid-immersed
19 equipment classes one and two. I mentioned liquid-
20 immersed BIL ratings earlier and DOE is requesting
21 comment on the possibility of establishing equipment
22 classes by BIL rating for liquid-immersed as it
23 currently does for medium-voltage dry-type units,
24 and if so, on an appropriate methodology for doing
25 so.

1 MR. BROOKMAN: So you can see the classes
2 listed there. Comments on this method of rating and
3 also the methodology? Phil.

4 MR. HOPKINSON: Thank you. Phil
5 Hopkinson, HVOLT, Inc. I think that - a couple of
6 thoughts. One of them is that there is less of an
7 impact for BIL in liquid-filled than there is in
8 dry-type only because it takes a lot more separation
9 between the windings to achieve a 125 BIL or 150 KV
10 BIL in dry-types than it does to move up in liquid-
11 filleds from 95 to 125 to 150. So, depending on how
12 far the efficiency gets pushed, it may be an issue.
13 But if it's a minor impact, then maybe not so
14 important.

15 MR. BROOKMAN: Okay. Comments related to
16 using BIL ratings as the differentiator? No
17 additional comments on this. Okay.

18 MR. COFFEY: During the negotiation
19 process, stakeholders discussed the appropriateness
20 of certain design option combinations for certain
21 design lines. As a result, DOE removed step-lap
22 mitering as a core construction method for design
23 line six which represents small single-phase low-
24 voltage dry-type units. It also added mitering cost
25 for ordinary full mitering and for step-lap mitering

1 to better reflect the added cost of manufacturing
2 transformers in this way. Finally, DOE received
3 comment that few, if any, transformers are built in
4 the United States using ZDMH steel, and as a result,
5 DOE removed ZDMH from consideration in the base
6 case.

7 Here's a table of - the first table of
8 materials prices DOE uses in its analysis. I would
9 point here that the economic results, so life-cycle
10 cost, payback period, national impacts are based on
11 an equal rating of the 2010 and 2011 materials price
12 cases.

13 So I won't linger here for too long. You
14 all have the prices. Here's the second table. And
15 DOE requests comment on these as they are in
16 continuous fluctuation.

17 MR. BROOKMAN: Yes, please, Ray.

18 MR. POLINSKI: Ray Polinski, ATI-
19 Allegheny. I think it's clearly on the record. You
20 know, Brian, there was a lot of discussion about the
21 M3 price for 2011 during our meetings, and it was
22 clearly incorrect or whatever in 2011, so I just
23 want to reiterate that. I think we actually - the
24 transformer producers kind of did a little poll, the
25 prices that they were paying, and the M3 price was

1 very important price in the analysis. It was
2 understated in 2011.

3 MR. BROOKMAN: That's in the record.
4 Okay. Thank you. Steve Rosenstock.

5 MR. ROSENSTOCK: Steve Rosenstock. A
6 couple things. At one point there was data shown,
7 especially for transformers, I don't know about
8 materials, showing just the fluctuations. There was
9 2006, 2008 and 2010, just kind of showing the wide
10 range of what was happening, especially on the
11 commodities market. And then later on in
12 negotiations, it was just, oh, we're going to - now
13 we want to use 2011 prices for the analysis. I
14 never really got a clear explanation about why DOE
15 had to use 2011 prices and I did look through the
16 slides, it's not showing up, and I asked the
17 question, well, to be analytically consistent, why
18 aren't you using 2011 power prices? I never
19 received an answer for that either. It was like
20 we're going to take A of 2011, and some 2008 data,
21 and we're just going to extrapolate, then use the
22 exact, most recent power prices which based on EIA,
23 especially at the wholesale level which has an
24 impact on transformer cost savings, were
25 significantly lower in 2011 than 2010, the order of

1 18 percent in the Pacific Northwest, and in other
2 parts of the country, let me see, they show the
3 percentage - EIA shows the percentage here, at least
4 a good 10 or 15 percent. They don't show the exact
5 numbers here, unfortunately. Much, much lower than
6 AEO 2011 would have indicated. So it's kind of a
7 bigger picture, but it seemed like there was a rush
8 to say we have to use 2011 prices, even though you
9 had this range from 2006 to 2010 on the materials
10 side, which affects the transformers, but in terms
11 of on the cost savings side, well, we'll just use
12 the old projections and we're not going to be as
13 critical to use the 2011 power prices. That's
14 analytically inconsistent and I never received an
15 answer for it. I hope to receive an answer for it
16 at some point, but again, just very analytically
17 inconsistent to say we're going to try to use the
18 most recent prices for one part of the analysis,
19 we're not going to worry about it for another part
20 of the analysis. Thank you.

21 MR. BROOKMAN: Mike Rivest.

22 MR. RIVEST: Mike Rivest. I'm not going
23 to speak for the Department, but I had a similar
24 thought process going on that you just had. One
25 thing that I thought about, which might make the

1 inconsistency a little less inconsistent, is that in
2 the case of the AEO, we're talking about an update
3 to a forecast, I believe. Whereas here we're using
4 existing prices as a proxy for a future price. And
5 so this 2011 price is the price of steel in 2011.
6 It's no one's forecast. It's no one's 2011 forecast
7 for 2015 of the price of steel. So that's the
8 difference, and by averaging two years, maybe it's a
9 more robust range of pricing, if you will, of what
10 might happen in 2011. And it is consistent to what
11 was done in the previous rulemaking where it was the
12 averaging of five years.

13 MR. ROSENSTOCK: Steve Rosenstock, EEI. I
14 appreciate that and have just - it seemed like I
15 thought they were going to use an averaging of five
16 years, 2006, 2008, 2010, and the impression that I
17 got, and if I was wrong, please, please correct me
18 and please forgive me as well, that no, we're going
19 to try to use the 2011 prices as the starting point
20 and then extrapolate, and then use that for the
21 future projections, the future analysis.

22 MR. RIVEST: I remember hearing that. I
23 didn't say that, though, but I remember hearing
24 that.

25 MR. ROSENSTOCK: So, again, and my point

1 is, if you're so intent on using 2011 material
2 prices then extrapolating it, forecasting, why not
3 use the 2011 power prices? That's my - that was my
4 question, just in terms of just an analytical
5 consistency, because there was significant drop in
6 power prices in many parts of the country that AEO
7 2011 did not pick up, so it just seems rather
8 inconsistent to use one but not the other.

9 MR. BROOKMAN: Let's see if we have any
10 additional comment. Mike, you have anything
11 additional to say.

12 MR. RIVEST: Well, maybe the misstatement
13 was the previous statement about consistency being
14 using 2011 prices of steel being consistent with
15 using AEO 2011 forecasts for 2015, maybe that was
16 the inconsistency, and not what we did this time.

17 MR. BROOKMAN: Katie Coughlin.

18 MR. RIVEST: And why we didn't use five-
19 year steel prices, I just don't think we had five
20 years of steel prices.

21 MR. BROOKMAN: Katie Coughlin has joined
22 us here. Go ahead.

23 MS. COUGHLIN: Yes, this is Katie
24 Coughlin, Lawrence Berkeley Lab. I want to clarify
25 something. The reason why we need - okay, so the

1 LCC, the purchase price increase is an up-front cost
2 that occurs in the sort of first year of the LCC.
3 And then the payback occurs over the forecast
4 period, so the LCC requires essentially an
5 evaluation of the cost of the unit in one year, and
6 then a forecast of energy prices over up to 30 to 40
7 years. That's why we need to use AEO forecast data
8 to get the LCC. And as far as updating the base
9 year electricity prices, analytically, it actually
10 doesn't make any difference because everything has
11 to be scaled to the current version of the AEO in
12 order to give us a consistent data set across all of
13 the years of the analysis period, and all of the
14 regions that we're using in the analysis, sort of
15 spatial breakdown. But there's no analytical
16 inconsistency because the purchase price is just a
17 one year increase, it's not projected over time.

18 MR. BROOKMAN: Steve.

19 MR. ROSENSTOCK: Steve Rosenstock, EEI.

20 Well, that purchase price, though, that will have an
21 impact on incremental cost which has an impact on
22 the life-cycle cost analysis, so if it changes
23 dramatically as some of these numbers do between
24 2010 and 2011, that could have a significant impact
25 on the incremental cost which spills over into the

1 savings and the economic paybacks, as well as the
2 net present values. And in terms of some of the
3 power prices, I understand that you're projecting
4 over 40 years, but depending on where you start,
5 that could have a huge difference. If you're
6 starting at a level that's 20 percent higher at the
7 beginning, that's going to have an impact over the
8 30 years if you're using the same projection
9 pattern.

10 MR. BROOKMAN: Okay, Steve.

11 MR. ROSENSTOCK: Thank you.

12 MR. BROOKMAN: Thank you. Greg - oh, Bob.

13 MR. SAINT: Bob Saint, NRECA. So, as a
14 result of all these numbers we're using, we're using
15 steel prices 2011, which are artificially low or
16 historically low because the demand for transformers
17 is down because of the economy. And in the last
18 negotiations in 2007, we were all concerned about
19 the cost of steel is going crazy, availability is
20 still six months, eight months, a year out - that's
21 not the case in 2011. Cost of steel is down,
22 availability is up, so yeah, we're using the 2000
23 data for steel costs, so we use - on the other hand,
24 we're using artificially high prices for the cost of
25 power, sometimes two, three times more than we're

1 paying currently for wholesale power. So as a
2 result, the analysis shows the total owning cost
3 because of the cost of materials is low, the cost of
4 power is high, it shows a total owning cost, more
5 than we think it should be. So, these cost
6 analysis, total owning cost, the payback periods -
7 we're not comfortable with the analysis, so we're
8 taking those numbers with a grain of salt, because
9 of the method that were used for the cost of
10 materials, lower than we think they should be, cost
11 of power, higher than we think they should be, so
12 the results are - we're not comfortable with those
13 results.

14 MR. BROOKMAN: This is the kind of
15 analysis - your analysis, everyone's analysis that
16 the Department would really like in great detail.
17 So I'm hoping everybody understands that at the
18 table. Your opportunity to set the record straight.

19 MR. SAINT: And we have been working with
20 the consultants, and we will continue to work with
21 the consultants.

22 MR. BROOKMAN: Okay. Great. Which is not
23 to diminish the opportunity to comment as fully as
24 possible right now. Any additional comments on this
25 subject before we move on? Okay. Okay.

1 MR. COFFEY: So now just to talk quickly
2 about scaling, DOE set standards for all KVAs by
3 analyzing 14 design lines and then scaling the
4 results from those to all KVA ratings within its
5 scope of coverage. Previously, DOE had scaled
6 losses by KVA using an exponent of .75 which is a
7 theoretically derived result and which it had heard,
8 was generally good. DOE had received a number of
9 comments, however, that depending on transformer
10 type, the true behavior can deviate slightly from
11 .75, and that fixing the scaling exponent may result
12 in a standard that is far more stringent at certain
13 KVA ratings than others. And so for the NOPR, DOE
14 allowed the exponent to float to align with the
15 selected ELs.

16 So here are the scaling exponents used for
17 the ten equipment classes. They range from, I
18 guess, a low of .67 to a high of .79, so not
19 radically different, but it's a slight adjustment
20 that we wanted to note.

21 MR. BROOKMAN: Greg.

22 MR. COULTER: This is Greg Coulter,
23 Prolec-GE. Brian, the scaling exponent, we
24 understand why you're using it. It's a crude
25 methodology to come across for great variations in

1 KVA. Experience in transformer design says it only
2 works well across short distances of KVA because you
3 get into many other design concerns. For instance,
4 high KVA, three-phase pad have to meet a 5.75
5 percent impedance. You don't get a smooth scaling
6 like this across the higher KVAs. You may not get a
7 smooth scaling across even single-phase poles or
8 single-phase pads. This works across a small range
9 of KVAs, across small range, those differences don't
10 mean much either. So, we think it's important to
11 look across the bigger, broader KVA. You might be
12 able to use the high KVA three-phase, you might be
13 able to find a scaling factor that works across all
14 the high KVAs, and another one that works across the
15 low KVAs. We're concerned that you even use a
16 technical way to come up with this versus a curved
17 fit after the fact to meet your numbers. It wasn't
18 clear to me from your explanation. This may not be
19 the best way. That said, our company generally uses
20 stuff between .75 and .8, so I can't argue too much
21 with the numbers, we just think it doesn't work
22 across big KVAs swings.

23 MR. BROOKMAN: Okay. Thank you.
24 Additional comments on these scaling exponents?
25 Yes, Phil.

1 MR. HOPKINSON: Phil Hopkinson, HVOLT.
2 I'm not saying it's wrong, but I am very curious
3 that the dry-types seem to be the ones that have
4 particularly low factors - so the .67, I really
5 don't know what drives that. Having been a veteran
6 of the use of the three-quarter power and even for
7 dry-types, so I don't know. It may be correct, I
8 just haven't looked carefully enough at it.

9 MR. COFFEY: I think that comes mostly
10 from the fact that the committee - so in medium-
11 voltage dry, the committee reached a consensus, and
12 the consensus that it reached had a lower EL for the
13 lower KVA models than for the higher ones, and so
14 the scaling behavior that reflects that decision is
15 going to be a little bit lower than .75.

16 MR. BROOKMAN: Thanks, Brian.

17 MR. COFFEY: And so here are the formal
18 request for comment for what we just talked about,
19 and also for the fact that in addition to scaling
20 within an equipment class, DOE is faced with
21 determining how single and three-phase transformers
22 - single and three-phase equipment class of the same
23 transformer type rather, should be related. And so
24 the request for comment is on how best to scale
25 across phase counts for each transformer type and

1 how standards for either single or three-phase
2 transformers may be derived from the other type.
3 And the second comment box is on the previous slide,
4 on the scaling exponents.

5 MR. BROOKMAN: Perhaps we've covered 14.
6 What about 13? Phil.

7 MR. HOPKINSON: Phil Hopkinson, HVOLT. I
8 think really the only way that you'll truly know
9 what the answer is, is to request a whole lot more
10 data and then curve-fit it, and then you'll know,
11 but I think that you don't have really time to do
12 it, so at this point we really cannot truly refine
13 anything, I think, logically.

14 MR. BROOKMAN: Greg.

15 MR. COULTER: Greg Coulter, Prolec-GE. I'm
16 not positive there's any reason to scale single-
17 phase to three-phase. Scale them separately. There
18 is no good single- to three-phase scale. Just don't
19 bother with it.

20 MR. BROOKMAN: 'Cause there's so much
21 variation?

22 MR. COULTER: Exactly.

23 MR. BROOKMAN: Additional comments on how
24 you would handle single, two-, three-phase? Okay.

25 MR. COFFEY: So there's some additional

1 engineering design constraints that manufacturers
2 face. I'll read these comment boxes.

3 DOE request comment on the current and
4 future availabilities of high grade steels,
5 particularly amorphous and mechanically scribed
6 steels in the United States.

7 Issue 20, DOE requests comment on its
8 steel supply availability analysis presented in
9 Appendix 3A of the technical support document.

10 MR. BROOKMAN: Ray.

11 MR. POLINSKI: Ray Polinski, ATI-
12 Allegheny. Once again, Brian, I think it was agreed
13 by the entire committee that mechanically scribed
14 material was of very limited availability. Capacity
15 to produce, import producers, and nothing's
16 available in the United States, so that product, I
17 think, was not going to be considered in the
18 analysis from my recollection.

19 MR. BROOKMAN: Thank you. Please say
20 your name.

21 MR. RYAN: Paul Ryan, Hitachi Metglas.
22 We, Metglas, made it a letter on record to DOE
23 regarding issue 18. So I just want to reconfirm that
24 that's on the record. It wasn't included in the
25 packet, but there is a letter to DOE.

1 MR. BROOKMAN: Do you want to summarize
2 that now or -

3 MR RYAN: Well, essentially it says that
4 there is enough capacity to support the marketplace
5 and depending on where the final rule ends, we would
6 accommodate the marketplace in capacity. Those
7 comments were made during the proceedings as well.

8 MR. BROOKMAN: Ami Grace-Tardy.

9 MS. GRACE-TARDY: Yes, we do have that
10 letter.

11 MR. RYAN: Okay. Thank you.

12 MS. GRACE-TARDY: It will be included in
13 the docket.

14 MR. RYAN: Thank you.

15 MR. BROOKMAN: Thank you, Ami. Any
16 additional comment on these issues related to the
17 availability and also price, right -

18 MR. COFFEY: Availability.

19 MR. BROOKMAN: Please, Andrew.

20 MR. deLASKI: I'm having a little trouble
21 with disaggregating the conversation with respect to
22 low-voltage dries and liquid-immersed. So these
23 questions are with respect to both equipment super
24 classes?

25 MR. COFFEY: Yes, they're general I think.

1 The high grade steels have been more of a concern in
2 the liquid-immersed phase than the low-voltage dry.

3 MR. deLASKI: I just think that one of the
4 things that we have to keep in mind in considering
5 the difference of the two is that the low-voltage
6 dries, as the Department's analysis shows, 75
7 percent of the volume is manufactured in Mexico.
8 And some of the constraints on core materials are
9 not the same for those transformers are they are for
10 parts that are primarily manufactured in the United
11 States, so let's be careful that we consider those
12 low-voltage dry market and liquid-immersed markets
13 should be considered separately.

14 MR. BROOKMAN: Okay. Other comments on
15 these two issue boxes? They're referring to
16 Appendix 3A if you want to take a peek there. Okay.

17 MR. COFFEY: And here's one last
18 constraint, and this may have been partially if not
19 wholly addressed by the discussion on network and
20 vault transformers and on separating pads and poles
21 earlier, but as a catch-all, DOE requests comment on
22 particular applications in which transformer size
23 and weight are likely to be a constraint, and any
24 data that may be used to characterize the problem.

25 MR. BROOKMAN: We've had a little bit of

1 comment on this already this morning. Steve
2 Rosenstock.

3 MR. ROSENSTOCK: Steve Rosenstock, EEI.
4 Just as a reiteration that member companies of all
5 trade associations and the Association [...] have
6 submitted data to DOE on this issue and providing
7 real world examples of the actual impacts and costs,
8 and hopefully that information that we submitted
9 will be used in your - in the final rulemaking.
10 Thank you.

11 MR. BROOKMAN: Thank you. Other comments?
12 No additional comments. Okay.

13 MR. COFFEY: This brings us to markups and
14 energy use and now I'll invite up Chris Bolduc - or
15 Katie Coughlin, actually, I'm sorry.

16 **Markups, Loading, Distribution Channels**

17 MS. COUGHLIN: I'm Katie Coughlin,
18 Lawrence Berkeley Lab. It's good to see you all
19 again. So I'm going to review very briefly the
20 markets and energy use, life-cycle cost, and
21 shipments and NIA, and we'll be recapping only those
22 subjects where the Department has already received
23 comments which were extensively discussed during the
24 stakeholder - the negotiation, but you're of course
25 free to comment on any aspect of the analysis, but I

1 will be highlighting a few issues.

2 So to begin with, the markups and loading
3 - for the loading analysis, the issue here is always
4 getting more data, so we have two separate load
5 models, one for the liquid-immersed and one for the
6 dry-type. The liquid-immersed we were trying to do
7 two things. We were trying to capture the
8 correlation between variable hourly prices and
9 variable loads on the transformer, and that was done
10 with a two-stage model. We used Form 714 data to
11 capture the shape of the price-load curve. Price as
12 a function of system load, and then we used a
13 statistical model based on hourly meter data to try
14 to represent the statistical relationship between
15 the transformer hourly load and the system hourly
16 load.

17 We did receive some data from the
18 stakeholders. Overall our findings of the data was
19 consistent with what we have, the biggest drawback
20 is that the transformer data that we received is
21 almost exclusively for low capacity, so units with
22 KVA of 50 or below. So it would be somewhat
23 difficult to verify or to extrapolate that to higher
24 capacities. For dry-type transformers we used CBECS
25 building data to estimate load-factors shapes month

1 by month for the transformer population, and again,
2 we used hourly metered building data to develop a
3 model that relates the monthly load factor to the
4 parameters that determine transformer loading.

5 So DOE seeks comment on any additional
6 sources of distribution transformer load data that
7 could be used to validate the energy use and load
8 characterization analysis. And as I mentioned, we
9 are particularly in need of data for higher capacity
10 and three-phase units.

11 MR. BROOKMAN: Additional data sources.
12 Phil.

13 MR. HOPKINSON: Katie, very interesting.
14 One source of data that frankly I have, when I was
15 working for Square D, we looked at all of the low-
16 voltage dry-type transformers in the DOE building
17 right here, the Forrestal building, and that data is
18 public record. Be glad to send it to you if you
19 don't have that, but that was the basis of coming up
20 with, for example, with the 35 percent equivalent
21 load for low-voltage dries.

22 MR. BROOKMAN: Okay. Thank you. So this
23 is always a quest, trying to find this data. Any
24 additional sources?

25 MS. COUGHLIN: So the next issue is the

1 markups. So these are the markups that occur after
2 the unit leaves the manufacturer in the distribution
3 channel. So we have again, since we have two
4 broadly different types of products, we have two
5 different distribution channels. For the liquid-
6 immersed transformers, the Department is currently
7 using a model in which it's assumed that the
8 majority of transformers are purchased directly from
9 the manufacturer, so that there is no distributor
10 markup. And to estimate the number of purchasers
11 who purchase directly, we used data from EIA and
12 essentially we have a cutoff on the size of the
13 utility. For smaller utilities the assumption is
14 that there may be a distributor and therefore there
15 will be a distributor markup. So the - under the
16 current parameters, about 80 percent of liquid-
17 immersed transformers are purchased directly from
18 the manufacturer with no distributor markup. For
19 dry-type transformers, they are primarily purchased
20 and installed by electrical contractors, and so
21 there are a variety of markups that are applied in
22 that distribution channel.

23 So the table shows the two sets of
24 markups, what are the two types of products. In the
25 dry-type the values in parentheses correspond to the

1 low voltage and the other values correspond to the
2 medium voltage. Overall the markups on liquid-
3 immersed is about 1.54 if it's purchased directly
4 from a manufacturer, and 1.61 if it's purchased
5 through a distributor. The markups on dry-types are
6 1.96 for medium voltage, and 1.79 for low voltage.

7 So DOE -

8 MR. BROOKMAN: Steve Rosenstock.

9 MR. ROSENSTOCK: Steve Rosenstock, EEI. I
10 know in other rulemakings you kind of carved out for
11 a commercial product where there's a multi-site or
12 what we call a national account customer and some of
13 them are also not using distributors as well. And
14 there could be a percentage of the units, just like
15 other products, I'd say lighting products or heating
16 or cooling products, where they're also kind of
17 going directly to the manufacturer because they have
18 a multisite account with the manufacturer.

19 MS. COUGHLIN: This is for building
20 operators.

21 MR. ROSENSTOCK: Yeah.

22 MS. COUGHLIN: Yes. Okay.

23 MR. ROSENSTOCK: It has been used in other
24 rulemakings as I recall. Off the top of my head, I
25 can't remember exactly which one, but there might be

1 similar percentages for those type of customers and
2 that might have an impact on some of these as well.
3 Again, I can't remember the exact specific
4 commercial rulemaking, it might have been like -
5 actually it might have been lighting actually, that
6 there was research done by DOE in terms of how many
7 of them were again direct manufacturer sales to
8 them.

9 MS. COUGHLIN: Okay.

10 MR. BROOKMAN: So these kind or markups
11 can be difficult to disclose at times, but comment
12 from anyone surrounding what you see here? Yes,
13 please, Bruce.

14 MR. HIRSCH: Yes, Bruce Hirsch, Baltimore
15 Gas and Electric. As an investor-owned utility who
16 buys a fair amount of transformers a year, I guess I
17 would like to point out that even though we may deal
18 very closely with manufacturers, a lot of time the
19 manufacture have a local rep that takes care of all
20 the issues and problems. So when you say that most
21 are bought directly from the manufacturers, I'm not
22 sure that's completely true. I don't know what the
23 numbers are right now but I'll go back and look at a
24 typical utility, like Baltimore Gas and Electric and
25 see what I can provide to you.

1 MR. BROOKMAN: There's something of an
2 intermediary there.

3 MR. HIRSCH: Right.

4 MR. BROOKMAN: Okay. Yes, Phil.

5 MR. HOPKINSON: Phil Hopkinson, HVOLT.
6 The only question that I have, Katie, is as opposed
7 to the cost of purchasing the transformer, you
8 actually have the cost of installation, and it would
9 imply that you're going to take a transformer out
10 and replace it with another transformer in order to
11 make this comparison, and I wasn't aware that you
12 were actually going to do that kind of work.

13 MS. COUGHLIN: I'm not sure I understand
14 the question.

15 MR. BROOKMAN: I didn't either, Phil.

16 MR. HOPKINSON: Okay. Well, let me try
17 that again. So that if we look at a transformer
18 that's already providing service to a location, and
19 we then consider what it might take to get a new
20 transformer that would be more energy efficient and
21 put it in the same spot, then it would seem to be
22 important to have all of the in and out costs it
23 would take to get the new one functionally doing the
24 work of the old one. But if we're only looking at
25 the two representative new transformers, sold to an

1 end location, then the installation cost wouldn't
2 seem to be important, only the purchase cost. So I
3 was scratching my head as to why you show the cost
4 of installation in this markup. Or am I incorrect?
5 Because you have the installation labor.

6 MR. ROSENSTOCK: Steve Rosenstock, EEI.
7 Even in this situation there's still going to be
8 some sort of extra cost for the actual installation
9 and labor, isn't there?

10 MR. HOPKINSON: Well, there is, but I'm
11 making the presumption that we are not removing a
12 transformer and replacing it with another, but
13 simply we have a new service, and we have a choice
14 of two transformers to go into the service, one of
15 them being more energy efficient than the other. So
16 it wouldn't matter what the installation cost in
17 that particular case was.

18 MS. COUGHLIN: You're right. In the LCC
19 what is compared is the base case which includes
20 installation, and the standards case which includes
21 installation. So we are netting out the base case
22 installation cost.

23 MR. HOPKINSON: I see.

24 MS. COUGHLIN: So this is just a record of
25 the way the costs have been tabulated.

1 MR. HOPKINSON: Okay. Thank you.

2 MR. ROSENSTOCK: Steve Rosenstock, EEI.

3 In the analysis, they're assuming that certain
4 percentage is replacement, in their analysis

5

6 MR. HOPKINSON: But you still, even if it
7 was replacement, then it wouldn't - you would still
8 have the in and out cost, whether it was more
9 efficient or not.

10 MR. BROOKMAN: Mike Rivest.

11 MR. RIVEST: Mike Rivest. In some
12 situations, if it's a heavier transformer, I assume
13 that the installation cost actually goes up.

14 MS. COUGHLIN: Yes, so -

15 MR. HOPKINSON: I see.

16 MR. RIVEST: So it doesn't always net out.

17 MR. HOPKINSON: So then you consider it.

18 I understand.

19 MR. BROOKMAN: Okay. Yes, we're moving
20 on.

21 MS. COUGHLIN: Pole replacement. So
22 again, we had a good deal of discussion of this in
23 the negotiations. This issue is specific to design
24 line two which is the only representative unit that
25 is installed on poles, and the issue arises because

1 more efficient transformers can be significantly
2 heavier than the base case unit, and that may
3 necessitate early replacement of the pole. So the
4 current model assumes that the pole will be replaced
5 when either the transformer is 150 pounds or 15
6 percent heavier than the unit that would be chosen
7 in the base case. And we currently cap the pole
8 replacement at 25 percent of the population in the
9 LCC.

10 Replacement costs were developed with
11 reference to RS Means construction data that
12 includes costs of removing pole, and labor, and the
13 amount of labor will depend on the size of the
14 transformer, whether you need one-, two-, three-man
15 crews, et cetera. So we have a broad range of
16 costs, bounded by about \$2-6,000. And we also use a
17 - since the poles typically have a lifetime of on
18 the order of 30 to 40 years, we actually have what
19 is essentially an early replacement cost associated
20 with the poles. So we don't - we assume that the
21 pole has already been in the field for some number
22 of years before it's replaced.

23 So with this methodology, DOE continues to
24 seek comment on any data or advice that could
25 improve the implementation of this methodology.

1 MR. BROOKMAN: Steve Rosenstock.

2 MR. ROSENSTOCK: Steve Rosenstock, EEI. I
3 like the methodology, but I remember especially from
4 PEPCO saying it wasn't necessarily the weight
5 increase, it was just the fact if you went, I think
6 the number was over 900 pounds, that even if there
7 wasn't a replacement, there was a whole host of
8 things that they had to do extra because of that
9 weight issue.

10 MR. PHOUMINH: John Phouminh, PEPCO
11 Holding, Inc. In certain service territory of our
12 area which is on ACE [Atlantic City Electric], we
13 have a union contract. If the pole weight is more
14 than 900 pounds - I'm sorry, if the transformer
15 weight is more than 900 pounds, we're required to
16 have at least two-men crew, which is total, four
17 people, as well as the arrow board, the traffic
18 signal. It's not as exactly putting your pole.
19 It's more involved to it. Of course the pole has to
20 be big, and it's not only one pole, it will be two
21 poles stands next to each other and put a ... the
22 rail the size of this table next to it, and that
23 final KVA transformer pole, pole-type transformer is
24 weight about 3,000 pounds, probably give or take.
25 That will be three of them, that's 10,000 pounds.

1 That's a lot of weight.

2 From PHI perspective, we would like to
3 keep it the way it is, especially the larger size of
4 the pole-type transformers, because anything big -
5 it won't be big up there and it will be a sore to
6 the eye and the public will be up in arms against
7 it. Of course, you know, and this is one of the
8 things that we'd like to separate between the pole-
9 type and the pad-mount, we'd like to - we want to
10 propose to DOE to consider that approach.

11 MR. BROOKMAN: Okay. Steve Rosenstock.

12 MR. ROSENSTOCK: And again, another issue
13 that Bruce brought up to me was the fact that,
14 especially in urban areas, it's not necessarily -
15 the pole might not be replaced, but then there's the
16 actual - the collocation of other utility equipment
17 on that pole, whether it's cable or telephone or
18 internet or whatever, that you have to move those
19 services as well. There could be extra cost for
20 that that may or may not be represented in the
21 analysis. So again, I don't know, Bruce, if you
22 have some thoughts about that, but again, it's not a
23 replacement issue, it's simply a pole issue that can
24 have an impact, especially if you're changing the
25 size of the transformer.

1 MR. BROOKMAN: Bruce.

2 MR. HIRSCH: Just to follow up with
3 Steve's. It's not just the weight, but the size
4 also becomes a problem. If we've got to fit it in,
5 especially in a replacement case, to an existing
6 system like Steve said, there's other utilities
7 there, but also we have clearance issues that arise,
8 and that's a safety problem, and that's all covered
9 by the National Electric Safety Code. So all of
10 these things lead to issues and problems that we
11 have in the utility trying to utilize overhead
12 transformers that are heavier and larger. So those
13 are issues, and we've talked about them before, so I
14 suspect you've factored some of this in.

15 MR. BROOKMAN: Other comments on the
16 methodology described here?

17 MR. ROSENSTOCK: I guess my only other
18 comment - sorry, Mr. Brookman - the only other
19 comment is you kind of have it capped at \$6,000 in
20 terms of your distribution, I don't know if that's
21 too low or not. It might be too low, especially for
22 some of the situations you just heard about. Again,
23 I don't have the actual data, but there might be -
24 especially in urban areas, that \$6,000 could be
25 significantly low, especially for the larger

1 transformers.

2 MR. BROOKMAN: So to receive those
3 comments from you in writing, the Department would
4 really appreciate that.

5 MS. COUGHLIN: Let me just comment that
6 that is for design line two, which is I believe 50
7 KVA, and then we scale those costs upward for larger
8 capacity units.

9 **Life Cycle Costs and Payback Period Analysis**

10 Okay, so moving on to life-cycle cost.
11 The Department issue that remains open on this is
12 the number of purchasers of transformers - this is
13 really for liquid-immersed transformers, whether
14 they are evaluators as they have come to be called.
15 So the model of the LCC assumes that some fraction
16 of purchasers evaluate the losses of the transformer
17 and express to the manufacturer a preference for
18 more efficiency. So the no-load losses are valued by
19 a parameter that's called A, and load losses are
20 valued by a parameter referred to as B. And the
21 Department has survey data for A and B values and -
22 so in the model, if a purchaser is an evaluator and
23 A and B values are selected, and then there's the
24 possibility that the purchaser will choose in the
25 base case a high-efficiency unit. And if that's the

1 case, then, this purchaser is essentially unaffected
2 by the standard. So these rates of evaluation will
3 affect the net benefit associated with the trial
4 standard level and the effects are carried through
5 into downstream analyses.

6 So we initially started, and I believe the
7 2005 rule used relatively high rates of evaluation,
8 but based on comment from the negotiation process,
9 we've changed these evaluation rates so that they're
10 in the table below. So for liquid-immersed, the
11 default is the ten percent of purchasers are
12 evaluating, and for the dry type, based on comment,
13 we lowered the number of evaluators. It's not zero,
14 but it's pretty close to zero.

15 So DOE is soliciting any further comment
16 on these evaluation rates.

17 MR. BROOKMAN: Phil.

18 MR. HOPKINSON: Phil Hopkinson, HVOLT.
19 I'm not certain that I understand what you said
20 there, Katie, and so on the default for liquid-
21 immersed, you show ten percent - does that mean ten
22 percent of the purchasers go to those who take the
23 default efficiency, and -

24 MS. COUGHLIN: No, the default refers to
25 the default scenario that's in the tables.

1 MR. HOPKINSON: I see.

2 MS. COUGHLIN: At TSD, and then you have
3 an appendix of sensitivity cases, and there are
4 sensitivities for no evaluators and 100 percent
5 evaluators.

6 MR. HOPKINSON: Okay. I understand.

7 MR. BROOKMAN: Chuck. Please use the
8 microphone.

9 MR. FOSTER: Chuck Foster, EEI. Katie,
10 I'm going to follow up on Phil's question. I just
11 want to make sure I understand this. Is that -
12 looking at design lines one through five, the
13 assumption built into the - into your analysis then
14 is that ten percent of the purchasers actually do an
15 analysis are evaluators.

16 MS. COUGHLIN: That's right.

17 MR. FOSTER: I think that's too low. I
18 think that - I think that that's too low, but we'll
19 submit a comment on it.

20 MR. BROOKMAN: Andrew deLaski.

21 MR. deLASKI: And one thing that came out
22 in the negotiation is that just because you
23 evaluate, you can evaluate and still buy the minimum
24 transformer on the market.

25 MS. COUGHLIN: That is correct. Yes, or

1 you can evaluate and still be below the TSL.

2 MR. deLASKI: Right.

3 MS. COUGHLIN: So this may have not a
4 large impact, especially for the higher proposed
5 trial standard levels, the evaluation rate becomes
6 less and less relevant.

7 MR. deLASKI: Right. Think of utilities
8 that are using [...] equivalents to make their
9 decision, you see them defaulting to whatever is the
10 minimum cost transformer on the market.

11 MS. COUGHLIN: Correct.

12 MR. BROOKMAN: Bruce.

13 MR. HIRSCH: Bruce Hirsh, Baltimore Gas
14 and Electric. I've done some surveys of utilities,
15 so I've got some numbers I can pass on. I think I
16 may have passed them on already to you, but I'll get
17 them back to you. The one point I would make with
18 this, though, was that I think what you're finding
19 is that prior to 1910 more people evaluated than
20 they are now because their evaluations may have come
21 in under the DOE required numbers, so if that's
22 happening, then what happens is they're not
23 necessarily evaluating. Some utilities are still
24 evaluating, but actually buying the DOE numbers
25 because they are higher than some of the evaluations

1 that are coming out, so it's a moving number is what
2 I can say. But I'll get you some numbers that I
3 have.

4 MR. BROOKMAN: Okay. Bob.

5 MR. SAINT: Bob Saint- I was going to say
6 almost the same thing that you were saying Bruce, in
7 that with these higher efficient transformers that
8 we're required to purchase now, I think fewer
9 people, especially the small utilities are
10 evaluating. But that's really a misnomer, because
11 we will encourage everybody to evaluate transformers
12 because the standard is based on 50 percent loading,
13 the testing and loading, and if you use a different
14 A and B factor, you can get a different transformer
15 that is more efficient for the way you load the
16 transformer, and it still may meet the 50 percent
17 loading percentage, but it has a different A and B,
18 no load or load loss. So really encourage folks to
19 evaluate transformers to get the most efficient,
20 most cost-effective transformer that they could.
21 So, ten percent - it's hard to tell how many are
22 evaluating. We do know that we think more folks
23 should be evaluating. But it's really not an easy
24 process, especially for a small company that doesn't
25 have the resources to do the analysis.

1 MR. BROOKMAN: Okay. Final comments.

2 **Shipments, National impact analysis, Refurbishments**

3 MS. COUGHLIN: So for the shipments and
4 national impacts analysis, the issue here is the
5 refurbishments. So first of all, let me make a
6 couple clarifying comments. We distinguish in our
7 language between refurbishments, which is sort of
8 general maintenance that may extend the life of the
9 unit, and a rewind which is where you actually,
10 instead of replacing a unit that's out of service,
11 you take it apart and rebuild it using the old core.
12 And both types of extended - lifetime extending
13 repairs can be modeled in the national impacts
14 analysis. So we don't have a problem with
15 implementing that type of model, but at the moment
16 we don't have any data that gives us the criteria
17 that we need to put into the model.

18 So DOE is seeking comment on what are the
19 economic criteria that a utility purchaser would use
20 in deciding to rewind a transformer rather than
21 purchase a new unit, and the second issue is, what
22 are the - what is the expected lifetime of a rewound
23 unit if it might differ from the lifetime of a new
24 unit? And would there be other types of changes to
25 maintenance practices that could extend transformer

1 lifetimes beyond the lifetime that is currently
2 typical?

3 MR. BROOKMAN: Yes, Please.

4 MR. BERMAN: Robert Berman, Berman
5 Economics. Katie has DOE done any analysis as to
6 what - how many transformers, what percentage of
7 transformers in different categories are rewound now
8 or how transformer rewinds have changed, say between
9 2007 and 2010? Do you have any data?

10 MS. COUGHLIN: We have no data.

11 MR. BERMAN: You have no data at all?

12 MS. COUGHLIN: No.

13 MR. BERMAN: Thank you.

14 MR. BROOKMAN: Phil.

15 MR. HOPKINSON: Phil Hopkinson, HVOLT.
16 What I would say about the rewinds and life is it
17 depends on the rewinder. If we have an equivalent
18 manufacturer to the original manufacturer, who is a
19 high quality transformer producer, I would expect a
20 life comparable to a brand new transformer. On the
21 other hand, if we have one made by a Joe down the
22 street, then I would always be suspect as to what
23 Joe used.

24 MR. BROOKMAN: And would you comment on
25 maintenance practices?

1 MR. HOPKINSON: Maintenance practices, my
2 impression is certainly most small transformers
3 don't get any maintenance other than when the
4 transformer is cleaned up. So let's say we took a
5 transformer in to rewind it, I think in every case,
6 the casing is cleaned up and repainted, and some of
7 those repaint jobs are very nicely done and some of
8 them are very poorly done, and of course if they
9 rust out, then end of life comes before the winding
10 gets done.

11 MR. BROOKMAN: Okay. Mike.

12 MR. HYLAND: On the maintenance one, I was
13 just saying to Bob, I think it's more about
14 protection practices than maintenance practices will
15 affect the life of transformers, such as lightning
16 arrestors and CLFs, things like that. I did hand
17 some information over to you guys, I think I may
18 have sent some in to Chris on the - what's the
19 criteria for a utility decision to rewind. We have
20 municipals that now are rewinding 100 percent. That
21 criteria is past. And they have a great guy down in
22 Tennessee, North Carolina area that does rewinding
23 and -

24 MR. HOPKINSON: Is his name Joe?

25 MR. HYLAND: But it does tie into to

1 Phil's comments that we have other parts of the
2 country that they are afraid to have it rewound by
3 the gentleman who's near them, but it goes back to
4 my original comments in the beginning, you know, a
5 utility, at least municipal, in this economy right
6 now, every dollar means something, and \$50,000 means
7 they get rid of an employee. That's the facts.
8 That's what they're going to do. And they're
9 looking at eking out without passing on any costs,
10 so rewinding has become for them, a market, and
11 every time you add to that market and costs, that
12 market's going to increase and we have an
13 engineering ops meeting where they're starting to
14 share these success stories of refurbishing. It's
15 not something we want to encourage. We would rather
16 them go back to A and B analysis, follow the DOE
17 standards, we're even big proponents of amorphous
18 core, but that's the utility decision. And the most
19 you push upward on cost, that's what it's going to
20 come down to for our members.

21 MR. BROOKMAN: Would you reiterate that -
22 for high quality rewind, the lifespan is about the
23 same?

24 MR. HYLAND: Well, you can't tell until
25 you - I mean it's only become a market in the last

1 few years for some of our members, and if the
2 typical transformer is lasting them in their
3 analysis, 35 years, well, we'll know in about 25
4 years, won't we.

5 (LAUGHTER)

6 MR. BROOKMAN: Bruce.

7 MR. HIRSCH: A comment on the rewind
8 market, at least from my company's point of view is
9 that the more valuable, the more expensive, the
10 larger the transformer is, the more inclined we are
11 to rewind it if we have problems with the windings.
12 And to answer your last question, you know, we feel
13 that a rewound transformer by a reputable company is
14 like buying a new one. So we do that. We don't
15 rewind a lot of distribution transformers, but the
16 maintenance refurbishment standpoint, Katie, our
17 philosophy at BG&E is if the transformer is less
18 than ten years old, comes back in out of the field,
19 we'll go over it. If we can refurbish it and maybe
20 paint it up a little bit, maybe replace a bushing or
21 something, if we had to do that, if we could do that
22 for 20 percent of the cost of a new one, we will do
23 that. We will refurbish the transformer and reuse
24 it. So as the transformer prices from an efficiency
25 standpoint, go up, that range where we would be able

1 to afford to refurbish goes up also. So, you know,
2 I would expect, with no change in philosophy, that
3 we will refurbish some more transformers, maybe not
4 a great number more, but we will refurbish more
5 transformers.

6 MR. BROOKMAN: Bob.

7 MR. SAINT: Yeah, there's very little real
8 evidence on this. We've discussed this quite a lot.
9 However, there's quite a lot of anecdotal evidence
10 and we've discussed this a lot too. And just a
11 couple of comments on those anecdotal things. Today
12 our members, the electric co-ops in the U.S., mostly
13 use RUS [Rural Utilities Service] loan funds to
14 purchase transformers and other equipment. And
15 right now, RUS will not loan money on refurbished
16 transformers. However, we have been getting a lot
17 of pressure from our membership to persuade RUS to
18 change that policy. So if we are successful in
19 persuading RUS to change that policy and, like Mike,
20 personally I'm not as keen on using refurbished
21 transformers as some of our members are, but if they
22 do change their policy, then I think you'll see a
23 lot more people using refurbished transformers for
24 their original purposes.

25 My second point is that we already - we're

1 talking about two things here, we're talking about
2 rewinding the transformer, a company taking down a
3 transformer that has failed, or for some reason
4 sends it to a shop to rewind that transformer, and
5 give it back to them. And that's what Bruce was
6 talking about. The other option is for a utility to
7 go out and buy a new transformer to them that has
8 been discarded by someone else and rewound by the
9 transformer manufacturer, and that's the real
10 questionable one in my mind, whether Joe down the
11 street has done it or a reputable manufacturer does
12 it. Even the reputable manufacturer, we really
13 don't know, we really don't have a great track
14 record on how good those transformers are and have
15 they been tested and, you know, we don't know the
16 efficiency. We can't, before they're rewound know
17 the efficiency until after they're rewound and
18 measured.

19 MR. BROOKMAN: They're not required to
20 test or anything?

21 MR. SAINT: No, not at this point, and
22 there's no requirements, DOE requirements or
23 anything, that they be at a certain efficiency
24 because they are remanufactured transformers.

25 MR. BROOKMAN: Andrew deLaski.

1 MR. deLASKI: A couple points. Bob, you
2 said that - you started mixing up refurbished and
3 rewind in your comments. I thought Katie drew a
4 distinction between what we meant by refurbished and
5 rewind.

6 MS. COUGHLIN: Yes.

7 MR. deLASKI: And what I heard you say, is
8 that RUS, you're dealing with RUS, and you're
9 thinking - you're getting pressured to ask for
10 approval to get loans to purchase refurbished
11 transformers, not rewind. Or maybe you meant
12 rewind.

13 MR. SAINT: Well, new transformers, I
14 guess not newly manufactured transformers, but okay,
15 refurbished -

16 MR. deLASKI: I'm just trying to draw a
17 distinction between refurbished and rewind in your
18 comments.

19 MR. BROOKMAN: Refurbished is not as
20 extensive as rewind?

21 MR. SAINT: Correct.

22 MR. deLASKI: That's what Katie said.

23 MR. BROOKMAN: In most cases?

24 MS. COUGHLIN: Yeah, at least
25 conceptually, if we are going to model this. A

1 refurbishment would be some kind of repair or
2 perhaps related to protection that would simply
3 extend the life of a given transformer without
4 changing its engineering characteristics. Whereas a
5 rewind is you actually take the unit, take it apart,
6 keep the core, and rebuild everything else.

7 MR. deLASKI: Right, so the point I want
8 to make is I think that DOE needs to consider
9 whether a rewound transformer is a covered product,
10 and the reason why is that you've added the value of
11 the product is, if you're a manufacturer - who's
12 doing the rewinding, right? It's not the utility
13 company that's doing the rewinding, although
14 perhaps. It's more likely a manufacturer, someone
15 that's going to remanufacturer, so they're entering
16 the market as a transformer manufacturer and instead
17 of buying steel from AK, Allegheny, or - they're
18 buying cores, and then they're going to wind them.
19 Sounds like transformer manufacturing to me, and I
20 think DOE ought to really consider a guidance that
21 would say those are covered products and subject to
22 the standards. So this is something that needs to
23 be considered.

24 MR. HOPKINSON: Phil Hopkinson, HVOLT.
25 Now some people have said that I disagree with

1 Andrew, and actually in this case, I 100 percent
2 agree with Andrew, so let me say that I really think
3 that if we want to improve the efficiency of
4 transformer energy efficiency across the board, then
5 we really need to look at the refurbish rebuild
6 market as well.

7 MR. BROOKMAN: Robert.

8 MR. BERMAN: Robert Berman, Berman
9 Economics. It seems to me that when you're talking
10 about rewinding a transformer, scrapping everything,
11 say, except the core, that all you're doing is
12 talking about sourcing the core as a used core as
13 opposed to a newly built core, and if a transformer
14 with a sourced core is considered under the
15 standards, then a transformer with a sourced core
16 regardless of that source, whether it be a new core
17 or a core from scrap, the transformer is being
18 rebuilt. So I think the model - I think I agree
19 with Andrew that the rebuilt transformer, the
20 rewound transformer needs to be brought under the
21 standards.

22 MR. BROOKMAN: Greg, did you have a
23 comment here?

24 MR. COULTER: Yes. This is Greg Coulter,
25 Prolec-GE. I want to echo Andrew and Phil. But I

1 want to make a little clarification here. One of
2 the problems with these rebuilt refurbished
3 transformers is one is - I don't want to pick on
4 utilities, but sometimes utility does it himself,
5 and he ought to be free to do what he wants with his
6 own transformer. However, a high percentage of
7 these are sent out to somebody else, ownership may
8 or may not change, and they do rewind transformers.
9 May or may not use the same core. That's why I get
10 concerned about reuse of the same core. It may not
11 even be the same core in that transformer. They mix
12 and match all the parts and make something work. We
13 find another unfortunate part of this quite often
14 our nameplate goes right back on that transformer.
15 It doesn't even get nameplated differently, or there
16 may be a sticker on there that says refurbished.
17 This is a tough area, but it's an area that's a
18 loophole in this thing, by the comments you heard
19 today, is growing, that's a real concern to us,
20 especially as a new transformer manufacturer.

21 MR. BROOKMAN: I'm going to entertain
22 comments straight down the line here, starting with
23 Ray first. Go ahead.

24 MR. POLINSKI: Ray Polinski, ATI-
25 Allegheny. And again, this refurbishment thing, not

1 being a transformer engineer or a utility, but it
2 was the - I think everyone got their arms around it,
3 including the advocates. This refurbish thing is a
4 bad thing because really, the transformers that are
5 failing are some that are 50 and 60 years old, and
6 they're some of your most inefficient ones on the
7 grid. I mean so it's kind of like an exponential
8 problem where now you're taking the most
9 inefficient ones and you're putting them back in
10 service as opposed to - and so again, one thing that
11 the group talked about, the DOE's in the business of
12 incenting more efficiencies and they don't want to
13 do the opposite here, but a program that was
14 discussed that I think everyone got their hands
15 around is another option, another thing for the DOE
16 to consider would be almost like automobiles, a cash
17 for clunkers program where you incent utilities to
18 take out the oldest 60 year old transformers that
19 are maybe 95 percent efficient and replace it with a
20 99 percent efficient transformer. Think about the
21 energy savings - and you could start doing that -
22 there's sufficient capacity in the grain-oriented
23 supply chain and in the core steel supply chain and
24 in the transformer industry to do that almost
25 immediately. So I just wanted to comment on that.

1 MR. BROOKMAN: I think I saw Bob, Mike and
2 John, and then I'll go over here to Richard.

3 MR. SAINT: This is Bob Saint from NRECA,
4 and just a small comment, you know, I can't disagree
5 with the discussion that's been going on here, but I
6 heard from DOE that they thought it was clear to
7 them that these types of transformers were not and
8 could not be included in the rulemaking.

9 MS. COUGHLIN: Yeah, let me -

10 MR. SAINT: And so as far as DOE's
11 concerned, this may be a moot point in deciding
12 whether or not to include them.

13 MR. BROOKMAN: Let's hear from Katie. Go
14 ahead.

15 MS. COUGHLIN: I just wanted to clarify.
16 If the ownership of the unit is retained by the
17 original purchaser, it's definitely not covered. I
18 think if you were to develop a new industry where
19 you were recycling transformer cores, I think that
20 would be more open.

21 MR. BROOKMAN: I think actually we're
22 getting ground on this subject here, but let's try
23 and keep these comments brief.

24 MR. HYLAND: My comment was very similar
25 to Bob's. I was looking for Dan Cohen. He's the

1 one who came to our meeting and made it quite clear
2 that DOE has no authority in this area.

3 MR. BROOKMAN: John, final comment before
4 I go over here? Is your mic on? Thank you.

5 MR. PHOUMINH: John Phouminh, PEPCO
6 Holding Inc. I want to make comment that utility
7 like us we would not refurbish the transformers
8 because we don't have the expertise in that field
9 and the manpower to do that. We might as well buy
10 new transformers.

11 MR. BROOKMAN: Richard.

12 MR. PARKER: Yes, Richard Parker. First,
13 my apologies for arriving late. I spent 30 minutes
14 on the Red Line waiting for a train to come. The
15 Washington denizens know that experience. Anyway
16 it's just been a pleasure listening to this
17 discussion. Just quickly on this one point, since
18 Dan isn't here, we did have a very significant
19 discussion about this during the rulemaking process,
20 and what I took away from it was something in
21 between Andrew and Mike, that there are significant
22 issues about where the title passes, and there are
23 opportunities for utilities to sort of game the
24 system by structuring the transaction in a certain
25 way. As a lawyer, I know that the Department also

1 has the means to put substance over form instead of
2 form over substance and perhaps recharacterize some
3 of these transactions if they turn out to be an
4 evasive tactic.

5 So as I recall where we left it was that
6 this would be an issue that the Department would
7 look at, not one that was resolved one way or the
8 other, but an important one for people to discuss.

9 MR. BROOKMAN: Thanks for that
10 clarification. Steve, thanks for being patient.

11 (Fire alarm required exiting building.)

12 (Whereupon, the meeting in the above
13 captioned matter was adjourned for lunch recess.)

14

15 AFTERNOON SESSION

16 1:45 p.m.

17 MR. BROOKMAN: Okay, so good afternoon,
18 welcome back. It's now 1:45 here in the Forrestal
19 Building. It's still February 23rd. We had a fire
20 drill. We had to empty the building out. I'm
21 pleased to see a lot of folks made it back. There's
22 some others that will still be joining us, but in
23 the meantime, we're going to proceed with the
24 content, provide an opportunity for each person in
25 here to talk about the things that matter to them.

1 So, we're going to hear next from Christopher.

2 **Trial Standard Levels and Proposed Standards**

3 MR. BOLDUC: Hi, Chris Bolduc, LBL. Just
4 to pick up where we left off from lunch. After
5 revising the preliminary analysis we have several
6 downstream analyses, subgroup analyses, manufacturer
7 impact analysis, utility impact analysis, employment
8 and environmental assessment and the regulatory
9 impact analysis. For the purpose of today's
10 presentation, the Department doesn't have any
11 comments, we're not seeking comments on any of
12 these, but you're free to comment if you wish after,
13 in the unstructured time.

14 I'll move into the trial standard levels
15 and the selection of these trial standard levels for
16 the liquid-immersed transformers. TSL-1, which is
17 the proposed standard - do you have a question,
18 Andrew, sorry.

19 MR. deLASKI: On the previous slide.

20 MR. BOLDUC: Yes.

21 MR. BROOKMAN: Andrew deLaski.

22 MR. deLASKI: I just want to reiterate
23 something I said this morning, which is that it
24 strikes me that one of the key issues that has not
25 been analyzed is the impact on employment in steel

1 manufacturing. There's a lot of emphasis put in the
2 NOPR on impact on steel manufacturers, yet we don't
3 have an analysis on the impact on steel
4 manufacturers, and particular on the employment at
5 various TSLs. So I just want to emphasize again
6 that that's an important issue that needs to be
7 addressed. This is an unusual rulemaking - I was
8 just talking to Ray, you know, you have a supplier
9 who represents a very large portion of the value of
10 the product, and it's very unusual to have a
11 supplier that plays such a big role in the
12 rulemaking, and I think in this case it could merit
13 a much more significant impact - an analysis of
14 impact on the steel manufacturers, including
15 employment.

16 MR. BROOKMAN: Okay. Steve Rosenstock.
17 We're going to keep moving here rapidly, though.
18 Steve.

19 MR. ROSENSTOCK: Steve Rosenstock, EEI.
20 The last slide before we had to break was about
21 refurbishment issue, and again, I just wanted to say
22 that again, I just want to follow Mike in terms of,
23 yes, there's the scoping issue. DOE has never set
24 an efficiency standard for any other commercial or
25 residential or industrial appliance or product that

1 is, quote, "being refurbished or repaired or any
2 sort of revamping." Once - again, it's a matter of,
3 this is only on new manufactured and newly imported
4 products, so there are people who keep repairing our
5 products, whatever they are, could be they're
6 probably some 50-year old refrigerators out there,
7 because people keep on repairing them. That's their
8 right. They have a right to do it. We've never set
9 a standard for anyone who's doing that sort of
10 repair type of situation. So, for doing it for this
11 would set a new precedent, and DOE does not have the
12 legal authority to do such a thing. You'd have to
13 change EPCA to do something like that. Thank you.

14 MR. BROOKMAN: Thanks, Steve. Okay. Now
15 we're going to proceed.

16 MR. BOLDUC: So for liquid-immersed
17 transformers, there were seven TSLs were composed.
18 The first TSL represents a standard or a level where
19 a diversity of core materials are cost competitive
20 and economically feasible for all design lines, and
21 this is the proposed standard. TSL-2 is EL-1 for
22 all design lines. TSL-3 is a maximum efficiency
23 achievable with M3 steel, core steel. TSL-4 is the
24 maximum NPV with seven percent discounted. TSL-5 is
25 EL-3 across all design lines. Now with all due

1 respect to Andrew deLaski at ASAP, this is what we
2 interpreted as your position at the end of
3 negotiations, or the position that you represented
4 as opposed to EL-2 across all efficiency levels. So
5 there's a misrepresentation here. It is what I'm
6 stating.

7 MR. deLASKI: What I said this morning is
8 that the ESL that was closest to our position is
9 TSL-4. TSL-4 is close to being EL-2 across the
10 board, though not exactly.

11 MR. BOLDUC: Right.

12 MR. BROOKMAN: Okay. Go ahead.

13 MR. deLASKI: The Department gave notice
14 that our position was EL-3 across the board -

15 MR. BOLDUC: That's right.

16 MR. deLASKI: -- and that was not correct.

17 MR. BOLDUC: That's right. TSL-5 was
18 intended to be your position.

19 MR. deLASKI: Oh, was intended to be EL-3
20 across the board?

21 MR. BOLDUC: That's right.

22 MR. deLASKI: I see, that was the intent.
23 Okay. I've got a few follow-up questions, but --

24 MR. BOLDUC: Yes, please.

25 MR. BROOKMAN: Steve.

1 MR. ROSENSTOCK: Steve Rosenstock, EEI.
2 As I recall, I thought you, Andrew, that you're
3 starting with a mix of four and three, EL-4 and EL-
4 3, and during the negotiations, especially during
5 the initial parts, it was -

6 MR. deLASKI: Let me just remove any
7 ambiguity. We support EL-2 across the board.
8 That's where we are right now. Where we were at one
9 point or another, water over the dam. We don't need
10 to go back and talk about it.

11 MR. ROSENSTOCK: Okay. No problem.
12 Understood. Steve Rosenstock, EEI. Again, there
13 are a lot of ELs put out here, and for people who
14 were part of the negotiations, there were ELs, and
15 CSLs, and now we're into TSLs because of the NOPR,
16 because that's what you're supposed to do, so again,
17 I think for everybody, especially for people on the
18 webinar is that, you know, try to - when we're
19 talking just that people should be respectful that
20 not everybody has memorized every single EL and CSL,
21 especially since they might have changed. And that
22 these TSLs are, I'm hoping to say, are kind of
23 aligned with some of the ELs and CSLs we saw during
24 the negotiation, but this is kind of a final version
25 of the analysis. Would that be a fair assessment?

1 MR. BOLDUC: Yes.

2 MR. ROSENSTOCK: Thank you.

3 MR. BROOKMAN: Yes, Ray.

4 MR. POLINSKI: Ray Polinski, ATI-
5 Allegheny. And Andrew, just to be clear, you said
6 two across the board. I thought 2.1, 2.2 or
7 something was where you guys were at, as opposed to
8 two across the board.

9 MR. deLASKI: No, I said two across the
10 board, and then I suggested this morning - Okay,
11 good time for me to reiterate this point - so I've
12 got a couple questions about the TSLs and then I'll
13 reiterate the TSLs we think the Department should
14 have. We think the Department should analyze four
15 additional TSLs, and one of those would be TSL-2
16 across the board, which is the position that we said
17 we were willing to accept during the negotiation
18 process, and which I reiterated again today that we
19 would support today - excuse me, EL-2. Terminology
20 is tricky.

21 MR. BROOKMAN: Thanks for the
22 clarification. Keep going.

23 MR. deLASKI: So having a TSL that
24 consisted of EL-2 across the board is something that
25 we recommend should be included in a final analysis.

1 We also think that having a TSL that is at EL-1.5
2 across the board would be valuable for decision-
3 making. That is a position that some stakeholders
4 indicated during the negotiation process that they
5 thought the crossover point was likely at EL-1.5, so
6 therefore I think - let me just finish - 1.5 would
7 be valuable to have an EL at that level - TSL at
8 that level as well.

9 And then I said I also think that having
10 pads versus poles distinguished would be valuable,
11 so that having sub-one for each of these, that we
12 would have a TSL that consisted of two across the
13 board, except for a step down one level for poles.
14 And then the same thing, EL-1.5 across the board,
15 except step down one level for the poles,
16 recognizing the concerns we've heard about poles.
17 I'm suggesting, recommending to the Department that
18 those be considered as additional TSLs in a final
19 analysis.

20 MR. BROOKMAN: Ray.

21 MR. POLINSKI: Ray Polinski, ATI-
22 Allegheny. And just to - semantics, whatever, but
23 my recollection, and the record will speak for
24 itself, when some of these people threw out those
25 levels above that, they were like the outer -

1 doable, possibly, feasible, but not practical.

2 MR. deLASKI: Yeah, I think we're zeroing
3 in on this question of the crossover point. We all
4 agreed, I've agreed, that we want to be in a market
5 where we have robust competition amongst the
6 suppliers of core material. And you're agreeing and
7 everyone - I think we all agree with this, and what
8 we have disagreement on is where is that point. And
9 that's what we haven't been able to nail down. And
10 I know there's been different analyses that have
11 shown that point in different places and different
12 people have different views on where that point is.
13 I think we still need a more thorough analysis,
14 independent, by the Department, that helps us nail
15 down where is this crossover point so that consumers
16 benefit - ultimately all consumers benefit from
17 having robust competition among the suppliers.

18 MR. POLINSKI: Ray Polinski, ATI-
19 Allegheny. And again, we'll move forward - and
20 you're saying one of your other action points, you
21 want the crossover points to be reanalyzed. My
22 point is that they shouldn't even do your other
23 studies of the 1.5s or the twos, because the
24 crossover points right now are where the - pretty
25 much where the rule ended up. I mean, so there's no

1 sense in doing another study unless - you're saying
2 it's time for more analysis, but my recollection was
3 when we had our last conference call, you guys said
4 - you the advocates, I won't say Andrew - the
5 advocates kind of said, hey, this is done. We're
6 done with analysis, you know, in the middle of
7 December, we even talked about should we extend this
8 a little bit, we're done with analysis, we're - it's
9 time to move on. So I guess you're changing that
10 position.

11 MR. deLASKI: No, that was for the
12 negotiation. We're out of the negotiation, this is
13 now rulemaking and DOE has to do new analysis. They
14 ought to. This is a NOPR. You put out a NOPR for
15 comment and the Department has to respond to
16 comment. They have a legal obligation to respond to
17 comment.

18 MR. BROOKMAN: I wanted to reinforce that
19 point. We're not in a negotiation here. We want to
20 get the best comment we can. John, you're next.

21 MR. deLASKI: So I really want to be
22 clear, Ray. I don't mean to be shifting on you,
23 this is a different stage of the process.

24 MR. CASKEY: John Caskey, NEMA. Just to
25 be sure we're still talking apples and apples, when

1 you say across the board, are you meaning liquid-
2 immersed, or are you saying everything -

3 MR. deLASKI: No, liquid-immersed. We're
4 talking liquid-immersed.

5 MR. CASKEY: -- from one to 13? Okay.
6 Just wanted to make sure.

7 MR. deLASKI: Thank you, John.

8 MR. BROOKMAN: Thanks for clarifying.
9 Keep going.

10 MR. deLASKI: So I have a couple
11 clarifying - I'll be happy to answer questions on my
12 proposal, but that's - so there's a few things about
13 the TSLs that continue to puzzle me, and I'll start
14 with TSL-5. The Department contends that TSL-5 is
15 EL-3 across all design lines, but when I looked at
16 the actual efficiency levels, it's not. In fact,
17 it's a mix of ELs, based on the actual efficiency
18 levels. So I don't think we want to walk through it
19 here right now, but it's not EL-3 across the board.

20 MR. BROOKMAN: Is it significantly
21 different?

22 MR. deLASKI: One of the design lines is
23 at EL-2. I'm also puzzled by TSL-3 as being the
24 maximum achievable efficiency - maximum efficiency
25 achievable with M3 steel. The Department presented

1 an analysis at the November meeting over the
2 negotiating committee - this is the one dated
3 November 2nd - where they showed some very famous
4 tables that got us all very excited. People who
5 were there will remember, that showed where M3 was
6 viable as a design option, and these were tables on
7 the PowerPoint what was vetted at that meeting,
8 pages 13, 14, and 15. And in that table it showed
9 that the design lines were achievable up through
10 significantly higher efficiency levels than are
11 contained in TSL-3.

12 So my understanding is that engineering
13 analysis hasn't changed between now and then -

14 MR. BOLDUC: I can't see the presentation
15 you have in front of you, and I don't have perfect
16 memory -

17 MR. deLASKI: So I'm going to ask you to
18 go back and take a look at that.

19 MR. BOLDUC: Sure. I'm just - since you
20 have that in front of you, was that for all design
21 lines?

22 MR. deLASKI: Design lines one, two -
23 yeah, what it showed was that you could use M3 up
24 through EL-3 for design line 1. It said you could
25 use it up through EL-1 for design line two. So this

1 is correct for design line two. It showed you
2 could use it up through EL-3 for design line three.
3 It showed you could use it up to EL-2 for design
4 line four -

5 MR. BROOKMAN: Andrew, maybe you could
6 write down the title of PowerPoint presentation, or
7 someone who's got it - maybe you've got it, Steve,
8 and hand it off so -

9 MR. BOLDUC: Please.

10 MR. ROSENSTOCK: And Andrew -- Steve
11 Rosenstock, EEI - you're talking about the November
12 3rd handout, Distribution transformers energy
13 conservation program -

14 MR. deLASKI: This is simpler, which is
15 that TSL-2 is EL-1 except - I'm sorry, TSL-3 is
16 mostly EL-1. So this is saying that you can't go
17 above EL-1 with an M3 transformer. And that is not
18 consistent with -

19 MR. BROOKMAN: I want to keep this moving
20 ahead. Steve.

21 MR. ROSENSTOCK: Steve Rosenstock, EEI.
22 And I believe, Andrew, you're referring to these
23 tables right here, right? Is this the table.
24 Again, this was a table called Core Material
25 selection, and it was basically, again, part of the

1 life-cycle cost analysis and basically it also
2 showed that for those higher levels that they were -
3 there might have been some, or at least one
4 particular model using M3. That could have been
5 just one dot in that efficiency level, and it showed
6 zero percent, and it showed 100 percent being shown
7 as something else because the price discrepancy was
8 so large that they chose the lowest cost issue. So
9 yes, I agree there might be some designs that were
10 at those levels, but those might have been the pure
11 outliers or, you know, I saw the scatter-plots,
12 eight million scatter-plots. They were kind of
13 blinking in my eyes later on that day. That's not
14 necessarily - it might have been just one unit by
15 one manufacturer, and so - and it was so expensive
16 that for the life-cycle cost analysis they didn't
17 use it because there was a much lower cost
18 transformer to use to reduce those incremental
19 costs.

20 MR. deLASKI: That's not what the slide
21 says.

22 MR. BOLDUC: Yeah, I hear you.

23 MR. BROOKMAN: So let's - yeah, Phil
24 first.

25 MR. HOPKINSON: Phil Hopkinson, HVOLT. I

1 did a lot of studies of data, trying to compare
2 transformer selling price against efficiency for M3
3 material. And in fact, it is theoretically possible
4 to build transformers all the way up to what would
5 be considered EL-4 with M3 steel. Now the problem
6 was that we got into extremely low flux densities
7 and extremely high copper weights, and the selling
8 price literally tripled. So that doesn't say that
9 just because you can build it, in theory, that it's
10 something that you would want to do. And when you
11 then look to see what the alternative - so if you
12 allowed amorphous back into the picture, then you'd
13 see that amorphous could get there easily and the
14 selling price wouldn't go up anywhere near that
15 much. So that whether you can theoretically build
16 it or not has nothing to do where the breakover
17 point is, and that breakover point is hard after EL-
18 1.

19 MR. BROOKMAN: Jerry, you going to follow
20 on? Yes, Jerry.

21 MR. CORKRAN: I was going to say somewhat
22 the same thing as Phil said, also repeat what I said
23 this morning when Andrew was proposing higher than
24 EL-1. EL-1 is a level playing field between
25 amorphous and silicon core steel. It's where

1 they're both competitive, neither one has a
2 tremendous advantage. When you go above EL-1, the
3 scale tips and amorphous has a tremendous advantage.
4 So to make the family of designs that the customers
5 want, the many different dual voltages and different
6 things, it needs to be no higher than EL-1.

7 MR. BROOKMAN: Okay. Are we ready to move
8 on?

9 MR. BOLDUC: I think Andrew still has a
10 critical set of issues.

11 MR. deLASKI: So then the other set of
12 issues - the other point I want to make is again,
13 we're not making decisions here, we're just saying
14 what the - I'm just commenting on the TSLs, right,
15 and I think if you're going to describe something as
16 being the maximum achievable with M3, then that's
17 what it ought to be.

18 Now my other concern is that you said that
19 the TSL-1 is the proposed level, yet, and I
20 mentioned this earlier today, is that when I compare
21 TSL-1 to the NOPR levels, they're actually
22 different. And I understand there's been some sort
23 of scaling or smoothing of the curve, so to speak,
24 but the level -

25 MR. BOLDUC: The efficiency percentages

1 are slightly different than those analyzed, yes.

2 MR. deLASKI: Slightly different, it's
3 point - it's point four, so it's 40 percent of EL-1
4 for design line one, which is a 50 KVA transformer,
5 which is a bread-and-butter product. So, it's more
6 than slightly different. The loss reduction for EL-
7 1 is 3.3 percent for design line one, whereas EL-1
8 was 8.7 percent reduction in losses. So I think
9 it's an awkward spot for the Department to be in, to
10 be proposing standards that are different than those
11 analyzed. And I know you've got to smooth - you've
12 got to stiff this curve, but it's an awkward spot.
13 You know, we've got folks saying they can live with
14 EL-1, but yet the level being proposed is not even
15 half way there. And we're talking about, as people
16 have pointed out, being very efficient, we're trying
17 to reduce losses - we're trying to reduce those
18 losses and those five percent matters.

19 MR. BROOKMAN: Steve Rosenstock.

20 MR. ROSENSTOCK: Steve Rosenstock, EEI.
21 Since this issue came up, I did notice - Andrew was
22 talking about design line one. For design line two,
23 the value is increased over the TSL-1 value. It was
24 98.91 in the table, the TSL table, but in the
25 proposed standard it's 98.95, so in that case it

1 went up rather than down. Also for design line
2 three, where the TSL-1 value is 99.48, the table
3 value is 99.49, so it cuts both ways. I don't know
4 what impact that has in terms of the national energy
5 savings, but especially since design line two is the
6 single-phase pole mount, that can be significant for
7 a lot of situations. So it went both ways, and
8 again, there is an issue that we don't see the
9 98.95, for example, in any of the tables, so again,
10 we're not sure of the economics. I didn't see it in
11 the NOPR, same with 99.11, same with 99.49, so I
12 mean there's that in terms of analytical issue, but
13 again, at the end it cut both ways. I'm not sure
14 how it impacts all of our members. I made sure that
15 they knew about it, but it was both ways.

16 MR. deLASKI: So to me it points to the
17 need for additional analysis again. We don't have
18 an analysis of the standards proposed. And we need
19 that analysis, and we need the analysis of these
20 additional TSLs to be able to make a final decision
21 that is based on a robust, complete record.

22 MR. ROSENSTOCK: Steve Rosenstock, EEI.
23 Or just put the efficiency value the same as the TSL
24 values.

25 MR. deLASKI: Well, you can't do that

1 because poles and pads aren't separate classes.

2 PARTICIPANT: It's tricky.

3 MR. BROOKMAN: Thanks for those comments.

4 What we're going to do is move on to the next set.

5 MR. BOLDUC: So the next set of slides, or
6 next set of TSLs are for low-voltage dry-type.

7 Again, there are six TSLs. TSL-1 is maximum
8 efficiency achievable with M6 steel. TSL-2 is the
9 NEMA premium levels. TSL-3, the maximum efficiency
10 using butt-lap core mitering for single-phase and
11 full mitering for three-phase designs. TSL-4 is max
12 NPV with seven percent discounting. TSL-5 is
13 maximum source energy savings with seven percent
14 discounting, the positive NPV, excuse me. And TSL-6
15 is max-tech.

16 Now, the Department has selected - is
17 proposing TSL-1 as the standard.

18 MR. BROOKMAN: Andrew.

19 MR. deLASKI: So as I said this morning in
20 the opening remarks, the level that we've been
21 supporting, and continue to support is EL-4 across
22 the board, which happens, in this case that we
23 actually do have a TSL which represents that, which
24 is TSL-3. So we don't see a need for additional
25 TSLs here. We appreciate the Department has

1 evaluated NEMA premium levels. My understanding is
2 that the levels shown are not precisely the NEMA
3 premium levels, that's my understanding, so we need
4 to take a look at that.

5 And then the second point I want to make
6 is to reiterate the point I made this morning which
7 is that during the negotiation, it was said on the
8 record by multiple parties, including manufacturers,
9 that they can butt-lap up through what's now TSL-3,
10 and the Department needs to do a more full - if
11 butt-lapping is going to be a decision criteria,
12 then the Department needs to do a more full analysis
13 of how far can you go with butt-lapping
14 manufacturing techniques. It may not be the
15 cheapest technique, but if you still can - I think
16 what may have happened is they had been removed
17 because it was perhaps cheaper for some
18 manufacturers to do mitering, but perhaps not for
19 the small guy to miter. So it may be that some
20 manufacturers choose to butt-lap up through TSL-3
21 because they don't want to make that investment or
22 they can't, and that may take having some additional
23 engineering options to your software, and doing an
24 additional set of runs for optimization around those
25 additional designs. But I think you've got to fill-

1 in those curves.

2 MR. BOLDUC: Right.

3 MR. BROOKMAN: Phil.

4 MR. HOPKINSON: Phil Hopkinson, HVOLT.

5 What I would say is there's two issues from that.
6 One is can you even build a transformer and with
7 butt-lapping, I think that you probably can build
8 something pretty close to efficiency level three,
9 but you can't be competitive, and that's the second
10 part of it, so that if you, in fact, impose a
11 requirement that goes so far, it still puts the
12 small guy out of business because while he could
13 theoretically build a transformer that's butt-
14 lapped, he can't actually sell that at a price where
15 he can recover his material costs, so that he is
16 still put out of business.

17 MR. BROOKMAN: Thank you. Other comments
18 on these LVDTs and these trial standard levels?

19 MR. deLASKI: To follow up on Phil's
20 point, and that's a point for analysis. That's
21 something that we want to see analyzed as opposed to
22 simply a conclusionary remark by the Department
23 based on no analysis is where we are today. We've
24 got Phil's expert opinion, based on a lot of
25 experience, what we don't have is the Department

1 analysis that tells us, what is the cost penalty?
2 Is it five percent or is it 50 percent? And can
3 these guys compete? And we need the answer to that
4 question.

5 MR. HOPKINSON: I think that data could be
6 acquired.

7 MR. BROOKMAN: Thanks, Phil.

8 MR. BOLDUC: So for medium-voltage dry-
9 type transformers, we have five TSLs. TSL-1 is EL-1
10 for all design lines. TSL-2 represents a TSL where
11 a diversity of core materials are cost competitive
12 and economically feasible. This was the level
13 arrived at through the negotiation process. TSL-3,
14 is maximum NPV with seven percent discounting. TSL-
15 4 is maximum source energy savings with positive
16 NPV. And TSL-5 is max-tech. Steve.

17 MR. ROSENSTOCK: Steve Rosenstock, EEI. I
18 believe you received the comments from Commonwealth
19 Edison. They're one of our member companies that
20 they purchase significant number of these because
21 they're the ones actually installing and maintaining
22 them in their urban area at the commercial and
23 industrial facilities, so I think we all agreed to
24 it, but just take their comments into account. This
25 is another space/size constraint issue, because

1 these are inside large commercial buildings
2 sometimes. So just consider their comments, that
3 would be very helpful, thank you.

4 MR. BROOKMAN: Additional comments on
5 this? Okay.

6 MR. BOLDUC: So the next three slides
7 show the efficiency levels for the different KVA
8 ratings. For liquid-immersed, low-voltage, and
9 medium-voltage dry-type transformers. You have the
10 numbers in front of you. There's not much I have to
11 say on these.

12 MR. BROOKMAN: I guess we have three
13 tables here and anybody that wishes to do so can
14 comment on any of these. Yes, Andrew.

15 MR. deLASKI: It would have been nice in
16 the NOPR to have had a mapping of EL/TSLs.

17 MR. BOLDUC: Yes, there is one in the TSD.

18 MR. deLASKI: Can someone give us the page
19 reference?

20 MR. BOLDUC: In the TSD, I can't give it
21 to you right now, it's in Chapter 10. It would be
22 in the NIA chapter.

23 MR. deLASKI: Okay. Thanks a lot.

24 MR. BOLDUC: Yep So in summary, the
25 proposed rule, we have energy savings of 1.58 quads

1 over 30 years. An estimated - and this could
2 eliminate the need for 2.4 gigawatts generating
3 capacity, the need to build new capacity, new
4 generation. We have a cost savings, a cumulative
5 net present value ranging from 2.9 billion to 12.1
6 billion at three and seven discount rates - at 7-3
7 percent discount rates. And the cumulative
8 environmental benefits of 112 metric megatons of
9 CO₂, NO_x emissions reductions of 99.7 kilotons, and
10 mercury emissions reductions of 0.8 tons.

11 MR. BROOKMAN: Phil.

12 MR. HOPKINSON: Chris, a good set of
13 numbers. My point - my question is, the 1.58 quads,
14 is that the incremental savings from this new NOPR
15 or -

16 MR. BOLDUC: Cumulative.

17 MR. HOPKINSON: -- or is that including
18 the 2010 rule.

19 MR. BOLDUC: Oh, no, that would be simply
20 this rule. Not including the 2010 rule.

21 MR. BROOKMAN: Steve.

22 MR. ROSENSTOCK: Steve Rosenstock, EEI.
23 I'm looking in the - oh, that's annualized benefit.
24 Okay, I was looking in the NOPR and the NOPR has
25 quite a range of total net benefits, so it seems -

1 okay, 2.9 to - okay - that's over the 30 - that cost
2 savings, that's 30 years at seven and three percent.
3 I see. Quick one for you. In terms of the
4 environmental benefits, EPA just came out with their
5 mercury rule, and the emissions for power plants,
6 mercury emissions are mandated to go down 75 percent
7 within three years, and then they're going to be
8 pretty much capped, are you going to treat mercury
9 like you treat other emissions that are capped
10 upstream, in terms of benefits?

11 MR. BOLDUC: I'll have to look at the EPA
12 rule.

13 MR. ROSENSTOCK: Yeah, it goes into effect
14 three years before this takes effect, so that will
15 change some of these projected estimates.

16 MR. BOLDUC: Likely.

17 MR. ROSENSTOCK: Thank you.

18 MR. BROOKMAN: Andrew.

19 MR. deLASKI: I want to - just the point I
20 made this morning, which is that we think the
21 estimates for the low voltage dry types are
22 mischaracterized because the curves are
23 mischaracterized, and this number actually reflect
24 consumers selecting transformers more efficient than
25 the minimum standard, which is not what we're seeing

1 in the market, and not what manufacturers have said
2 they would expect. So I think the savings are being
3 over-estimated for low-voltage dries because the
4 curve isn't filled in, and we're selecting
5 transformers - so it shows very little difference -
6 not very little difference because it shows .2 quads
7 different between level one and level three, which
8 we think is inaccurate and not based on substantial
9 evidence.

10 I also would note that the low-voltage
11 dries, even with that inaccuracy are driving the
12 lion's share of the savings in this docket. Just
13 .36 of the savings total is being driven by the
14 liquid-immersed market.

15 MR. BOLDUC: That's correct.

16 MR. BROOKMAN: Other comments looking down
17 this summary slide?

18 MR. BOLDUC: So, on this slide we have the
19 annualized benefits for the proposed rule. The
20 primary estimate is the default scenario for all the
21 models, and the low net benefit is run with a high
22 equipment price and a low economic growth scenario.
23 And likewise, the high net benefit estimate is high
24 economic growth, low equipment price. So we have a
25 primary estimate bracketed by the low and high, and

1 we have ranges for the CO2 evaluations.

2 MR. BROOKMAN: Steve.

3 MR. ROSENSTOCK: Steve Rosenstock, EEI. I
4 know you don't have any control over it, but for the
5 record, you're monetizing all, you know, the
6 environmental values, but you're discounting them at
7 different rates, so analytically I think that's
8 extremely inconsistent, extremely inconsistent. I
9 know that you're required to do that by the
10 interagency memo, but when you're discounting some
11 things at seven percent, and you're discounting
12 other things at two and a half percent, you're
13 getting a distorted number at the end, in my view.

14 MR. BOLDUC: Right. That's why we're
15 presenting a range.

16 MR. ROSENSTOCK: Right, but again, there's
17 still an issue in that when you're talking about
18 some of these net cumulative savings, and then some
19 of the annualized savings, it's still analytically -
20 there's still issues, because when you're saying
21 you're monetizing everything and you're not
22 discounting at the same rate over the same lifetime,
23 and it's over the same analytical period, it's
24 distorting the result in my view. Because you're
25 saying that something - we're going to say, well the

1 cost, well, you know, some things, like the cost
2 transfer we'll discount at seven percent, but the
3 savings we'll only discount at two and a half
4 percent because that way that'll make the benefits
5 look a lot better. I just think it's inconsistent.
6 I know you're required to do that. I'm just saying
7 this for the record that in terms of doing an
8 analysis, when you're discounting different parts of
9 the analysis at different rates, it's distorting the
10 analysis.

11 MR. BROOKMAN: Okay. Other comments on
12 this benefits and costs slide.

13 MR. BOLDUC: Thank you all very much, that
14 concludes the main presentation for this afternoon.

15 MR. BROOKMAN: There is quite a lot of
16 supplemental information, additional slides, oh, I
17 don't know, 30 pages or so, -- oh, they're not in
18 the package.

19 As we said at the outset, now is another
20 opportunity for anybody that wishes to do so to make
21 additional points, emphasize things that haven't
22 been emphasized today adequately, and perhaps
23 briefly. So who would like to go first? Please.

24 **Discussion of Proposed Standards**

25 MR. PETERSEN: Eric Petersen, AK Steel.

1 First off, just want to congratulate the entire
2 group that was here. I know it was quite an arduous
3 process, but as we began the outset of this path
4 that we have been down, we commented that the value
5 of what we were bringing to the table was the
6 ability to be able to bring industry experts all to
7 the table to be able to bring a correct perspective
8 of the issues that each group represented. It's
9 been a theme that we've talked about consistently
10 and I'm glad to hear that we continue to say it here
11 at the end, and we've actually divined TSLs to
12 directly reflect it, that the intent was to identify
13 a standard level that would provide a diversity of
14 core materials that were cost competitive and
15 economically feasible.

16 And as Mr. deLaski stated, the magic
17 question is, what is that point level. That really
18 has been what has been driving us. I would remind
19 the organization that the benefit of the negotiated
20 rulemaking was that we had the experts, the
21 transformer manufacturers, here, which really are
22 the only ones that can best help us understand where
23 that crossover point is.

24 The recommendation that the transformer
25 manufacturers brought to the table, defined an

1 efficiency level at which they see that crossover
2 point occurring. That is the point that the DOE
3 correctly reflected when they chose the TSL to be
4 set as a proposed standard. Now there's been
5 reference to three companies who are at the table in
6 regards to a higher potential efficiency level that
7 was mentioned. I don't recall or interpret their
8 conversation the same way that Mr. deLaski has
9 stated here today, that they stated - the point was
10 there. I think it's important to define that there
11 is the capability, technically, to be able to make a
12 transformer at a certain level, however, that does
13 not insure that the transformer will achieve the
14 goal of cost-competitive and economically feasible.

15 We've had one of those three
16 organizations, the one that made an opening
17 statement today, specifically point out that since
18 they were referenced as one of the three, that they
19 emphasize that they were party to and supported the
20 NEMA presentation.

21 So I guess I would again thank the DOE for
22 the work that you've done. It's been exhaustive,
23 and thank the committee in regards to defining the
24 criteria. We've all agreed to that, which is the
25 diversity of core materials which is cost

1 competitive and economically feasible, and point to
2 the industry experts the value of what we brought
3 within the negotiated rulemaking session, the
4 transformer manufacturers as being really the key
5 group that can define where that crux is, and
6 they've done that for this efficiency level.

7 MR. BROOKMAN: Okay. Thank you. Yes,
8 John.

9 MR. CASKEY: John Caskey, NEMA. A couple
10 different thoughts. One is certainly I, personally,
11 and I think NEMA, really appreciates the opportunity
12 to participate in the negotiated rulemaking process.
13 I think that was very educational. I mean I learned
14 more about the transformer industry - even though I
15 represent some of those manufacturers - and I
16 personally learned more about the transformer
17 industry that I didn't know before, and I learned
18 about the steel industry, and I learned about some
19 of the perspectives of some of the advocates and
20 other groups that were in the room. So I think, to
21 me, it was a very constructive thing, and I think
22 that was very valuable.

23 I think the other aspect that was very
24 valuable was the idea that the various consultants
25 to DOE heard first hand how the data was being used

1 and how the manufacturers, the steel producers, or
2 other people interpreted the data, and where there
3 were weaknesses and where there were flat out, what
4 I would call, mistakes, and that they were able to
5 correct some of those deficiencies in the course of
6 doing the analysis. So I think that, in itself,
7 helps give DOE a better chance of providing some
8 rulemaking that is fairly rigorous in all the
9 analysis that has been done.

10 Speaking on behalf of NEMA, we came to the
11 table dealing with a negotiated rulemaking session -
12 sessions, and really had three things in mind. One
13 is that we supported higher efficiency standards as
14 long as they could be proven that they were cost
15 effective; two is that we really were concerned
16 about the transformer industry in the U.S. as well
17 as steel industry in the U.S. and we wanted to find
18 some solutions where there was a balance, and we've
19 talked about it a lot today, where there was a
20 balance where the transformer manufacturers would
21 have the flexibility to use different types of core
22 steels, different types of designs, and different
23 manufacturing techniques to be able to meet the
24 efficiency standards. And the third thing was
25 really dealing with the small manufacturers,

1 particularly those dealing with the low voltage dry-
2 type transformers, and certainly we represent them
3 as well as the big guys, and certainly don't want to
4 get into a position where we're actually knocking
5 them out of business and losing jobs for the U.S.

6 So, from those three sort of core
7 principles that we started with, and looking at all
8 of the Navigant and LBL research, I feel that the -
9 NEMA feels that the current NOPR really represents a
10 good fit between all of those characteristics. So
11 we certainly support the proposed rulemaking as it
12 now stands with those proposed energy efficiency
13 levels, and thank you for the opportunity to
14 participate with all this.

15 MR. BROOKMAN: Thank you. Yes, Richard.

16 MR. PARKER: Yes, Richard Parker. I just
17 wanted to say this is probably my last hurrah for
18 this process, but I wanted to say what a pleasure
19 it's been working with everybody here at the table.
20 It was a difficult process. It was sort of a
21 perfect storm of challenges, I think that this group
22 faced, very, very complex issues, multiple
23 stakeholders with very different perspectives, and
24 combined with that some possibly radical tipping
25 points which created a lot of anxiety as you

1 approached them, and then on top of it all, of
2 course, a very compressed time schedule which made
3 it difficult to get the analysis right and then to
4 refine the analysis in time to be ready for the next
5 meeting and so forth.

6 I thought the analysts did a fantastic
7 job, dealing with the hand they were dealt, but it
8 was very hard to do things in that time frame. And
9 one lesson, I guess, the main lesson that I took
10 away from this process is that might have been less
11 work and less time for everybody had we been able to
12 space the work out that we were doing over a longer
13 time period, do more of it off-line, and less in
14 plenary and get the analysis right before we come
15 together and negotiate.

16 But we are where we are and I think the
17 process did produce a lot of very useful information
18 as well as a consensus on some small areas, and I
19 think that's in no small measure thanks to the great
20 work of people around this table and in the
21 audience. So I just want to wish everybody the best
22 as you go forward and I have no position on how the
23 rule should come out, but I hope that we can get -
24 you can get - the analysis and the rule to an
25 outcome that is respected as legitimate and

1 hopefully supported. But thanks again for the
2 chance to work with you.

3 MR. BROOKMAN: Steve Rosenstock.

4 MR. ROSENSTOCK: Steve Rosenstock, EEI.

5 Again, I just want to thank DOE for having the
6 negotiation sessions and for Mr. Parker for his
7 patience, and he's still smiling after leading that
8 session. I'm really surprised about that. Really
9 appreciated all his hard work involved in
10 negotiations.

11 I also wanted to say again, I think that -
12 I appreciate the nature of what DOE did for the
13 negotiation, bringing in all the stakeholders, and I
14 also want to remind people, I'm a numbers guy and I
15 just remember that because of the last rule that DOE
16 finalized in 2007 that went into effect in 2010,
17 every time a utility, commercial customers, buying a
18 new transformer, they're going to be more efficient.
19 That's done. That's locked in. Every time they
20 replace an old transformer with a new transformer,
21 there's going to be more efficiency on our system.

22 So I think we've already made a big
23 stride. As you'll recall, certain parties with the
24 advocates said, well, again, going back to the old
25 rule, well Level two in 2009, Level four in 2013,

1 and many of the levels that went into effect in 2010
2 are already well past Level four, that's a fact.
3 That's already in there. That's done. So we've
4 made a lot of progress already and we're willing - I
5 think all parties were willing to make some more
6 progress here within that, those certain valid
7 points, and I believe that, you know, I think all
8 the parties are going to make comments, we're going
9 to make sure that the industries are competitive.
10 We want - we like choice as consumers, we like
11 choice, and we also like domestic manufacturing.
12 They're our customers too.

13 So again, I appreciate all the work that
14 everybody's done. We look forward to making
15 comments on April 10th, and we look forward to a
16 final rule being published by October 1st. Thank
17 you.

18 MR. BROOKMAN: Robert.

19 MR. BERMAN: Robert Berman, Berman
20 Economics. If we can take a break from thank you's
21 for a moment, I have a technical question, trying to
22 run some numbers. Would you explain, Chris, the
23 role of tables Roman numerals I.5 and Federal
24 Register on page 7285 of the Federal Register
25 versus Roman V.1 on 7342 of the Federal Register.

1 MR. BOLDUC: Can you read the titles -

2 MR. BROOKMAN: 7285 and?

3 MR. BERMAN: 7285 says, "Proposed
4 electrical efficiencies for all liquid-immersed
5 distribution equipment classes, compliance starting
6 January 21, 2106." And Table V.1 is efficiency
7 values of the trial standard levels for liquid-
8 immersed transformers by design line.

9 MR. BROOKMAN: What's the second page,
10 Robert?

11 MR. BERMAN: I'm sorry, 7342.

12 MR. BROOKMAN: Okay. Thank you.

13 MR. BERMAN: I note for example, this is
14 where we had the discrepancy in one of the places
15 where we have a discrepancy in efficiency numbers.
16 The 50 KVA, which is design line one, in the first
17 table mentioned is 99.11 and the second table
18 mentioned is 99.16. Is the second table the one
19 where the efficiency analysis was done at? In other
20 words, is that saying we did the analysis at EL-1
21 and are proposing a 40 percent of standard EL-1, say
22 for design line one? Is that what that's saying?

23 MR. ROSENSTOCK: It's because of the
24 scaling. Steve Rosenstock, EEI. Because of the
25 smoothing, Mr. Berman, because of the smoothing. We

1 discussed that earlier.

2 MR. BOLDUC: The smoothing changed the
3 efficiencies between the analysis and putting the
4 final editions together.

5 MR. BERMAN: So we're using the analysis
6 at efficiency losses at 99.16 to do the savings for
7 99.11? Is that correct?

8 MR. BOLDUC: That sounds correct.

9 MR. BERMAN: Okay. Thank you.

10 MR. RIVEST: This is Mike Rivest.
11 Remember what we're looking at here are
12 representative units. Three representative units
13 for one product class, and so what I heard Steve say
14 earlier on balance, some are going up, some are
15 going down, so really, you know, when you take into
16 account, in a typical analysis we have one
17 representative for product class. Here we've
18 disaggregated that into three representative units,
19 so the economics aggregated for the three rep units,
20 are representative for that product class.

21 MR. BERMAN: That's why I asked the
22 question.

23 MR. RIVEST: Okay. I just wanted to make
24 sure that people were not making conclusions from
25 what you were saying.

1 MR. BROOKMAN: Robert, do you want to
2 respond?

3 MR. BERMAN: Robert Berman, Berman
4 Economics. I'm just trying to clarify that what
5 analysis was used on what design lines, and did we
6 use the losses that we established at 99.16 to
7 attribute to the savings at 99.11. And I think you
8 said yes to that, and that was my question, and
9 that's fine.

10 MR. BROOKMAN: Before - just as we
11 returned from lunch, Andrew deLaski said he had an
12 issue that took us back to something said this
13 morning. Did you want to raise that now, Andrew.

14 MR. deLASKI: Yeah, and so - actually
15 there's two different - two - I suggested a number
16 of new analyses today that I think the Department
17 needs to conduct, and I'm not going to reiterate
18 those now. I think I've been clear enough earlier
19 and we'll certainly reiterate them in our written
20 comments. But I think doing those further analyses
21 will help the Department get to a final rule that
22 better - enables it in a better way to weigh the
23 seven factors.

24 Two things came up. One is that I'm a
25 little struck that we didn't hear anything today,

1 nothing presented by the Department on the impacts
2 on small manufacturers. We don't have a slide on
3 it, and we haven't had any discussion - I mean,
4 we've had very little discussion other than sort of
5 cursory remarks, and given the weight the Department
6 is giving to impacts on small manufacturers in its
7 decision making process, I think it's incumbent on
8 the Department to do additional work to better
9 document, better understand, what are the scale of
10 those impacts, and what are the - what are the
11 impacts on small manufacturers. So I know there's
12 been some work done. It needs more. Phil and I
13 were talking about this earlier, it needs more if
14 it's going to be the basis for decision-making.

15 MR. BROOKMAN: I think Mike would like to
16 follow on.

17 MR. HYLAND: I just want to expand this.
18 This is Mike Hyland at APPA. I'd like to expand
19 that to small businesses in general. Of the 2000
20 munis, 1950 are small businesses. The co-ops, I'm
21 not sure the number, but it's pretty impressive.
22 It's 500 or so. So you're talking over 2000 small
23 businesses which are the end consumers, which will
24 be paying the freight of this with every dollar
25 being passed on. So are we hitting the magic number

1 of 100 million? Has that been evaluated yet, based
2 on the cost increase? Has there been a small
3 business analysis of how they're affected? You
4 increase the cost of the transformer by \$100,000.
5 Is that two jobs? Has that impact been analyzed?
6 So if you're going to look at small businesses,
7 please don't look at just manufacturing, because
8 it's the end consumer that has to pay.

9 MR. BROOKMAN: Okay. Andrew, keep going.

10 MR. deLASKI: The other thing is that in
11 the TSD, in the engineering analysis, the Department
12 raises the possibility that it may do a
13 reoptimization based on new pricing. It strikes us
14 that that is likely to be a useful exercise to have
15 optimization conducted based on the actual prices
16 used in the analysis. We had discussion on prices
17 during the engineering discussion. We talked about
18 the need to fill in the gaps in the analysis so that
19 - filling in those gaps is going to require doing
20 optimization on new designs. And as the Department
21 looks to fill those in, I think it needs to
22 corroborate whether re-optimization will help it get
23 to decisions based on results that reflect the
24 material choices that are being made based on those
25 prices. Might not have to do everything all over

1 again, but you maybe could do some of it over again,
2 based on the prices that you decide to use in the
3 final rule analysis.

4 So again, this is raised as a possibility
5 in the TSD engineering analysis chapter. We think
6 you're raising the right question and we would
7 encourage you to certainly do some additional
8 reoptimization and perhaps do it soup-to-nuts,
9 depending on whether that looks like it's going to
10 be valuable to you.

11 MR. BROOKMAN: Andrew, does this conclude
12 the other issue you wanted to raise?

13 MR. deLASKI: That's it.

14 MR. BROOKMAN: Okay. Thank you. Yes,
15 Charlie Stephens.

16 MR. STEPHENS: Charlie Stephens, Northwest
17 Energy Efficiency Alliance. I just wanted to speak
18 from a slightly different utility perspective, given
19 that I work for 130-some of them, ranging all the
20 way from the smallest, I imagine, of the rural ones,
21 to some of the larger investor-owned utilities.
22 There's some confusion here it seems to me between
23 consumer or customer or whatever, and the way it
24 works where I am from is that the utilities have
25 costs and they have benefits that derive from their

1 investments, and the net of those is what flows
2 through to the real consumers, which is the people
3 who pay the bills and which is our rate payers.

4 And so we're focused, I have to say, much
5 more on that level. You know, transformers don't
6 just cost more, they deliver benefits. They deliver
7 efficiency savings, and those flow through the rates
8 as well. It isn't just cost that flows through to
9 the rates. So we're looking at, on balance, what
10 are the benefits versus the cost, and I think a lot
11 of people around the table are trying to do that.
12 But some of us, if we really focus on that, what it
13 does to our economy, and where the jobs really come
14 from, and we're very focused on that where I live
15 right now. There are benefits that aren't even
16 counted in this rulemaking right now. I'm not going
17 to go into them, but I think that's a different - I
18 seem to have a different customer or consumer
19 perspective here than some of the other utility
20 representatives sitting around the table, and I
21 don't entirely understand that, but I just wanted to
22 put the Northwest perspective on the record. Thank
23 you.

24 MR. BROOKMAN: We've heard a lot already
25 today about different views of who the customer is,

1 I hope we don't need to rehash all of that. Steve.

2 MR. ROSENSTOCK: Federal Register notice
3 7286, footnote. "For the purposes of this document,
4 the consumers of distribution transformers are
5 referred to as customers. Customers refer to
6 electric utilities, in the case of liquid-immersed
7 transformers, and to utilities and building owners
8 in the case of dry-type transformers." I'll just go
9 on the dry-type side. Some of those owners could be
10 retailers like WalMart and Sears and Home Depots, we
11 consider them the customers of dry-type
12 transformers. DOE has never done an analysis of
13 "gee", how will it affect the retail prices if the
14 transformer is more efficient? It would just be an
15 impossible analysis to do, because the end use
16 customer going into that store is not the customer
17 of the product. The entity that is buying the
18 product, operating it, and maintaining it is the
19 customer. Thank you.

20 MR. BROOKMAN: Thank you. Yes, Mike.

21 MR. HYLAND: Yes, I just wanted to tap
22 into what he said. My CEO is from the Northwest,
23 and he - they're one of the largest utilities and
24 he's in sync with what we're saying here. So we do
25 have an overlap in membership. It ties into what

1 Steve had said. We've already come up so far from
2 2007, and you start looking at what are you going to
3 do with the next dollar. As Rick Anderson said,
4 who's not here, but I know he's on the phone from
5 Fayetteville, is what's your biggest bang for your
6 buck at this point. And we're arguing over 99.82,
7 99.84, when you can look at any municipality, or any
8 utility in this room, the end consumer, based on
9 what this says, would have a better time helping
10 Andrew's goals by putting a dollar elsewhere at this
11 point. What are they getting per watt? How much is
12 it costing them to save a watt at this point, versus
13 putting that dollar to something else in these
14 communities?

15 MR. BROOKMAN: Okay. Thank you. I think
16 we're at the point where we're hearing traditional
17 and perhaps final comments. Any other issues that
18 people wish to raise? Because I think we're
19 starting to double back on ourselves here. Closing
20 remarks. Yes, Bob.

21 MR. SAINT: I agree that we have been
22 doing closing remarks for some time, and so -

23 MR. BROOKMAN: Thank you.

24 MR. SAINT: -- and I -

25 MR. BROOKMAN: This is the only thing

1 which I'm allowed to achieve a consensus.

2 MR. SAINT: -- and I too would like to
3 congratulate everybody in the room for the diligence
4 and hard work that we've all done, and DOE, and the
5 consultants, and the negotiation team, and we've all
6 come to, I think, a better understanding of each
7 other's issues through this process than we all
8 realized.

9 There are some points that - and we do
10 think that DOE came to the right conclusion when
11 they did their analysis, and congratulate them for
12 their levels that they've chosen in this NOPR, and
13 encourage them to hold fast with those
14 recommendations. Most everybody in the room has
15 agreed with them. There are a few exceptions, but
16 the vast majority of the people in the room, and I
17 believe the vast majority of the comments that you
18 will receive agrees with your analysis and the
19 diligence that you've gone through to come up with
20 these efficiency levels and we hope that you will
21 hold fast with these.

22 The issues that we see that are important
23 are maintaining a robust, competitive, competition
24 among suppliers, and we've been talking about steel
25 manufacturers versus amorphous-core manufacturers

1 for a while, and we do think that we need to have
2 that robust competition. In addition, we feel
3 strongly that we need to - the small transformer
4 manufacturers themselves need to remain competitive,
5 and we have a concern that if one - if amorphous-
6 core transformers become the only transformers that
7 are competitive to be made, then those small
8 manufacturers will go out of business, and those
9 small businesses will not be able to exist.

10 We have a couple of members that are
11 transformer manufacturers and we really feel that we
12 should support our members, small transformer
13 manufacturers.

14 Of course, the other part of the analysis
15 is the life-cycle cost and the total owning cost of
16 these transformers, and there's where we see some
17 issues with that. There's been a lot of analysis, a
18 lot of input given on the costs. We feel like
19 there's still inconsistencies in the costs that are
20 used in the analysis, for example, the material
21 costs seem to be fairly low versus the power costs
22 are high, and that very much skews the results of
23 the analysis, so we really question the credibility
24 and the viability of that analysis.

25 So we're - since we have trouble looking

1 at these life-cycle cost issues and the total owning
2 cost analysis, we go back to the competition, and
3 that seems a little more clear, at least to some,
4 that dividing point, and that's where the DOE has
5 come on. So even though there seems to be more
6 emphasis on this robust competition among suppliers,
7 core suppliers, and that seems to be a lot of the
8 issue, that is because we still have problems with
9 credibility of the life-cycle cost analysis, so we
10 keep going back to the robust competition.

11 And we can't, lastly, we really can't
12 ignore the issue of the refurbished transformers and
13 the fact that if the original cost of transformers
14 get too high - and nobody knows what too high is -
15 but at some point the market for these transformers
16 is going to become a dominant market, and no one
17 wants that, no one in this room wants that. And
18 that kind of defeats the purpose of this whole
19 rulemaking if we price these efficient transformers
20 out of the market and people find an alternative to
21 these transformers that are regulated, it really
22 defeats the purpose of the whole thing. And if we
23 want to include those transformers or not, I think
24 that's an issue that will take a long time, and it's
25 a tough legal decision that apparently DOE has

1 looked at several times and decided fairly clearly
2 that they can't regulate the refurbished
3 transformers.

4 So, again, thank everybody for all our
5 diligence, and we'll be submitting the comments and
6 encouraging our members to submit comments as well,
7 and hope for the best. Thank you very much.

8 MR. BROOKMAN: Thank you. Additional
9 closing remarks. Phil.

10 MR. HOPKINSON: Phil Hopkinson, HVOLT,
11 Inc. One thing that I might add is that several
12 years ago I went to an IEEE ad hoc meeting and came
13 out chairman of a group that was addressed at
14 looking at issues associated with DOE energy
15 efficiency activities for distribution transformers.
16 We have a meeting coming up and I think that it is
17 March 13th, in Nashville, for IEEE, and a good many
18 of the people who have been right here, as well as a
19 lot more - I typically have about 100 people that
20 come into the meeting and they are manufacturers,
21 most of which didn't get a chance to sit in here,
22 but will be there, and users, many of which again,
23 didn't get a chance to come here, but they'll be
24 there. And they really look forward to these
25 sessions to be able to find out what's going on in

1 the first place, and are likely to have comments
2 back that can be useful. I'll do my best to capture
3 those and certainly send them in, and I think there
4 will be others that will do that from these
5 meetings.

6 I'm very complimentary of the process that
7 went on to get to this point, and of course Richard
8 Parker, I think, has done a wonderful job with the
9 negotiations. I'm impressed with the quads of
10 energy that actually were saved, because way back in
11 1991 I went to the first task force, Congressional
12 task force, where energy efficiency activities were
13 kicked off, and we struggled to find even the first
14 quad of energy savings back with the group as we
15 started out, so we made a tremendous progress in the
16 rulemakings that went in in 2007 and 2010, but
17 clearly we've got another big jump with what the
18 proposals are here.

19 Again, I think that from all of the
20 experience that I've had in this industry, that it
21 is a tremendous balance between the efficiency
22 savings that we all would like to see happen, and
23 the impact on the market place and on the players in
24 the market place, and the materials and so on. I
25 really believe that - and that's why I wrote such a

1 complimentary letter well deserved - that this is a
2 very, very excellent rule. I would certainly
3 propose that you stick at that rule. Thank you.

4 MR. BROOKMAN: Final remarks. Additional
5 final remarks? Yes, Steve Rosenstock.

6 MR. ROSENSTOCK: Steve Rosenstock, EEI.
7 Just another thing on the process, I also want to
8 thank DOE for having - doing more of these with
9 webinars. We have members from all over the
10 country, and I know that they appreciate being able
11 to listen in and see the slides, because it helps
12 them with some of their comments as well. You know,
13 budgets can be very tight, and this really allows
14 more participation, more stakeholder input, I
15 believe, so again, thank you for making that a
16 regular part of this process.

17 MR. BROOKMAN: Thank you. Anything else.
18 Okay, then, from my part, one of our traditions is
19 to distribute evaluation forms. The Department
20 very much wants to hear what you think about these
21 proceedings and how it can be improved. And
22 speaking for myself, I'd just like to thank you
23 all. This has been a very, very productive
24 meeting. People spoke plainly and directly to the
25 issues at hand. I'd also compliment the

1 negotiators. I always think of negotiation as a
2 good thing, and so there was a lot of effort, a
3 very compressed time period. I'd also, as a
4 consultant that works all over the federal sector,
5 I'd like to acknowledge DOE's leadership. It's not
6 easy for them to do things differently, and they
7 deserve a lot of credit for giving this a chance
8 and so, I will turn it back then to Jim Raba for
9 closing remarks and my thanks to all of you, safe
10 travels.

11 MR. RABA: Well thank you, Doug, for being
12 our facilitator for today. It's been a very
13 productive and challenging meeting with the fire
14 drill in between, but still you got it done, and we
15 appreciate that, and thank you who participated
16 throughout this process. Very thoughtful
17 participation, and remember at this NOPR stage
18 we've just gone through, or going through now, it's
19 a Notice of Proposed Rulemaking, not a Notice of
20 Perfect Rulemaking. You have offered many good
21 comments, very helpful comments. We're not
22 perfect, but we all believe, I think, this has been
23 the best part of the NPR: "negotiated proposed
24 rulemaking," and you worked in good faith
25 throughout. It's been most worthy. Now we look

1 towards a final rule, maybe an NPR - nearly perfect
2 rulemaking, and thank you very much.

3 (Whereupon, at 3:30 p.m., the meeting in
4 the above captioned matter was adjourned.)

5

6

7

8

9

10

11

12

13

14

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings
before:

U.S. DEPARTMENT OF ENERGY

In the Matter of:

**PUBLIC MEETING ON ENERGY CONSERVATION STANDARDS
PROPOSED RULEMAKING FOR DISTRIBUTION TRANSFORMERS**

Were held as herein appears and that this is the
original transcript thereof for the file of the
Department, Commission, Board, Administrative Law
Judge or the Agency.

Further, I am neither counsel for or related to
any party to the above proceedings.

Debra Derr

Official Reporter

Dated: February 28, 2012