

UNITED STATES OF AMERICA

DEPARTMENT OF ENERGY

**PUBLIC MEETING ON ENERGY CONSERVATION STANDARDS
FOR WINE CHILLERS AND MISCELLANEOUS REFRIGERATION
PRODUCTS**

U.S. Department of Energy
1000 Independence Ave., SW
Washington, D.C. 20585
Room SE-089 Review Center

Thursday
February 22, 2012

Facilitator:

Doug Brookman
Public Solutions
Baltimore, MD

Participants Identified:

Charlie Hon
True Manufacturing

Joanna Mauer
Appliance Standards Awareness Project

Jen Cleary
Association of Home Appliance Manufacturers

Jon Wiener
Earthjustice

Steve Leybourn
Association of Home Appliance Manufacturers

Amanda Stephens
EPA

Bill Brown
GE Appliances and Lighting

Participants identified through Webinar:

Patrick Murphy
Director of testing and training
Refrigeration Service Engineers Society

Elizabeth Joyce
California Investor Owned Utilities

Steve Church
Whirlpool

Participants from DOE:

Michael Kido

Lucas Adin

John Cymbalsky

Participants from Consultants:

Detlef Westphalen
Navigant Consulting

Kenneth Nsofor
Navigant Consulting.

Jeff Greenblatt
Lawrence Berkeley National Lab

Erin Claybaugh
Lawrence Berkeley National Lab

Greg Rosenquist
Lawrence Berkeley National Lab

Presenters:

Lucas Adin

Detlef Westphalen

Michael Kido

Jeff Greenblatt

Kenneth Nsofor

AGENDA

<u>ITEM</u>	<u>PAGE</u>
Welcome, Doug Brookman	5
Introductions	5
Agenda Review, Doug Brookman	6
Introductory Remarks	9
Regulatory History overview, Mr. Adin	10
Scope of coverage, Mr. Westphalen	15
Rulemaking overview, Mr. Westphalen	61
Test Procedures, Mr. Westphalen	65
Market Assessment, Mr. Nsofor	70
Technology Assessment, Mr. Nsofor	78
Engineering Analysis, Mr. Nsofor	82
Markup Analysis, Energy Use Analysis, Life Cycle Costs and Payback Period Analysis, Mr. Greenblatt	87
Shipments Analysis, Mr. Greenblatt	104
National Impact Analysis, Mr. Greenblatt	109
Market Impact Analysis, Mr. Nsofor	111
Plans for NOPR Phase, Mr. Greenblatt	113
Closing Remarks	115

1 P R O C E E D I N G S

2 MR. BROOKMAN: Good morning everyone and
3 welcome. This is the U.S. Department of Energy's
4 public meeting on Energy Conservation Standards for
5 Wine Chillers and Miscellaneous Refrigeration
6 Products.

7 Today is February 22, 2012 here in the
8 Forrestal Building in Washington, D.C. Glad you could
9 join us. Thanks for being here for an early start on
10 the day. My name is Doug Brookman from Public
11 Solutions in Baltimore. It's our tradition to start
12 off with introductions around the room. I'll start
13 over here, please. Say your name and organizational
14 affiliation. Most of you are used to turning on
15 these microphones. Please do so.

16 **Introductions**

17 MR. HON: Charlie Hon, True Manufacturing.

18 MR. GREENBLATT: Jeff Greenblatt, Lawrence
19 Berkeley National Lab.

20 MS. CLAYBAUGH: Erin Claybaugh from Lawrence
21 Berkeley National Lab.

22 MS. MAUER: Joanna Mauer, Appliance
23 Standards Awareness Project.

24 MR. BROWN: Bill Brown, GE Appliances and
25 Lighting.

1 MS. CLEARY: Jen Cleary, Association of Home
2 Appliance Manufacturers.

3 MR. LEYBOURN: Steve Leybourn, Association
4 of Home Appliance Manufacturers.

5 MR. NSOFOR: Kenneth Nsofor, Navigant
6 Consulting.

7 MR. KIDO: Michael Kido, DOE.

8 MR. ADIN: Lucas Adin, DOE.

9 MR. WESTPHALEN: Detlef Westphalen, Navigant
10 Consulting.

11 MS. STEPHENS: Amanda Stephens, EPA.

12 MR. BROOKMAN: Thank you. So, glad you
13 could join us. Once again, thanks for being here.
14 Many of you, perhaps most of you are familiar with
15 these proceedings. I'm going to do a brief agenda
16 review.

17 **Agenda Review**

18 You received a packet of information when
19 you came in the door that included the agenda and the
20 PowerPoint slides that would be the basis for both
21 presentation and discussion as we go on today.
22 Immediately following this agenda review, there's an
23 opportunity for anybody that wishes to do so to make
24 opening remarks, brief, summary statements about
25 issues that matter to you, particularly those that you

1 wish to have discussed fully during the course of the
2 day

3 Immediately following that, we will have a
4 regulatory history overview by Lucas. We will move
5 from there to a description of scope. And we'll take
6 a mid-morning break, round about 10:30 or so.
7 Immediately following the break, a rulemaking overview
8 and framework and test procedure description. Of
9 course all of these content areas provide an
10 opportunity for discussion and comment. Following
11 that, market technology assessment, screening and
12 engineering analysis.

13 We'll take lunch midday, round about 12:15
14 or so. Following lunch, markups, energy use, life-
15 cycle cost and payback period analyses; followed by
16 shipments and national impact analyses, manufacturing
17 impact analysis, NOPR analyses. And then we are
18 guessing that we'll be finished some time after two
19 o'clock, 2:30 or so this afternoon. There's yet
20 another opportunity for anybody to raise additional
21 issues, additional comments that they'd like to make
22 at the close.

23 So that's the agenda as written. Any
24 questions and comments? You'll also note there are
25 many individuals who have joined us via the web. How

1 many do we have via the web? Fifteen. Okay, welcome
2 to those joining by the web. The Department of Energy
3 is trying hard to make these meetings accessible and
4 productive, both, and so what we're going to try to do
5 today is - GoToMeeting is the software vehicle, right?
6 Most of you who have joined us via the web, we'll try
7 to provide - we're going to try it - an opportunity
8 for you to raise questions and comments during the
9 course of the meeting. Our webmaster, Emily, is going
10 to be cueing individuals to ask questions and those of
11 you that are joining us via the web, please keep your
12 phones on mute so we don't get feedback here in the
13 system, because otherwise, it will kind of blast us
14 out here in the meeting room itself. Okay. So we'll
15 try to make that happen.

16 I will ask for your consideration. As you
17 can see, I've written up here what I think is not much
18 more than common sense and courtesy. Please speak one
19 at a time. Please say your name for the record each
20 time you speak. I will be cuing individuals by name
21 as best I can. I also wish to encourage follow on
22 comments. The back and forth is sometimes very useful
23 for the Department. There will be a complete
24 transcript of this meeting. We'll describe where you
25 can find the transcript a little later on.

1 If you can keep the focus here. Please turn
2 your cell phones on silent mode. Limit sidebar
3 conversations. You've already figured out how to turn
4 the microphones on and off with a little LED button,
5 and if you could be concise. Share the air time.

6 So, as we had said, now is an opportunity
7 for anybody that wishes to make brief summary
8 statements here, raise issues here at the outset.
9 Yes, please.

10 **Introductory Remarks**

11 MS. CLEARY: Jen Cleary from AHAM. In its
12 regulation of wine chillers, DOE should adopt or
13 harmonize with the existing Canadian and California
14 standards and test procedures for wine chillers.
15 There is no need to start from scratch by going
16 through an extensive analysis when appropriate
17 standards and test procedures are already in place.
18 In particular, we would make this comment with regard
19 to items 1-18, 3-2, 3-3, 5-1, 5-3, and 5-4.

20 In addition, DOE should reevaluate its
21 priorities and not focus on products with little
22 opportunity for energy savings when there are more
23 pressing matters before the Department. For example,
24 the battery charger rulemaking, the dishwasher
25 rulemaking, clothes washer rulemaking test procedure

1 correlation issues, just to name a few. In some
2 cases, in this rulemaking, DOE is going too far by
3 attempting to regulate products that have very low
4 volumes and/or use small amounts of energy annually.
5 We would make this comment particularly with regards
6 to items 1-11, 1-13, and 1-14.

7 MR. BROOKMAN: And again, you're speaking on
8 behalf of AHAM?

9 MS. CLEARY: Yes.

10 MR. BROOKMAN: And would you - the first
11 list, I know some individuals were writing furiously
12 as you - the first list, read the list again.

13 MS. CLEARY: Sure. 1-18, 3-2, 3-3, 5-1, 5-
14 3, and 5-4. And we'll comment on that throughout the
15 rest -

16 MR. BROOKMAN: Very good. That's a start.
17 Okay. Good. Thank you. Other comments here at the
18 outset? Nothing additional. Okay. So then let's go
19 to then the presentation slides. And we're going to
20 hear from Lucas.

21 **Regulatory History Overview**

22 MR. ADIN: Good morning, everyone. My name
23 is Lucas Adin. For those of you who don't know me,
24 I'm the product manager for residential refrigeration
25 products in DOE's Appliance Standards Program. And

1 I'm the general point of contact for these products,
2 so whether you have questions today or after today,
3 I'm the person that you can ask. My email address is
4 on this first slide, but then it's also on the very
5 last slide and my phone number as well, so if you have
6 questions after today, feel free to contact me.

7 Sorry, a minor technical difficulty here.
8 Okay. We're in business, sorry about that.

9 So just a few brief items. Actually we've
10 gone through most of this already. The meeting
11 agenda, Doug essentially went through those items
12 already. We've done some brief introductions, yes, we
13 did go around the table already, so you're the
14 facilitator, Doug, I didn't know if there were any
15 particular items you wanted to mention at this point.
16 Okay. I think we're good.

17 Ground rules, we've already gone over
18 essentially all those items, so -

19 MR. BROOKMAN: We've done that.

20 MR. ADIN: We've done that. Okay. The
21 purpose of today's meeting, this is the framework
22 meeting for residential wine chillers and
23 miscellaneous refrigeration products. So the purpose
24 of today's meeting is essentially to present the
25 analytical process that DOE would go through in the

1 course of evaluating potential energy conservation
2 standards for these products, determining what
3 products, specifically to cover and setting test
4 procedures for them.

5 I should point out that DOE is not actually
6 proposing anything today. What we are doing is laying
7 out our process and a basic overview of DOE's
8 understanding of these products as of today, our
9 understanding of the market, of the technical features
10 of these products and presenting a number of items
11 that we wish to collect more information about. So
12 it's both about how much do we know and how much we
13 wish to know more about.

14 So along those lines we also are looking for
15 comments. There some specific items that we'll be
16 asking for comment on and we also encourage
17 participants in today's meeting to ask questions or
18 make comments about any items you think we might be on
19 the wrong track about or that you think we might be
20 able to lend some more insight on.

21 So with regards to comments, you'll see
22 throughout the presentation today and throughout the
23 framework document itself, there are a number of items
24 on which DOE specifically requests comment, and those
25 are indicated by these comment boxes, and they are

1 identified by a number, so that helps us keep track of
2 what you're commenting on. So when you submit your
3 comments, please make sure to refer to them by the
4 number that's indicated in the document. I think
5 that's about all there is to say on that.

6 So with that, I will go on to a very brief
7 overview of the regulatory history. The authority
8 that the DOE has to set energy conservation standards
9 for residential and some commercial equipment was
10 established by the Energy Policy and Conservation Act
11 of 1975, which put into place the energy conservation
12 program for appliances and commercial equipment. DOE
13 didn't actually put into effect standards for
14 residential refrigerators at that time, although DOE
15 did establish test procedures shortly after.

16 The first energy efficiency standards for
17 residential refrigerators actually came into effect at
18 the federal level with the National Appliance Energy
19 Conservation Act of 1987, and those standards went
20 into effect in 1990, and then that Act also required
21 DOE to conduct rulemaking to determine if more
22 stringent standards were justified, which DOE did, and
23 those standards went into effect in 1993, and then a
24 subsequent rulemaking with a final rule published in
25 1997 put in the standards that went into effect in

1 2001. Those are the standards that are currently in
2 effect for residential refrigeration products. And
3 finally, the Energy Independence and Security Act of
4 2007 required DOE to conduct another rulemaking to
5 determine standards that would go into effect in 2014.
6 That rule was just published this past September. As
7 you can see at the bottom of the slide and those
8 standards, the compliance date for those is September
9 15, 2014.

10 Now the standards that are currently in
11 effect do not address wine chillers and smaller
12 refrigeration products. DOE, through a rulemaking, a
13 final rule published in 2001, modified the definition
14 of a refrigerator and refrigerator-freezer to
15 essentially cut off the coverage of these products at
16 39 degrees, so products that operate warmer than that
17 are not covered under the present standards. So this
18 rulemaking would address products that fall into that
19 category, and so DOE would have to write standards
20 specific to those types of products, and that's what
21 this rulemaking will address.

22 So with that we get into some more specific
23 issues related to the scope of coverage, and I will
24 turn this presentation over to Detlef Westphalen from
25 Navigant Consulting who will discuss scope of

1 coverage.

2 **Scope of Coverage**

3 MR. WESTPHALEN: Thanks, Lucas. So EPCA
4 provides some scope-related criteria in its
5 description of refrigeration products that are
6 covered, specifically excluding those designed solely
7 for use in recreational vehicles and other mobile
8 equipment and this particular section, 6292(A)(1),
9 addresses refrigerators and it has some scope-related
10 criteria such as they can be operated on alternating
11 current electricity and the coverage scope excludes
12 types designed to be used without doors, and also any
13 type which does not include a compressor and condenser
14 as an integral part of the cabinet assembly.

15 Now, through its initial stages, thinking
16 about consideration of wine chiller rulemaking, DOE
17 essentially went through the thought process of, okay,
18 what kind of authority does DOE have and concluded
19 that it has the authority to modify the current
20 refrigerator definition which is in 10CFR430.2, to
21 include wine chillers and similar products. This
22 authority, however, does not cover products that don't
23 use the compressor and condenser as an integral part
24 of the cabinet assembly as required by the EPCA
25 provision. Specifically, some of the products that

1 were identified in some of the preliminary
2 investigation were thermoelectric wine chillers, and
3 also absorption wine chillers.

4 DOE does have the authority to extend
5 coverage to new products, and simply establishing
6 coverage over new products requires that these
7 products have a minimal annual per household energy
8 use of 100 kilowatt hours.

9 To further set an energy efficiency standard
10 for a newly covered product, there are two key
11 criteria:

- 12 • The first is higher annual kilowatt hour usage
- 13 bar, at 150 kilowatt hours;
- 14 • National annual energy use of 4.2 billion
- 15 kilowatt hours.

16 So if the national energy use does not
17 exceed the 4.2 billion, DOE would be authorized to
18 establish coverage but not efficiency standards
19 potentially, for these other types of products, the
20 thermaoelectric and the absorption type of wine
21 chillers. And coverage alone, without setting a
22 national standard would obviously preempt the state
23 standards, for instance, the California standard for
24 wine chillers, which does cover the thermoelectric and
25 other types of products.

1 Also regarding the thermoelectric and
2 absorption, you may be aware that DOE published
3 proposed coverage determination on November 8th,
4 essentially starting to set the stage and start the
5 discussion on this particular topic.

6 I referred to California standards. There
7 are existing state and foreign standards, particularly
8 California and Canada. The regulations for these
9 entities address two product classes, automatic
10 defrost wine chillers and manual defrost wine
11 chillers, and the California standards don't make a
12 distinction with regard to the technology used, for
13 instance, thermoelectric, vapor compression, et
14 cetera.

15 This last statement here was true when the
16 initial investigation was conducted, that DOE was not
17 able to identify any thermoelectric wine chillers in
18 the CEC database, leading us to believe that either
19 these units did not meet the standards or that
20 manufacturers aren't aware that they're covered.
21 However, more recently, a few thermoelectric products
22 have been identified on the CEC list.

23 So now we get into scope. I'm going to be
24 presenting on scope of coverage. I'll also be, after
25 the break, talking about the rulemaking overview and

1 also test procedures, but why don't we move forward
2 with the scope discussion.

3 As mentioned, EPCA has some requirements for
4 what criteria need to be met for DOE to establish
5 coverage, and so DOE considered these options listed
6 here which fit into the framework of the authority.
7 The first option being to establish coverage and
8 standards for vapor compression wine chillers through
9 the existing authority for residential refrigeration
10 products by changing some of the definitions in 430.2.
11 Then, obviously, some sub-options within this option
12 to be either to pursue coverage of the alternative
13 technology products or not to. The other option DOE
14 considered was to lump all the wine chillers into one
15 new category and try to establish new coverage for
16 those products. At this point DOE is tentatively
17 considering option 1A, and I mentioned the proposed
18 coverage determination for the alternative technology
19 products previously.

20 So at this point we have our first request
21 for comment, and it addresses two key issues here,
22 number one, would there be any other options that DOE
23 has? Obviously, one would be not to pursue any kind
24 of coverage at all, but are there any other positive
25 coverage options that DOE has and what are the

1 comments or feedback with regard to the option 1A?

2 MR. BROOKMAN: Please introduce yourself.

3 MR. WIENER: Jon Wiener with Earth justice.

4 MR. BROOKMAN: Did you turn the microphone
5 on? Yes, thank you. Jon.

6 MR. WIENER: We had some concerns about
7 DOE's conclusion or perhaps tentative conclusion that
8 it did not have authority to include vapor compression
9 wine chillers in a new category, if it was going to
10 extend coverage to thermoelectric wine chillers, that
11 it could not include vapor compression wine chillers
12 in that product category. Is that still DOE's - am I
13 accurately conveying that decision?

14 MR. WESTPHALEN: Maybe I didn't make things
15 clear. DOE does have the authority to establish new
16 product categories, and they could establish a new
17 product category that includes thermoelectric and
18 absorption wine chillers.

19 MR. WIENER: And vapor compression wine
20 chillers? I believe the framework document said that
21 vapor compression wine chillers could not be included
22 in a new product category because they're already
23 covered products under EPCA.

24 MR. WESTPHALEN: DOE felt that because the
25 EPCA authority for residential refrigeration products,

1 refrigerators, refrigerator-freezers, and freezers,
2 already can be extended to cover vapor compression
3 wine chillers, that it wouldn't be appropriate to pull
4 those out of that authority and put them into
5 authority for a new product.

6 MR. WIENER: Well, we - we disagree with
7 that assessment. We think that the Department does
8 have authority to do that because the framework
9 document said those products are already covered,
10 whether or not DOE has authority to extend coverage to
11 them by changing the regulatory definition of
12 refrigerator, the definition of refrigerator currently
13 does not cover those products. They're not
14 refrigerators as far as either the regulation or the
15 statute is concerned, because the regulation construes
16 the statutory term refrigerator, therefore they're not
17 covered right now, and I think the Department could go
18 either way with it, and our perspective is that if it
19 helps the Department make the determination that
20 national energy consumption for all wine chillers
21 meets the 4.2 billion threshold, then we'd prefer that
22 DOE consider including vapor compression wine chillers
23 along with other types of wine chillers in a new
24 product category.

25 MR. WESTPHALEN: Okay. That was essentially

1 option 2, that DOE entertain the possibility of
2 lumping them all together because if you used
3 thermoelectric and absorption, maybe you only get to
4 three billion kilowatt hours, and then if you add the
5 vapor compression, maybe you get to 4.2. I guess
6 that's the point of your comment.

7 MR. WIENER: Yes, and we - I just want to be
8 clear that we think the Department has the legal
9 authority to do that.

10 MR. BROOKMAN: So, Jon, you are relatively
11 new to these proceedings -

12 MR. WIENER: Yes.

13 MR. BROOKMAN: So the Department would
14 really like to see that in great detail in writing, of
15 course.

16 MR. WIENER: We're happy to provide that.

17 MR. BROOKMAN: Yes, thank you. Charlie.

18 MR. HON: I have a simple question. You
19 keep making reference to alternating current systems.
20 The danger of that statement can be very serious,
21 because thermoelectrics inherently, by their nature,
22 are DC current items. They have to put in a sensor or
23 transformer to convert AC to DC, but you could
24 potentially exclude products by hooking a battery
25 system through them and charging a battery and then

1 running the battery into that, which is common in sump
2 pumps and items like that, and thereby exclude
3 products from the coverage.

4 MR. KIDO: Just a real quick follow up
5 question to that -

6 MR. BROOKMAN: Michael Kido.

7 MR. KIDO: -- does that mean that those
8 products are operating off of something like a lead
9 acid battery, or are they being - are they plugged
10 into AC mains?

11 MR. HON: They can operate off a battery,
12 which is common in the transport cooler systems, which
13 run off the car battery. But you could be charging a
14 battery and then feeding the battery as your power
15 source, and making a DC system which then would be
16 excluded from the standard.

17 MR. BROOKMAN: Lucas.

18 MR. ADIN: Just as a point of clarification.
19 This is actually an issue we're going to get to a
20 little bit later in the presentation. But DOE does
21 have the authority to potentially include those
22 products if it so chooses, it's just a matter of
23 redefining its regulatory coverage, but that's
24 something we'll discuss a little bit later. Thanks.

25 MR. BROOKMAN: Joanna.

1 MS. MAUER: Joanna Mauer. So in any
2 potential determination of coverage, either with
3 option 1A, just focusing - either option 1A or option
4 2, we'd encourage DOE, in addition to the
5 thermoelectric and absorption products, to also
6 consider additional products such as thermoelectric
7 compact refrigerators and refrigerators that use vapor
8 compression refrigeration system, but where the
9 compressor and condenser are not integral to the
10 cabinet, so just to consider to those products in
11 addition to the thermoelectric and absorption wine
12 chillers.

13 MR. BROOKMAN: Thank you. So you see the
14 comment box, and so additional comments on the
15 coverage options? Anything else?

16 MR. WESTPHALEN: We have some additional
17 requests here, more requests for data and information,
18 perhaps more appropriately for written comments.
19 First of all, DOE requests shipment information from
20 stakeholders for wine chillers and related
21 refrigeration products with segregation of the data,
22 if possible, to help us understand what types of
23 products are involved. Also DOE requests energy use
24 data for wine chillers and related refrigeration
25 products, and this less to the vapor compression

1 products for which the CEC and Canadian databases have
2 good information, but it applies more to the other
3 products, other technologies, such as thermoelectric
4 and absorption.

5 MR. BROOKMAN: We're just going to leave
6 these comment boxes there for a moment so you can read
7 through it. No comments at this time. Okay.

8 MR. WESTPHALEN: Okay. We have one slide
9 here which provides a series of definitions. I'm not
10 going to go through and explain each - this is just
11 sort of to set the groundwork of the discussion for
12 this presentation. But if anybody has any questions
13 about what we have here, certainly feel free to ask.

14 Definition for wine chiller. DOE is
15 considering adopting the following definition for wine
16 chiller. Very similar to the definition for
17 refrigerator - electric refrigerator. "A cabinet
18 designed for the refrigerated storage of beverages,
19 non-perishable foods, and/or any other items. Not
20 designed to be capable of achieving storage
21 temperatures below 39, and having associated
22 refrigeration requiring single phase AC electric
23 energy input."

24 Then also, the definition for refrigerator
25 would be modified to include both electric

1 refrigerator and electric wine chiller. We also have
2 a point here that DOE considered whether wine chillers
3 is the appropriate term for these products, you know,
4 since there may be other products such as beverage
5 coolers and such products, and the term wine chiller
6 may be a little bit misleading, focusing people to
7 think just about wine chillers, i.e., products for the
8 storage of wine.

9 MR. BROOKMAN: So I didn't think you were
10 quite finished. You were close on this slide.

11 MR. WESTPHALEN: I think I was finished with
12 this slide, the third bullet just addresses whether
13 wine chiller is the appropriate term for these
14 products.

15 MR. BROOKMAN: Yes, I thought I saw a few
16 grimaces around the room. Yes. Is it Bill?

17 MR. BROWN: Yes, this is Bill Brown, GE
18 Appliances and Lighting. If you're going to include
19 all products that are above 39 degrees, wine chiller
20 is not the proper term to use any more. Now you've
21 got wine chillers, you've got what they call in the
22 industry, the beverage centers, so it's basically
23 you've got two sets of products, those that can
24 achieve 39 degrees and below, and those that cannot.
25 So if you had a term that more accurately said that,

1 if I'm thinking wine chiller, I'm still thinking the
2 Canadian definition, design and marketed exclusively
3 for the storage of wine, and obviously this is not the
4 type of product you're going after here.

5 MR. BROOKMAN: And so you would recommend
6 another term which would be?

7 MR. BROWN: Another term, I don't know -
8 warmer than 39 degree refrigerators. You've got less
9 than or equal to 39, and greater than 39.

10 MR. BROOKMAN: My short term memory is still
11 working and you said beverage centers a few moments
12 ago -

13 MR. BROWN: That's what we call them in the
14 industry, a beverage center, so basically what you see
15 in the industry today, you see like a glass door
16 appliance that looks like a refrigerator. It just
17 can't get below 39.

18 MR. BROOKMAN: Okay. Other comments on this
19 definition stuff here? So we also want to encourage
20 wide participation, we have a question or a comment
21 from Patrick Murphy, the director of testing and
22 training at the Refrigeration Service Engineers
23 Society. Patrick, you're on the line.

24 MR. MURPHY: Is that better?

25 MR. BROOKMAN: That's okay.

1 MR. MURPHY: The SNAP program just approved
2 new refrigerants...

3 MR. WESTPHALEN: Yes.

4 MR. MURPHY: Can you hear me?

5 MR. BROOKMAN: We can hear you, yes.

6 MR. MURPHY: The SNAP program just approved
7 new refrigerants - propane, isobutene, blends - and
8 I'm wondering if that's something considered in these
9 standards - they're all more efficient.

10 MR. WESTPHALEN: Yes, that might be true,
11 that's a topic for the engineering or the technology
12 assessment in identifying the potential technologies
13 that could improve efficiency. Most of those new
14 refrigerants would be used in products that have vapor
15 compression refrigeration systems, so whether they use
16 HFC, 134A, or isobutane or what have you, they would
17 still be considered vapor compression products.

18 MR. BROOKMAN: But in any event we'll be
19 picking that up later?

20 MR. WESTPHALEN: We'll be picking that up
21 later, yes.

22 MR. BROOKMAN: We'll save it for later.

23 MR. MURPHY: Thank you.

24 MR. BROOKMAN: Thank you, Patrick. Okay.

25 Any other comments in this definition segment because

1 we're about to move on? Okay.

2 MR. WESTPHALEN: Okay. Now also related to
3 definitions, DOE is considering modifying the
4 definition of compact products to specifically include
5 compact wine chillers, because most of these products
6 are within the compact range, and DOE is considering
7 this in order to make clear that they're not separate,
8 standard size and compact size wine chillers or
9 whatever term will be used to cover the warmer than 39
10 products.

11 So now we have requests for comments about
12 all of these definitional items. I think we already
13 talked about the request for comment on the suggested
14 definition for wine chiller, however, we're also
15 requesting comment on the modified definitions for
16 refrigerator and compact products.

17 MR. BROOKMAN: Questions and comments here.
18 Bill. Pardon me, Jon.

19 MR. WIENER: Jon Wiener from Earthjustice.
20 Our concern, again, is that the definition be written
21 broadly enough so that it doesn't exclude too many
22 products, including some of the products that Joanna
23 mentioned earlier. Several electric refrigerator-
24 freezers that maybe do get down below 39 degrees, but
25 are excluded from the statutory definition of

1 refrigerator-freezer, or other types of refrigerators
2 that might be excluded either by the statute, or might
3 not be covered under the current regulatory
4 definition. Obviously, that'll depend on how many
5 products you decide to group together in the final
6 analysis.

7 MR. BROOKMAN: Okay. Thank you. Additional
8 comments on these two comment boxes, 1-4, 1-5,
9 modified definitions? Also product category-related
10 comments.

11 MR. WESTPHALEN: The request 1-5 addresses
12 the issue that we already alluded to regarding a new
13 term that might include wine chillers and the beverage
14 centers. You know, one part of this request for
15 comment is whether anybody has any specific terms that
16 they think would be good for that, and certainly we
17 welcome any suggestions.

18 MR. BROOKMAN: Nothing's emerged on the
19 industry side, then? Amanda. Pardon me, Jen.

20 MS. CLEARY: Jen from AHAM. We may have
21 some suggestions on the definition but we're still
22 working on the specifics, so we'll provide them in our
23 written comments.

24 MR. BROOKMAN: Thank you. Okay. Then
25 nothing additional?

1 MR. WESTPHALEN: Now we move on from the
2 wine chillers to hybrid products. As some of you are
3 aware, during the refrigerator rulemakings, DOE became
4 aware of products that include wine storage with fresh
5 food compartments, or fruit compartments, or freezer
6 compartments, and initially there was some confusion
7 about coverage of these products. About a year ago,
8 DOE published a guidance document clarifying its
9 position. In that document, DOE acknowledged that
10 there's still some outstanding issues in regard to
11 that understanding of hybrid products, and that it's
12 considering a rulemaking to address them, and so
13 potentially, this would be that rulemaking.

14 So, this slide lays out a potential
15 framework for addressing the hybrid products.
16 Potentially, DOE would establish a certain threshold
17 size for a wine storage compartment within a
18 conventional refrigeration product, you know, at which
19 point the particular product would no longer be a
20 refrigerator, refrigerator-freezer, or freezer, and
21 would instead be a hybrid product or whatever term
22 would be used to define these. Then there would be
23 definitions established for these hybrid products.

24 And then test procedures would be developed
25 for those products that remain within the

1 refrigerator, refrigerator-freezer and freezer
2 categories, to clarify what one does when testing such
3 products with the wine storage compartment. Test
4 procedures and standard would then potentially be
5 developed also for the hybrid products.

6 So first, DOE requests general comments on
7 this draft framework for addressing products that
8 include the wine storage compartments with fresh food
9 or freezer compartments.

10 MR. BROOKMAN: Comments? Jen.

11 MS. CLEARY: Jen from AHAM. Yeah, I think
12 we've commented on this before on the guidance but,
13 you know, our opinion is that the approach that DOE's
14 guidance took and in the final rule is inequitable
15 with regard to hybrid products, as it's arbitrary to
16 treat, that freezers and wine chillers are not
17 covered, but refrigerators and refrigerator-freezers
18 with wine chillers are covered. And even DOE has
19 recognized this disparity of treating these products
20 that way, and the result is that the guidance and the
21 final rule unfairly incorporated the products into
22 regulation without an appropriate rulemaking to
23 address them. This is further demonstrated by the
24 fact that these issues are now being addressed, when
25 we've already got these products essentially covered

1 but there are no test procedures, no definitions, et
2 cetera, so we're very concerned about that situation.
3 And our concern that DOE is now attempting to fill the
4 holes that it left in its previous rulemaking with
5 this one, you know, all wine chillers, including the
6 hybrid products, should be addressed during this
7 rulemaking, including the coverage of those products.
8 And I think our question for the General Counsel's
9 office is, you know, how was this evaluated, just in
10 terms of the APA, for example, the fact that these are
11 covered in the previous rulemaking and now really, the
12 technical details that need to exist and be dealt with
13 are only being handled now.

14 MR. BROOKMAN: Michael Kido.

15 MR. KIDO: Michael Kido. I'm not going to
16 comment in any detail on that, but I think it's fair
17 to say that DOE does recognize that there are some
18 limitations to the approach that was laid out in the
19 February 2011 guidance, and I think that, as you
20 observed, this effort, assuming that we do go to
21 rulemaking on it, would be an attempt to try to more
22 comprehensively address those types of products. So,
23 as a practical matter, with respect to the definitions
24 that are already in place, the way that those
25 definitions are set out in the regulations, I think we

1 explained in the guidance as well as the final rule
2 notice, what our rationale was for the difference in
3 treatment. So we're already on the record as to our
4 position on that matter.

5 MR. BROOKMAN: Thank you. Jen.

6 MS. CLEARY: Thank you. That's all.

7 MR. BROOKMAN: Joanna.

8 MS. MAUER: Joanna Mauer. I think we would
9 encourage the Department to set standards that are
10 similar in stringency across some of these product
11 types, taking into account that the measured energy
12 use of the hybrid product will be different than the
13 measured energy use of a refrigerator without a wine
14 storage compartment, and it looks like this draft
15 framework allows the Department to do that, to account
16 for the specific characteristics of some of these
17 products.

18 MR. BROOKMAN: Okay. Additional comments?

19 MR. WESTPHALEN: So additional requests for
20 comments and information. DOE seeks information
21 regarding the types and configurations of the products
22 that might need to be considered under this framework
23 described for hybrid products, including examples
24 showing product details and information on annual
25 shipments associated with such products. We should

1 say that DOE has published a document listing the
2 results of some of its research into which hybrid
3 products are on sale in the U.S. market, and that's
4 actually in the docket for the refrigerator test
5 procedure rulemaking, and that's something that maybe
6 we should make available to people so that, you know,
7 as they respond to this question in written comments,
8 they don't duplicate the list, but rather add to it.

9 MR. BROOKMAN: It isn't available now?

10 MR. WESTPHALEN: It is available now. It is
11 in the refrigerator test procedure rulemaking docket-
12 I just don't have the link to it handy here at the
13 moment. Maybe we could try to find that and provide
14 it after lunch or something.

15 MR. BROOKMAN: And did you address 1-9?

16 MR. WESTPHALEN: I didn't get to all of
17 these here. 1-8 addresses whether there should be a
18 threshold size or percentage of total volume, which
19 then pushes a product into the hybrid category, and
20 what should that be? How should it be set up? And
21 then DOE seeks comment on what kinds of test procedure
22 revisions would be required to address these products,
23 whether they remain within the current definitions or
24 get pushed into the future hybrid categories.

25 MR. BROOKMAN: We've already had some

1 discussion on different types of - different
2 configurations and types that would be included in the
3 hybrid category. Additional comments on these three
4 boxes? Jon.

5 MR. WIENER: Thanks. Jon Weiner,
6 Earthjustice. Is DOE considering hybrid products as a
7 sub-category of refrigerators? Am I understanding
8 that, or would this be a sub-category of whatever new
9 product category, or whatever we would call the new
10 product category?

11 MR. WESTPHALEN: The products with, if you
12 will, small wine storage compartments that remain
13 under the definitions for refrigerator or
14 refrigerator-freezer, obviously would still be covered
15 under the existing authority and regulations. The
16 products that then push into a hybrid category, you
17 know, it would be up to DOE to decide whether, okay,
18 should those be lumped in with a new product category
19 including all wine chillers, or - because of the
20 typical characteristics of the products that DOE has
21 identified that fit this hybrid definition, they
22 should be coverable under the EPCA authority, so that
23 DOE could set up definitions within 430.2 to extend
24 coverage to them. But it's not clear at this point
25 what will be done.

1 MR. WIENER: You mean because they normally
2 have compressors?

3 MR. WESTPHALEN: They have compression
4 systems, they have doors that close, they run on AC
5 electricity, yeah.

6 MR. WIENER: Well, I'll make sure to put
7 this in written comments, but just to repeat myself,
8 we do believe that DOE has the authority to put that
9 subcategory into - or count those products towards the
10 national energy consumption for a new product category
11 as well.

12 MR. WESTPHALEN: Okay.

13 MR. WIENER: They don't have to be
14 refrigerators or refrigerator-freezers.

15 MR. BROOKMAN: Okay. Thank you. So several
16 comment boxes here. Additional comments on threshold
17 size or percentage of total volume? Types of hybrid
18 product categories? And also test procedure
19 revisions. Nothing additional.

20 MR. WESTPHALEN: Okay. Item 1-10
21 specifically addresses whether this action here should
22 incorporate these hybrid products into our rulemaking.
23 Really, a very specific question, and then Item 1-19,
24 specifically asks for comment on the compartments
25 themselves, you know, whether they be wine storage

1 compartments, maybe they should have a different term.
2 The Australian/New Zealand test procedure, for
3 instance, calls these something like cellar
4 compartments. What the request for comment there asks
5 for information regarding definition and
6 characteristics of these warmer temperature
7 compartments.

8 MR. BROOKMAN: No strong feelings about this
9 yet. Okay. Joanna.

10 MS. MAUER: Joanna Mauer, just I think it
11 makes sense to include hybrid products as part of this
12 rulemaking. I don't know much about this market, but
13 I would guess that these products may become more
14 common in the future, so it makes sense to adjust them
15 and develop appropriate test procedures and standards
16 for these products.

17 MR. BROOKMAN: Additional comments?

18 MR. WESTPHALEN: Okay. So here we sort of
19 extend the scope of view to think about other types of
20 residential refrigeration products that haven't been
21 discussed already and have not yet been covered. The
22 framework document gets into some details on these,
23 for example, residential ice makers, and so-called
24 near-freezers. And so DOE requests comment on whether
25 any other residential refrigeration products that

1 should be considered as part of a potential rulemaking
2 as we move forward here.

3 MR. BROOKMAN: You see the comment box -
4 yes, Jon.

5 MR. WIENER: John Wiener again. Just want
6 to repeat something Joanna mentioned earlier. The one
7 product that I noticed that wasn't mentioned in the
8 framework document was a product that AHAM and
9 Earthjustice submitted comments on in response to the
10 proposed determination, and those are refrigerators
11 that have compressors and condensers and fit all the
12 definitions of the regulatory and statutory - all the
13 provisions of the statutory and regulatory definitions
14 except the compressor is located on top of the unit
15 instead of as a part of the cabinet, and it's
16 removable. I don't know if there's a neat way of
17 writing a definition of whatever new product category,
18 whatever we're going to call it, that incorporates
19 both wine chillers and those products, but it's
20 something that we would like the Department to pay
21 attention to, because we think it's a loophole in the
22 current regulatory scheme.

23 MR. BROOKMAN: Thanks.

24 MR. BROWN: Bill Brown with GE. I would
25 have a question of why would that product would not be

1 covered today. I don't see anything in the standards
2 thing that it has to be permanently attached to the
3 refrigerator, be part of the cabinet. I do know that
4 in the ISO documents for international refrigeration,
5 that in order for it to be covered in Europe it has to
6 be built in a factory. It can't be pieced together in
7 someone's home. Do not see that for the U.S.

8 MR. KIDO: Michael Kido, DOE. My
9 understanding of -

10 MR. BROOKMAN: Michael, get close to the
11 microphone, please.

12 MR. KIDO: My understanding of Jon's
13 comment, though, refers to a product where the
14 compressor is not integral to the cabinet, is that
15 right?

16 MR. WIENER: Yeah.

17 MR. KIDO: Right. So if that's the case,
18 under the statutory definition that we're currently
19 dealing with, with that particular product, there's
20 some question as to whether that would actually be
21 within our scope of coverage right now. That's
22 something we can add later on as part of that coverage
23 rulemaking that we've got going on, but right now that
24 doesn't seem to be something that's within the scope
25 of coverage that EPCA sets out for us.

1 MR. BROOKMAN: Bill.

2 MR. BROWN: You said two things there. You
3 said you weren't sure, and then you said it was not
4 covered. So which is it? Is it you're definitely 100
5 percent sure this is not a covered product, or you're
6 still determining whether it's a covered product?

7 MR. KIDO: Michael Kido. My understanding
8 is, if this particular product has a compressor that's
9 not integral to the cabinet assembly, which is one of
10 the key components of the scope of coverage that's
11 laid out in statute, we don't have coverage under that
12 provision. With respect to our ability to extend
13 coverage as a part of the separate coverage
14 determination that we've got going on, we could get
15 coverage that way.

16 I guess to put it in another way, our
17 authority does not extend coverage to products in
18 which the compressor and condenser are not an integral
19 part of the cabinet assembly. And the question to be
20 answered is what does it mean to be an integral part
21 of the cabinet assembly. And that issue has not been
22 definitively decided.

23 MR. BROOKMAN: So that would be commentary
24 that would be useful for the Department. Charlie.

25 MR. HON: Charlie Hon. This is something

1 that's been in the commercial end of the business for
2 a long time. Basically, it is designed so that the
3 unit can be serviced without pulling the entire box
4 out, just bring in a different compressor deck, drop
5 it on, a couple snap-on connectors and you're done.
6 And it's starting to trickle toward the residential
7 market, it looks like, but it's never been considered
8 as separate units in the commercial end of the
9 business. But there have been a few people that have
10 tried to make a common footprint which would allow a
11 much larger compressor to be dropped in place, thereby
12 modifying the unit, the internal volume ratio, which
13 could be a problem in the regulatory state, which
14 would be field modification. But there are also
15 companies who are proposing that decks be sold
16 separately to boxes, and then paired in the field.
17 And then you end up with a regulatory nightmare.

18 MR. KIDO: Michael Kido, DOE. Just to
19 follow up then. So are you saying then that these
20 particular products would have the compressor part of
21 what you would ordinarily consider to be part of the,
22 I guess, the cabinet?

23 MR. BROOKMAN: Or the enclosure?

24 MR. KIDO: Or the enclosure of the whole
25 product? Because I guess that's sort of - that

1 presents sort of, I guess, a different question
2 because we're not exactly - I don't know, I don't
3 think we've come up with a final determination as to
4 what the cabinet actually composes - is composed of.
5 Because if it's part of the enclosure, I suppose it
6 could be an argument that could be part of the cabinet
7 itself.

8 MR. ADIN: Lucas Adin, DOE. Related to that
9 is another question. Could the compressor, and I
10 suppose the condenser as well, as a component, be
11 located separately from the box? I mean that would
12 effectively make it a remote condensing type of
13 product, but is it required that units of this type
14 actually have that compressor-condenser component
15 physically attached to the box or could it actually be
16 located remotely?

17 MR. HON: It could technically -

18 MR. BROOKMAN: Charlie.

19 MR. HON: Charlie Hon. It could technically
20 be remote. There are very high end installations
21 where customer refrigeration is done where people do
22 not wish to hear the noise going on in the compressor
23 activity, in which case it's a very expensive
24 installation, and very, very, very rare to see such a
25 beast ever built. Because effectively you're

1 building a pure custom unit.

2 MR. BROOKMAN: It's a custom piece.

3 MR. HON: Yes. The other part of the beast
4 is, in the commercial end, it is quite common to sell
5 a unit where you snap on a deck which includes
6 compressor, evaporator and condenser, and fan. So you
7 just literally unplug it from the junction box, two or
8 three screws, lift it off. The box maintains as is,
9 put a different compressor deck in place, and it's
10 ready to go. There are customers who ask for boxes
11 alone, and would like to have a common deck crossing
12 multiple product lines which they can then screw on as
13 they feel the need. That could allow for major
14 differences in compressor horsepower.

15 MR. BROOKMAN: Is that a common application?
16 That plug-on to the top of the box?

17 MR. HON: It is becoming more common every
18 day. Five years ago, it was non-existent.

19 MR. BROOKMAN: We'll let Michael Kido follow
20 up.

21 MR. KIDO: Just a real quick question. Now
22 you said those types of applications are becoming more
23 and more common. Are they more common in the
24 commercial context, or are they becoming more common
25 in the residential complex?

1 MR. HON: At this time I've not seen them in
2 the residential, but the technology is well known.

3 MR. BROOKMAN: Bill, you want to -

4 MR. BROWN: No, no question.

5 MR. BROOKMAN: Okay. Thank you. That was
6 good. That was useful. Joanna.

7 MS. MAUER: Joanna Mauer. So you mentioned
8 thermoelectric compact refrigerators before, and I
9 know DOE has raised a concern with wine chillers, but
10 if there are only standards on vapor compression
11 products and not thermoelectric products then there
12 could potentially be a market shift from the vapor
13 compression to thermoelectric products and it seems
14 like there could be a similar concern in the compact
15 refrigerator market. So we'd encourage DOE to include
16 thermoelectric compact refrigerators in any
17 determination of coverage.

18 MR. BROOKMAN: Jen.

19 MS. CLEARY: We would reiterate our comment
20 from the opening statement that DOE should be
21 refocusing its priorities, you know, not addressing
22 products that have little opportunity for energy
23 savings when there are more pressing matters before
24 the Department.

25 MR. BROOKMAN: Thank you. Additional

1 comments on 1-13? Okay.

2 MR. WESTPHALEN: We have additional requests
3 for information on the same theme, you know, for
4 shipment data or energy use data for these other types
5 of equipment, and I don't know if we need to dwell on
6 these requests for comment, just know that DOE
7 requests comment on - or requests information, rather,
8 and data if it is available to allow the Department to
9 properly assess the potential for energy savings and
10 make an informed decision regarding pursuit of
11 coverage of these other product categories.

12 MR. BROOKMAN: Does the Department know, has
13 AHAM collected this data, for example?

14 MR. WESTPHALEN: DOE does not know whether
15 AHAM collects any of this data for any of these niche
16 products. It's possible that manufacturers have some
17 understanding of the size of the market and could
18 provide that information. Any such information,
19 obviously, is better than none.

20 MR. BROOKMAN: So, I'm not going to linger
21 on these very long, unless we get some interest here.
22 Michael? Michael Kido.

23 MR. KIDO: I'll just throw that question out
24 there, does anyone know of any sources that we could
25 use to get that kind of information?

1 MR. BROOKMAN: No knowledge of it at this
2 time. Okay.

3 MR. WESTPHALEN: Okay.

4 MR. BROOKMAN: Joanna, please.

5 MS. MAUER: Joanna Mauer. Can I just ask a
6 quick question about the near-freezers? I think DOE
7 outlined a couple of potential options for addressing
8 these products. Was one of the options to amend the
9 definition for freezer without changing the test
10 procedure?

11 MR. WESTPHALEN: Because the definition for
12 freezer in 430.2, DOE presumably had the option to
13 change those definitions to extend coverage to these
14 so-called near freezer products. Then, as you point
15 out, then the issue becomes well, is the current test
16 procedure for freezers appropriate for these products,
17 and DOE may then have to consider test procedure
18 modifications to address them, and also, you know,
19 develop guidelines for how the existing energy
20 standards might apply to them.

21 MS. MAUER: Okay. Thank you.

22 MR. BROOKMAN: Bill.

23 MR. BROWN: This is Bill from GE. AHAM does
24 have comments on how you can use the existing test
25 procedure for a near-freezer, and we will be providing

1 those in our comments, and one possibility would be
2 use the current test procedure and instead of
3 interpolating to zero degrees, you extrapolate to zero
4 degrees. So you'd still be comparing the products
5 that are called freezers using the same test procedure
6 without any change in the definition of the test
7 procedure at zero degrees, you could still use the
8 same equations, you still got a straight line between
9 two points, you just extrapolate to zero instead of
10 interpolating.

11 MR. BROOKMAN: And so your thinking is, or
12 AHAM's thinking is that that will be sufficient?

13 MR. BROWN: Yes.

14 MR. BROOKMAN: Thank you. Joanna.

15 MS. MAUER: Joanna Mauer. Is that a
16 specific utility of these kinds of products? Are they
17 currently on the market?

18 MR. BROWN: I would say that GE does not
19 have any of these products. We were not aware of
20 these products existing, certainly see how someone
21 could design a product that does not get to zero
22 degrees.

23 MR. BROOKMAN: I notice that Jen just
24 stepped out of the room for a moment, so maybe there
25 is some additional comment to be made there? Not at

1 this moment. Any more comments on this segment?

2 Okay. Charlie.

3 MR. HON: One question. Near-freezer is a
4 pretty broad statement. One product that does exist
5 in the market is that people like really cold beer,
6 below the standard refrigerator category, but
7 certainly not to the freezer category, but definitely
8 would be below any standard which would be allowable
9 for a refrigerator. Is that going to fall into the
10 near-freezer?

11 MR. WESTPHALEN: We don't know for sure.
12 One might consider that near-freezers would have
13 temperatures up to 20, and maybe above 20 would be
14 like a high performance refrigerator or something.
15 But obviously, at this point, our understanding and
16 how many of these products is actually shipped is
17 somewhat limited and we don't really know if it makes
18 sense to pursue all of this.

19 MR. BROOKMAN: Charlie Hon.

20 MR. HON: The term freezer, I assume, is
21 read generally accepted as freezing water, below 32
22 degrees, and alcoholic beverages have a much lower
23 freeze point than that. So that's why I'm confused.

24 MR. BROOKMAN: You don't have these
25 definitions established at this point?

1 MR. WESTPHALEN: No. I mean, near-freezer
2 was discussed in the framework document without any
3 specific guidance for what the temperature level is,
4 and the topic was raised in the framework in response
5 to comments received from one of the stakeholders
6 during the refrigerator test procedure rulemaking last
7 year or the year before, indicating that, you know,
8 the zero Fahrenheit bar would potentially cause some
9 of these products to be non-covered. And so the
10 stakeholder felt that we shouldn't let them get away
11 with it just because they can't meet zero Fahrenheit.

12 MR. BROOKMAN: Charlie.

13 MR. HON: Charlie Hon. This has been
14 addressed recently in final rulemaking from the DOE
15 covering commercial refrigeration. Basically the rule
16 of thumb was there's several products involved, wine
17 chillers were some of those products, basically, that
18 did not get to the 38 plus or minus two standard, and
19 ice vending or ice storage machinery, which was in the
20 mid-twenties was also considered. But basically the
21 rule of thumb at that point was DOE said turn the unit
22 as cold as it can go and report as a variance on the
23 standard, but document what you did.

24 MR. BROOKMAN: What are these units designed
25 to do? Do you know?

1 MR. HON: Depends on the units. Wine
2 chillers, depending on what type of wine you're trying
3 to hold, could be 45 degrees, 55 degrees, 58 degrees.
4 Ice storage is generally done between 22 and 30
5 degrees Fahrenheit for commercial purchased ice, bags
6 of ice. Beer units in the commercial end, there are
7 beer units which run at 27, 28 degrees Fahrenheit,
8 because bars want to sell really cold beer. But if
9 they go put their light beers in there, they quite
10 often break the bottles. So there's a problem with
11 them.

12 MR. BROOKMAN: I think maybe we should maybe
13 at lunch do some taste-testing here.

14 MR. BROWN: In the refrigerator-freezer
15 definition, when you look at what is a compartment,
16 what is a fresh food compartment, what is a freezer
17 compartment, for fresh food, it's anything above eight
18 degrees Fahrenheit. So that's not - again, just for
19 your own refrigerators between 32 and 39, but if you
20 look at just individual compartments, anything above
21 eight degrees is considered fresh food, so when you
22 calculate the volume of that compartment it goes into
23 the fresh food bin, anything below eight is a freezer.
24 For example, the bottom freezers that have the ice on
25 the door in the fresh food compartment, that is in the

1 20 degree range when you're storing ice, and that's
2 considered to be a fresh food compartment. So just
3 one more thing to consider when you're looking at what
4 is a near-freezer. You've already got definitions of
5 what is a fresh food for a compartment, possibly you
6 can use that or build on that to come up with what a
7 near-freezer would be in this definition.

8 MR. BROOKMAN: Where is that definition?

9 MR. HON: You can see that in the AHAM HRF-
10 1, which 10 CFR 430 points to as far as how to
11 calculate the volumes.

12 MR. BROOKMAN: Okay. Thank you. Lucas Adin
13 has a question from someone on line.

14 MR. ADIN: This was actually just a comment.
15 This was from Steve Church at Whirlpool in regard to
16 Item 1-14, residential ice makers. His comment was,
17 "The intent of Congress with EPCA was not to restrict
18 these products. A very small number of these products
19 are sold each year, and regulating these products will
20 have almost no impact on reducing energy consumption."

21 MR. BROOKMAN: Okay. Thanks. Additional
22 comments relative to these two comment boxes? Bill,
23 go ahead.

24 MR. BROWN: One other example from 1-14,
25 residential ice makers, California does regulate ice

1 makers that make above 50 pounds per day, so those do
2 exist - regulations do exist for that type of product,
3 but below 50 pounds a day, there is no regulation.

4 MR. BROOKMAN: Okay. Thank you. Yes.

5 MR. ADIN: Sorry, this is Lucas Adin, DOE.
6 Just a quick question on that. Is that specific to
7 residential ice makers or is it commercial or do they
8 distinguish?

9 MR. BROWN: I'm not sure. We don't have
10 that product.

11 MR. BROOKMAN: Charlie?

12 MR. HON: Charlie Hon. I don't deal in that
13 product, but I happen to know the regulations because
14 there are some questions brought up in some other
15 meetings. The regulations do not specify application.
16 They specify less than 50 pounds of ice generated per
17 24 hour period, or they specify a regulated product,
18 which is 50 pounds to 2500 pounds of ice generated
19 within a 24 hour period. After that it's considered
20 an industrialized factory, and no longer regulated
21 under the same standard.

22 MR. BROOKMAN: So it's only volume.

23 MR. HON: How much you can produce in a day.

24 MR. WESTPHALEN: The ceiling on that
25 capacity range has been lifted to 4000 pounds per day

1 as part of the commercial ice maker rulemaking
2 recently.

3 MR. BROOKMAN: Thank you. So I guess we're
4 moving on now.

5 MR. WESTPHALEN: One - I think this is the
6 last topic under scope, has to do with the
7 residential/commercial split and this is a question
8 that has come up recently in rulemakings in regard to
9 when is a product a commercial product versus a
10 consumer product. And I'm not going to try to quote
11 the EPCA guidelines on that, but DOE is aware of
12 several attributes that could distinguish commercial
13 types of wine chillers from residential types, but
14 would like additional information to allow it to
15 definitively conclude if that is the appropriate
16 decision that wine chillers with uniquely commercial
17 features exist.

18 So we have requests for comments on this
19 theme, DOE seeks comment on what design and
20 performance characteristics distinguish the wine
21 chillers used in commercial applications, whether any
22 of these wine chillers are manufactured on the same
23 product lines as residential wine chillers and
24 whether, to any extent, commercial wine chillers are
25 distributed in commerce for personal consumer use.

1 Obviously, DOE seeks details regarding the magnitude
2 of those sales.

3 And then, a related, catch-all item, 1-16,
4 DOE seeks comment on whether the commercial and
5 residential wine chillers should be addressed with the
6 same test procedures and energy standards within the
7 same rulemaking.

8 MR. BROOKMAN: Charlie.

9 MR. HON: Charlie Hon. Several comments
10 here. Number one, wine chillers, large commercial
11 wine chillers, do trickle into the residential market.
12 Commercial manufacturers like our company try and
13 avoid that at all cost, even though we have no control
14 over the dealers selling the product into the
15 residential market. But due to the way they're
16 designed, they're a disaster in a home because
17 commercial application wine chillers are done on the
18 same commercial refrigeration systems as commercial
19 refrigerators which are, shall we say, noisy at best.
20 If you put them in your home, you probably not want
21 them in your home very long, because they make a lot
22 of noise and it's quite often objectionable in a
23 kitchen environment, when people are sitting around
24 talking and the thing turns on, it makes a lot of
25 racket over the conversation.

1 It does happen. It is very - it's not
2 common and manufacturers try and avoid it for two
3 reasons, number one is we don't want to get caught in
4 a legal issue, crossing the bounds and not having
5 registered, or our product registered for one market
6 and not the other with the DOE. Secondly, is our
7 field concerns as far as warranty come and customer
8 dissatisfaction are so great that we discourage any
9 sales of our commercial products in the home market.

10 Secondly, at this time, you've got to be
11 very cognizant that if they go the same standards,
12 these are different applications. If you take a
13 product which is designed for a commercial
14 application, you're assuming that the waiter or
15 waitress or whomever is handling out the wine is in
16 that cabinet on a very consistent basis. If you're in
17 a restaurant, there's going to be bottle after bottle,
18 after bottle being opened, and that wine cabinet is
19 being opened almost continuously. And under
20 commercial design, we design to capture air recovery
21 within the first three to five minutes in a commercial
22 unit. You don't want that kind of air movement in a
23 residential unit because you'll dry out your corks and
24 ruin your wine.

25 Commercials are designed to move wine in and

1 move wine out. And they consume a lot more power
2 because that quick recovery and constant air movement,
3 which means you have fans in there moving it all the
4 time. That's so the wine is presentable to the
5 customer on a regular basis during a heavy rush of an
6 all-evening restaurant. And the residentials, that is
7 not the case. Quite often a wine bottle will sit in
8 it for several weeks or months.

9 MR. BROOKMAN: What happens in the unit-
10 when the restaurant's not open? Is there a different
11 cycle or something?

12 MR. HON: Oh, it just goes to a totally
13 different cycle, by demand, but your recovery times
14 are totally different. You'd use one-third the
15 horsepower in the compressor in the residential than
16 you would in the commercial.

17 MR. BROOKMAN: Good. That was helpful. Do
18 you have additional comments related to these two
19 comment boxes, Charlie?

20 MR. HON: Definitely - this is Charlie Hon
21 again - definitely the commercial penetrating into the
22 home market is very, very low. There's no coverage
23 discussions whatsoever that I've seen and people who
24 are buying what is known as wine cellars for their
25 house, which is a walk-in cabinet, quite often remote

1 refrigeration systems. And I don't see that being
2 covered or discussed anyplace in this document.

3 MR. BROOKMAN: Any comments on whether
4 commercial and residential wine chillers - whether
5 commercial and residential wine chillers should be
6 covered under the same test procedures and energy
7 standards? Bill.

8 MR. BROWN: My comment would be based on his
9 comments that they're two different appliances, and
10 should not be lumped into the same product category.

11 MR. BROOKMAN: Thank you. Charlie.

12 MR. HON: Charlie Hon. The commercial
13 standard is ASHRAE 72 which has eight hours of door
14 openings, every ten minutes you open each door. Under
15 normal residential design, your product is gone by
16 that period. You just cannot maintain your
17 temperatures in a residential unit opening it every
18 ten minutes. The test is much more severe for
19 commercial because it is what happens in the real
20 world. And as such, locking them into the same
21 process, I do not believe is a logical thing to do.

22 MR. BROOKMAN: That detailed comment is very
23 useful, thank you. Lucas.

24 MR. ADIN: Lucas Adin, DOE. I'm just going
25 to read one more question that came in through the

1 webinar. This is from Elizabeth Joyce of the
2 California Investor Owned Utilities. And Elizabeth
3 says, "It's our understanding that DOE is already
4 considering coverage for commercial wine chillers
5 under the ongoing commercial refrigeration rulemaking.
6 Can DOE clarify its scope of coverage here?"

7 I don't know that we can offer any specifics
8 today. I think that's something, at least in regard
9 to this rulemaking, that we're still trying to figure
10 out. We need more information about it. So
11 unfortunately I can't offer a specific answer.

12 MR. WESTPHALEN: Just a clarification
13 question for Charlie. My understanding is that there
14 are no separate test procedures for wine chillers,
15 commercial wine chillers as compared with commercial
16 refrigerators, that it's basically the same test
17 procedure except obviously you can't reach the same
18 integrated average temperature.

19 MR. HON: That is part of the recent final
20 ruling that came out within the last month and a half
21 concerning non-standard products in the commercial
22 refrigeration business, where you cannot get it cold
23 enough to run the standard test. They do not
24 differentiate whether they're wine chillers, because
25 there's much broader categories in the commercial end.

1 Wine chillers, or this type of thing, chocolates and
2 flowers are all covered under the same standard,
3 because any of those three products, if you get them
4 to 38 degrees Fahrenheit, you're destroying the
5 product, and as such they're all designed to be much
6 warmer than that, and the units are designed to cover
7 that category. And that's why, in the commercial end,
8 it doesn't say wine chillers. It has avoided that
9 because they don't want to start categorizing and
10 saying, well, this is a wine chillers, or you're
11 applying it for chocolates, or you're applying it for
12 flowers. It is a non-standard refrigerator, because
13 there are more and more product categories appearing
14 all the time to cover, so they didn't want to specify
15 coverage of wine. But chocolates and flowers are the
16 most counted.

17 MR. WESTPHALEN: Okay.

18 MR. BROOKMAN: Additional questions or
19 comments? Okay.

20 MR. WESTPHALEN: I thought the last one was
21 the last one, but maybe this one is, under scope. We
22 talked briefly earlier about products that can operate
23 on both AC and DC electric power. DOE is aware that
24 there are such products. Many of these products are
25 clearly marketed for mobile applications, such as

1 recreational vehicles, and for that reason they would
2 not be subject to coverage under the EPCA authority.

3 However, DOE is considering the possibility
4 that there may be significant numbers of these
5 products that are used in stationary applications, so
6 DOE seeks information regarding products that can
7 operate on either AC or DC are distributed to any
8 significant extent to applications where they are used
9 in stationary status. What types of products are
10 there? What annual shipments are there?

11 And DOE also generally seeks comment on
12 whether it should consider extending coverage to such
13 products.

14 MR. BROOKMAN: See the comment boxes. No
15 comment. Okay. Well, it's just about 10:30, let's
16 take a coffee break. We've made good progress here,
17 really appreciate the quality and breadth of the
18 comment. It's 10:30. Some of you are fairly new to
19 the Forestall Building, you must wear this badge if
20 you're going to walk around inside the Forestall
21 Building. There are rest rooms on both ends of the
22 hall here. We're on Floor 8, and all the other floors
23 - they're stacked up and down. There's a coffee shop
24 on the ground floor. Take the elevator bank down, and
25 hang a left and just 20 yards up the hallway, there's

1 a coffee shop. If you're going to get coffee, do it
2 quickly. Sometimes they're stacked up during the
3 coffee break.

4 We will resume at 10:45 here in this room,
5 and this room will be supervised. You can leave your
6 stuff. So thanks for a good start on the day, we'll
7 resume at 10:45.

8 (Whereupon, at 10:30 a.m., the meeting was
9 recessed for a 15 minute period.)

10 MR. BROOKMAN: Okay. So we are, I think, on
11 slide 29 now. Yes? And back to Detlef Westphalen.

12 **Rulemaking Overview**

13 MR. WESTPHALEN: Thanks, Doug. So I'm going
14 to be going over a set of slides here that talk about
15 the rulemaking overview and framework and this general
16 group of slides is in many of the rulemaking
17 presentations so most of you will have seen these
18 before and hopefully we can go through them quickly,
19 but certainly anybody that has questions, whether in
20 the room or on the webinar, certainly ask us. We want
21 to make sure you understand what's going to be
22 happening.

23 First of all, EPCA lays out seven factors
24 that need to be considered when considering energy
25 conservation standards. These are well discussed in

1 the statute and the DOE analyses that are conducted,
2 sort of line up to answer questions associated with
3 each of those factors. And I'm not going to get into
4 the detail here. Essentially, the analyses are done to
5 address this EPCA requirement.

6 Generally, there are four key steps in an
7 energy conservation standard rulemaking process. We're
8 here in the framework stage. The framework document
9 was published recently. We then generally move into
10 preliminary analysis, you know, in which we start to do
11 some of the analyses, understand the technology, do
12 initial estimates of life-cycle costs and national
13 impacts. Then we present that information and have a
14 public meeting similar to what we have here.

15 Then having that information, we move into
16 the Notice of Proposed Rulemaking stage where some of
17 the analyses are adjusted based on stakeholder comment.
18 Additional analyses are conducted that are required to
19 feed into setting of standards. Candidate standard
20 levels are chosen and specific levels are then proposed
21 as the standards for the products. Then there's
22 another opportunity for stakeholders to comment on
23 those proposed standard levels. And after that, based
24 on all the information and comments collected, DOE
25 moves to a final rule stage.

1 This slides shows the anticipated timelines
2 for the parallel rulemakings, the test procedure
3 rulemaking that would address what are the test
4 procedures that would be put into the regulations for
5 these products, and also the energy conservation
6 standard. And it shows that - obviously this is a
7 draft - but the intent would be the test procedure
8 Notice of Proposed Rulemaking would be published prior
9 to the energy conservation standard preliminary
10 analysis, and likewise, that the test procedure final
11 rule would be published prior to the energy
12 conservation standard Notice of Proposed Rulemaking.

13 This would potentially lead to a final rule
14 in the middle of 2014, with compliance date in the
15 middle of 2017 for these products.

16 Now, recently DOE has considered the
17 potential to accelerate some of these rulemakings in
18 order to more quickly get to regulations, if that makes
19 sense. Some of the options for that would be
20 stakeholder negotiation which would then be considered
21 in the DOE analyses that could save seven to 21 months,
22 depending on how early in the process an agreement is
23 reached.

24 DOE could alternatively consider bypassing
25 publication of preliminary analysis and move directly

1 to a NOPR phase and that might save six to eight
2 months.

3 So here we have a request for comment on
4 whether DOE should consider acceleration of the
5 timeline and publish a possible final rule. Which of
6 these options might be feasible or recommended and what
7 are the potential implications?

8 MR. BROOKMAN: Jen.

9 MS. CLEARY: Jen Cleary. I think we would
10 oppose option two which would bypass the preliminary
11 analysis. We think that's really an important
12 opportunity for stakeholders to give feedback early in
13 the process and impact the rulemaking, so we would not
14 go for that option.

15 MR. BROOKMAN: Would you comment on option
16 one?

17 MS. CLEARY: I think that's something we're
18 certainly open to discussing.

19 MR. BROOKMAN: Okay. Thank you. So DOE is
20 being quite flexible in offering some additional
21 options here. Additional comments on these options?
22 Joanna.

23 MS. MAUER: Joanna Mauer. I guess all I'd
24 say at this point is in terms of option one, at least
25 from the efficiency advocate perspective, it's very

1 helpful to us to have DOE preliminary analysis to be
2 able to enter into negotiations.

3 MR. BROOKMAN: Thank you. Okay.

4 MR. WESTPHALEN: That covers the overview on
5 framework, now we move into preliminary analysis in
6 test procedures.

7 **Preliminary Analysis in Test Procedures**

8 I'll be presenting on some of the issues
9 associated with test procedure. The past test
10 procedures, the Code of Federal Regulations prescribes
11 DOE test procedures for residential refrigeration
12 products, but these test procedures currently do not
13 include test procedures for testing wine chillers,
14 such as standardized temperatures that are consistent
15 with the use of these products.

16 AHAM, CEC and Canada have test procedures
17 for wine chillers, and the test procedures - these
18 test procedures are very similar to the existing test
19 procedures that DOE and AHAM have for refrigerators,
20 except for different standardized compartment
21 temperature and also a usage factor which we'll talk
22 about in a moment.

23 Some refrigeration products have a
24 correction factor associated with them that is
25 intended to address different levels of usage

1 associated, for instance, with door opening. The test
2 procedure in use, the AHAM test procedure in use in
3 California and Canada has a 0.85 usage factor, which
4 is applied to the measured energy use, which
5 essentially reduces the result by about 15 percent, or
6 exactly 15 percent.

7 DOE requests comments on whether a
8 correction factor is appropriate for calculating wine
9 chillers energy use, whether .85 is the appropriate
10 value, and whether this is the appropriate value or if
11 another value is appropriate, whether there is any
12 data that suggests - that supports the particular
13 number.

14 MR. BROOKMAN: So 15 percent commenting on?
15 Bill.

16 MR. BROWN: This is Bill from GE. Those
17 correction factors do exist today for the upright
18 freezers and for the chest freezers, the chest freezer
19 being .7, and an upright freezer being a .85. I only
20 conclude, take a look at the expected door openings
21 for this product and you'd say they're about the same
22 as you'd expect for an upright freezer product, not a
23 chest freezer. The AHAM test procedure was simply
24 mimicking the California, the NRCAN test procedure
25 when we added it to the HRF-1, just use the existing

1 .85 correction factor.

2 One other item that wasn't included is that
3 - the existing NRCAN test procedure does have a
4 provision if you have a manual light switch, you click
5 on, click off the light, that you test it with it on,
6 you test with it off, and you take the average. That
7 doesn't exist in the California test procedure.

8 MR. BROOKMAN: Do you have - would you state
9 a preference for those two different methods?

10 MR. BROWN: I would say the implication is
11 from Canada, that if you - they would say probably
12 half the customers would turn that on and leave it on
13 forever, and the other half would not. Many of the
14 products that are out there today have a light that if
15 you turn it on, it will turn itself off, and the
16 existing test procedures say that you test that with
17 it off. If it's manually initiated and automatically
18 terminated, it's at its lowest energy consuming
19 position. So I would, if I were going to say which -
20 California or the NRCAN - probably the NRCAN is more
21 representative, and might push manufacturers to look
22 at a different type of system.

23 MR. BROOKMAN: Okay. Thank you. Yes,
24 Joanna.

25 MS. MAUER: Joanna Mauer. I believe DOE has

1 been conducting some field metering on residential
2 refrigerators. Has that included any metering of wine
3 chillers?

4 MR. WESTPHALEN: What I'm aware of is
5 metering of wine chillers, but not refrigerators, and
6 maybe Jeff can speak a little bit more to that.

7 MR. GREENBLATT: This is Jeff Greenblatt
8 from Lawrence Berkeley Lab. During the refrigerator-
9 freezer rulemaking process, we did meter some
10 refrigerators and freezers, as well as gathering data
11 that other entities had metered previously. There's
12 no current metering going on in refrigerators or
13 freezers. We have preliminarily metered a small
14 handful of wine chillers, focusing on thermoelectric
15 units in order to get some preliminary estimates of
16 energy use.

17 MR. BROOKMAN: Michael Kido.

18 MR. KIDO: My understanding is that those -
19 those are informal measurements that were taken at
20 this point, and I don't think -

21 MR. GREENBLATT: That's correct.

22 MR. KIDO: Right.

23 MR. BROOKMAN: Informal. Okay. Thank you.
24 Additional comments?

25 MR. WESTPHALEN: We have a slide addressing

1 standby and off mode and request for comment. EPCA
2 requires DOE to consider standby mode and off mode
3 energy consumption when amending test procedures and
4 DOE expects that any test procedure for wine chillers
5 would be a variant of the existing test procedures for
6 refrigerators. This test currently measures all the
7 energy use, essentially when the compressor is on as
8 well as when the compressor is off, so the feeling is
9 that standby and off mode would already be captured in
10 those measurements, and so DOE concludes that
11 establishing separate provisions for standby and off
12 mode for wine chiller testing is not necessary. But
13 DOE requests comments on whether anything hasn't been
14 considered in coming to this conclusion.

15 MR. BROOKMAN: Jen.

16 MS. CLEARY: AHAM agrees that standby would
17 be captured in the existing test procedures and that's
18 what we think DOE should adopt, so we agree.

19 MR. BROOKMAN: Okay. Thank you. Additional
20 comments? Okay.

21 MR. WESTPHALEN: This is just a list of the
22 test procedure key issues. They really have all been
23 addressed already, you know, some of them in the scope
24 discussion, and some of them in the discussion we just
25 had. But DOE seeks comment regarding whether there

1 are any other key issues associated with the
2 development of test procedures for wine chillers that
3 should be considered that we haven't yet discussed.

4 MR. BROOKMAN: Other key issue comments?

5 MR. WESTPHALEN: Okay. And at this point I
6 welcome my colleague Ken Nsofor who's going to be
7 talking about market technology assessment and the
8 screening and engineering analyses.

9 **Market Technology Assessment**

10 MR. NSOFOR: Thanks, Detlef. Kenneth
11 Nsofor, Navigant Consulting. The next few slides will
12 talk about some of the analysis DOE plans to conduct
13 in the preliminary stage. First, there's the market
14 and technology assessment. The purpose of the market
15 assessment is to understand and characterize the
16 market of wine chillers, understand the manufacturers.
17 In this analysis DOE plans to identify manufacturers'
18 wine chillers, understand the niche players and the
19 large manufacturers of wine chillers in the industry,
20 estimate the shipments and trends in the market,
21 identify the federal regulations and initiatives out
22 there today in an attempt to improve the efficiency of
23 wine chillers, and also identify various technologies
24 that could improve efficiency of wine chillers.

25 Right now we open up comments to

1 stakeholders and everybody out here. Just give us a
2 little feedback and help with the market analysis.
3 Typical information we may need, like shipment, and if
4 anybody could open up comments.

5 MR. BROOKMAN: Bill.

6 MR. BROWN: Does DOE or Navigant intend to
7 visit individual manufacturers like you did in the
8 refrigerator rulemaking in order to get this type of
9 data, or would you expect it to be submitted and
10 become public information?

11 MR. NSOFOR: The answer to that question is
12 yes. During the preliminary manufacturing impact
13 analysis, Navigant and DOE plans to visit
14 manufacturers and there's a plan to have an NDA in
15 place as well, so we can handle confidential
16 information.

17 MR. WESTPHALEN: This is Detlef Westphalen.
18 I'd like to add to that oftentimes in these
19 rulemakings there's an information gathering exercise
20 that one of the trade organizations might endeavor to
21 conduct. The question would be whether AHAM and
22 AHAM's members would be interested in working to
23 assemble some data that would be relevant to the
24 rulemaking, you know, in particular, shipment data,
25 efficiency level data of existing products, and things

1 like that. In some rulemakings this has worked very
2 well, in other rulemakings the trade organization is
3 not very receptive to that kind of an effort. But
4 obviously, that's one of the things we're talking
5 about here that potentially would be very important to
6 make sure that DOE understands the market.

7 MR. BROOKMAN: Jen.

8 MS. CLEARY: We're certainly willing to look
9 into what data we might be able to collect. It may
10 depend on how we currently collect data on wine
11 chillers, like what the break downs are, things like
12 that. So we'll just have to evaluate our current data
13 collection and what we might be able to do in support
14 of this rulemaking.

15 MR. BROOKMAN: A question came up a little
16 earlier this morning: do you collect some data now,
17 Jen?

18 MS. CLEARY: Yeah, I think we do collect
19 some. I really have to look, though, to see exactly
20 what we collect. I think it may be fairly limited.

21 MR. BROOKMAN: Detlef, I myself remain
22 unclear and sometimes the timetable changes for these
23 different rulemakings. Typically in the manufacturer
24 interviews happen a little further downstream. You're
25 suggesting they could happen quickly.

1 MR. NSOFOR: They will happen during the
2 preliminary phase. We do have two stages of
3 interviews. One is conducted in the preliminary
4 stage, like the stage after this public meeting, and
5 after the NOPR phase as well.

6 MR. BROOKMAN: So you're thinking about
7 getting to these interviews pretty quickly?

8 MR. NSOFOR: Detlef will -

9 MR. BROOKMAN: Detlef.

10 MR. WESTPHALEN: Yeah, this is Detlef. Yes,
11 as Ken said, generally interviews are conducted prior
12 to the preliminary documents being published, and then
13 prior to the NOPR documents being published, and some
14 of the material covered in each of those series of
15 interviews is different because, you know, some of the
16 focus initially is very much on the technical side,
17 and the manufacturer impact side of those interviews
18 is at the preliminary stage. But DOE would certainly
19 be very much interested in engaging the manufacturers
20 in those kinds of discussions. Depending on all the
21 stakeholder feedback and some of the decisions that
22 DOE makes, you know, it's not clear whether we will be
23 reaching out to the manufacturers right after this
24 meeting to try to schedule interviews, or whether that
25 might be pushed down the road a little bit so that we

1 can understand exactly what scope DOE is going to be
2 addressing. But certainly prior to finalizing the
3 preliminary analyses we will be interested in having
4 those initial meetings.

5 MR. BROOKMAN: Okay. Thank you. Jen.

6 MS. CLEARY: Can you give us an idea - I
7 understand that the request for data in this framework
8 document you may be expecting them March 14th when
9 comments are due, but if we do have data, what we
10 would be able to give at that time would be very
11 limited, so is there another date by which it would be
12 helpful for you to have any other data we may have?

13 MR. WESTPHALEN: This is Detlef. I think
14 the best way to approach this is to have some kind of
15 a dialogue where we work out, okay, what kind of shall
16 we say, information forms could be generated that the
17 manufacturers might provide information for; or
18 whether you have information available that you've
19 already collected. I don't think this has to be
20 within the context of the comment period. Data
21 submissions are certainly welcome at any time.

22 MR. BROOKMAN: So you'll be in touch.

23 MR. WESTPHALEN: Yes, we'll be in touch.

24 MR. BROOKMAN: Is the bottom line.

25 MS. CLEARY: Thank you.

1 MR. BROOKMAN: Put the initiative on
2 somebody there.

3 MR. WESTPHALEN: Thank you.

4 MR. BROOKMAN: Yes, thank you, Detlef.

5 MR. GREENBLATT: And this is Jeff
6 Greenblatt. I just also want to reiterate, we'll be
7 mentioning this a little bit later this afternoon with
8 regards to other kinds of data, but in particular
9 since shipments are mentioned here, you know, that
10 kind of information would be useful over the next few
11 months, since we have until the end of the year to
12 publish a preliminary analysis. But that data needs
13 to be in place a few months before so that we can put
14 that into all of our calculations.

15 MR. BROOKMAN: Okay. Great. Final comments
16 on this?

17 MR. NSOFOR: All right. The next slides are
18 about product classes. DOE has identified potential
19 product classes for this rulemaking. One is
20 residential wine chillers with manual defrost and the
21 second is residential wine chillers with automatic
22 defrost.

23 Listed below are the criteria that DOE goes
24 by in selecting product classes. To pull examples:
25 the type of energy used, the capacity, and other

1 performance-related features that might warrant a
2 separate product class.

3 The slide requests comments in regards to
4 the two product classes DOE has identified so far.

5 MR. BROOKMAN: Yes, Jen.

6 MS. CLEARY: AHAM thinks that DOE should
7 adopt the Canadian and Californian approach with
8 regard to both of these items.

9 MR. BROOKMAN: Okay. Additional comments,
10 and particularly if there are additional thoughts on
11 these product classes? Nothing additional. Okay.

12 MR. NSOFOR: Now we have more comments on
13 the next slides, pretty much, the next comments are
14 whether wine chillers have automatic defrost for the
15 class, and whether they have manual defrost as well.
16 item 3-5.

17 MR. BROOKMAN: Comments on these? Okay.

18 MR. BROWN: This is Bill from GE. One of
19 the questions I see: do any wine chillers utilize
20 manual defrost? And just looking at the California
21 Energy Commission's database, there were five out of
22 200 or so.

23 MR. BROOKMAN: What is manual defrost?

24 MR. BROWN: Manual defrost is manual, you
25 have to actually - the customer has to actually

1 perform an action to remove the defrost - to remove
2 the frost. You turn it off and you let it melt, don't
3 recommend scraping it off, but some people do that as
4 well. So yes, you have to take an action to make it -
5 and get rid of the water. Automatic basically it
6 defrosts by itself and evaporates the water by itself.
7 And looking at the NRCan database, there were, you
8 know, five or so of those products that were manual
9 defrost as well, so they do exist. It's just not a
10 lot, it's in the one percent of the market. I'm just
11 saying, from the number SKUs, I don't know the number
12 of the sales that go with those SKUs.

13 MR. BROOKMAN: Is there a trend line there?
14 Jen?

15 MS. CLEARY: I don't - again, am not aware.
16 Can't answer that question.

17 MR. BROOKMAN: Yes, Detlef.

18 MR. WESTPHALEN: This is Detlef Westphalen.
19 I guess, you know, we looked at the databases, and we
20 questioned the existence of the manual defrost
21 products because some of those products listed in the
22 databases aren't for sale any more. Others are
23 actually now advertised on their websites as having
24 automatic defrost, so we were only able to find one
25 product where we couldn't definitively say it's not

1 manual defrost, but we couldn't say definitively that
2 it is either.

3 The request for comment also addressed the
4 question of whether active heating is required to
5 achieve defrost in any of these products that are
6 termed automatic defrost, since compressor off cycle
7 defrost is an option for automatic defrost.

8 MR. BROOKMAN: Comments on active heating?
9 Bill?

10 MR. BROWN: This is Bill again. To say it's
11 required or not, I can't really say, but most of the
12 products that I've seen out there, it's off cycle
13 defrost. Especially the temperatures you're running
14 and the low run times that you've got, you're just not
15 going to build up - you've got so much off time
16 between the compressor, that you really do not need an
17 active heater.

18 MR. BROOKMAN: Okay. Thank you.

19 **Technology Assessment**

20 MR. NSOFOR: During the technology
21 assessment, DOE tries to understand how the products
22 consume energy, and also come up with technology
23 options that could help improve efficiency of wine
24 chillers. Listed in the slides are the technology
25 options going forward, that DOE plans to investigate

1 further. I'll give you a little time to look it over.
2 And a lot of these technology options came about from
3 the refrigeration rulemaking that was published
4 already.

5 The next slide opens up comment about the
6 technology options listed in the previous slide.

7 MR. BROOKMAN: And indeed, if there are any
8 additional technologies that may or should be
9 investigated. Or comments on these, for that matter.
10 Charlie.

11 MR. HON: On your list I do not see anything
12 about lighting.

13 MR. NSOFOR: Okay. We don't have that in
14 here but we'll definitely look into it.

15 MR. HON: Because LED lighting is making
16 major impacts in some other areas and would definitely
17 make an impact on the total refrigeration
18 requirements.

19 MR. BROOKMAN: They're in little units now?

20 MR. HON: Yep.

21 MR. BROOKMAN: Okay. Wow.

22 MR. BROWN: This is Bill from GE again. If
23 you adopt the NRCan definition, that's a yes, lighting
24 should be considered because on and off. With the
25 current DOE test procedure, the testing is done with

1 no door openings. So lights wouldn't come on, it
2 wouldn't matter what light you put in the product.

3 MR. BROOKMAN: Charlie.

4 MR. HON: Charlie Hon. But what about if
5 there's a switch.

6 MR. BROWN: That's what I'm saying, if you
7 adopt the NRCan definition, then NRCan does say test
8 it on and off, take the average.

9 MR. BROOKMAN: So that's helpful. Any
10 additional things that should be added to this list or
11 comments about what would not be appropriate to be
12 included in this list? Okay.

13 **Screening Analysis**

14 MR. NSOFOR: The next thing I'll talk about
15 is the screening analysis. The purpose of the
16 screening analysis is to screen out technologies that
17 DOE does not consider in its engineering analysis. So
18 looking at the technology options, we'll look - we had
19 on the previous slide. DOE goes by four different
20 criteria in screening out technologies. One of them
21 is technology feasibility. This pretty much means
22 that the technology has to exist in a commercial
23 application, and in prototype. If that technology
24 doesn't exist today, DOE will not consider it further.

25 It has to be practical to manufacture,

1 install and service. Whatever technology DOE tries to
2 implement to improve efficiency has to be available on
3 a large scale at the time the standard is set.

4 And the last two criteria are pretty simple,
5 self-explanatory. Any technology must not impact the
6 health or the safety of the people using it.

7 This slide would -

8 MR. BROOKMAN: Hold on. Please, Jon.

9 MR. BROWN: One question is does DOE
10 consider technologies that are patented? You know,
11 one manufacturer can use this technology but no one
12 else can.

13 MR. BROOKMAN: Detlef?

14 MR. WESTPHALEN: This is Detlef Westphalen.
15 In answer to that comment, DOE can consider efficiency
16 levels that are attained by such technologies if
17 alternative technologies would be available to other
18 manufacturers to achieve those levels.

19 MR. NSOFOR: In other words, if that
20 technology provides benefits to one specific
21 manufacturer, DOE would not consider the technology
22 further.

23 MR. BROWN: I would just like to see that
24 spelled out then, because I haven't seen that in any
25 of the DOE documents before. There have been

1 technologies out there that have been one manufacturer
2 can use it and no one else can, and that is looked at
3 as it's available to the whole market place, and it's
4 not.

5 MR. BROOKMAN: Thank you. So you see the
6 four factors that the Department considers.
7 Additional comments on those? Nothing additional.
8 Okay.

9 **Engineering Analysis**

10 MR. NSOFOR: The next slide will talk about
11 the engineering analysis. The goal of the engineering
12 analysis is to create a cost relationship, cost-
13 efficiency relationship in implementing more energy -
14 efficient technologies for wine chillers. DOE plans to
15 use a combination of different approaches, mainly a
16 design option approach, efficiency level approach, and
17 reverse engineering approach.

18 And I'm not going to read every one out right
19 now. Just ask for comment. We request feedback on
20 other options

21 MR. BROOKMAN: So you can see the comment box
22 there. All set? Okay. So additional comments related
23 to the engineering analysis methodology? Okay.

24 MR. NSOFOR: Like I said before, one of the
25 approaches DOE plans to use in the establishment of the

1 cost-efficiency relationship is reverse engineering.
2 Listed below are the products that DOE plans to reverse
3 engineer, tear apart to understand how the technologies
4 help improve efficiency. And it's a combination of the
5 two different product classes, automatic and manual
6 defrost. And we'd like to get feedback from
7 stakeholders about our selection choice. That's the
8 next slide for comments.

9 This slide talks about setting up a baseline
10 going forward. DOE plans to use the Californian and
11 Canadian baseline - standards as baseline, and if you
12 look there, we have a formula, I believe the manual
13 defrost is approximately - maximum energy is about 281,
14 and the automatic defrost is about 370-something. DOE
15 plans to use these as the baseline and understanding
16 how implementing different technology options, how the
17 cost and efficiency differs between the baseline and
18 more efficient standard.

19 MR. BROOKMAN: So go back to the preceding
20 slide.

21 MR. NSOFOR: Sure.

22 MR. BROOKMAN: So if you would take a peek
23 at what the Department is considering for its tear down
24 analysis. Comments? Are these representative? Let's
25 proceed to the next.

1 MR. NSOFOR: The next is just the comment
2 down at the bottom. Seeking if these and the
3 California and Canadian as baseline is appropriate.

4 MR. BROOKMAN: So you can see the comment box
5 there at the bottom of the page, 5-1. Input from
6 stakeholders and whether the equations for maximum
7 annual energy consumption based on the California and
8 Canadian regulations are appropriate to represent the
9 performance at baseline of wine chillers. No comments
10 on Canadian or California regulations and that
11 baseline? Okay.

12 MR. NSOFOR: The next slide is the
13 incremental efficiency levels DOE plans to establish in
14 this rulemaking. And for automatic defrost, DOE plans
15 to establish efficiency levels up to 40 percent from
16 the baseline; and for the manual defrost, about 25
17 percent.

18 We'd also like to get comments on these
19 numbers.

20 MR. BROOKMAN: Joanna.

21 MS. MAUER: Joanna Mauer. So DOE is required
22 to look at the maximum technologically feasible levels,
23 and this doesn't seem to be a product category where we
24 necessarily assume that the most efficient products
25 that are commercially available truly represent a max

1 tech level.

2 MR. NSOFOR: That's correct. Although we
3 have products out there that use less energy than the
4 maximum established standard, by the time DOE factors
5 in other different design options, we might have a
6 different max tech out there that could actually be
7 lower than the best efficient unit out in the
8 marketplace.

9 MS. MAUER: Okay. And we'd encourage DOE
10 definitely to look at what the real max tech is as I
11 think they did in the residential refrigerator
12 rulemaking, where I believe there were - the max tech
13 levels were beyond the best products available in the
14 market.

15 MR. NSOFOR: I think going forward we will
16 have - potentially might have a different max tech than
17 the best product out there.

18 MS. MAUER: Okay.

19 MR. NSOFOR: This slide is talking about
20 industry data collection. Pretty much request
21 participation from stakeholders in collecting data. We
22 talked about this previously, when we started. And we
23 would like to get comments about products out there
24 from stakeholders, and appreciate their participation,
25 in giving us feedback as well.

1 MR. BROOKMAN: Comments on industry data
2 collection?

3 MR. NSOFOR: And this answers the question to
4 the GE comment about proprietary designs. And like I
5 said before, DOE evaluates all design options that are
6 commercially available, including proprietary design,
7 but if a design gives one manufacturer an advantage,
8 DOE will not consider that design option. And also we
9 maintain confidentiality with manufacturers as well.

10 MR. BROOKMAN: See the comment boxes.
11 There's more there, for example, cost data, how the
12 Department might acquire that. Nothing additional.

13 MR. NSOFOR: This slide talks about outside
14 regulatory change. In conducting an engineering
15 analysis, DOE looks at all the regulations out there to
16 understand how the combination of different regulations
17 impact manufacturers. It could be -- a lot of
18 regulations could create a burden for manufacturers, so
19 DOE considers this in this analysis. And the last is
20 just the comments out there to understand different
21 regulations out there that DOE might want to get
22 information from manufacturers that could potentially
23 impact manufacturers of wine chillers.

24 MR. BROOKMAN: Any other pending regulatory
25 action that might impact this rulemaking?

1 MR. NSOFOR: And Jeff will do the next
2 slides.

3 MR. BROOKMAN: Next, we're going to hear from
4 Jeff Greenblatt. Markups, Energy Use, life-cycle
5 costs, payback period analyses.

6 **Markups, Energy Use, Life-cycle costs,**
7 **Payback period analyses**

8 MR. GREENBLATT: Thank you everyone. Can you
9 hear me okay? So, I'm going to talk to you about the
10 modeling after the engineering work has been done, in
11 order to get ultimately to estimates of life-cycle
12 cost and national impacts. The first step is to
13 determine the markup, which is a factor that converts
14 the cost of goods sold, which is reported from the
15 engineering analysis to a final consumer price.
16 There are usually two types of markups that are
17 considered and that was considered for the
18 refrigerator-freezer rulemaking. A baseline markup,
19 and an incremental markup, and the factors for these
20 can be different, and often are.

21 The baseline markup essentially includes all
22 of the additional costs that are incurred in going
23 from the manufactured product to the final retail
24 price, that is consistent with a product that meets
25 just the minimum efficiency level. That is, without

1 an increase in efficiency. So this includes all of
2 the costs of the distributor, distributors'
3 overheads, profits, but not including sales tax which
4 is applied separately.

5 By comparison, the incremental markup refers
6 to those markups that are incurred only in
7 association with selling a more efficient product,
8 and so it generally tends to be much smaller.
9 Certain costs, such as direct labor costs, rental
10 occupancy, et cetera, do not vary with the efficiency
11 level, so would not be included in that incremental
12 markup, but certain costs, such as marketing of a
13 more efficient product, would.

14 We gather whatever public information we're
15 able in order to calculate the baseline and
16 incremental markups, but obviously additional
17 information from manufacturers or others would be
18 helpful. So we ask for stakeholders to provide that
19 information if it's available.

20 MR. BROOKMAN: I guess this is more -
21 principally at this point a notation about future
22 activity.

23 MR. GREENBLATT: Yes, whether this is an
24 appropriate approach going forward.

25 MR. BROOKMAN: No comment here. Okay.

1 MR. GREENBLATT: Okay. And then the next
2 step is determining energy use of the products in
3 actual use. So it's important to determine the
4 actual energy use of these products in the
5 residential setting in order to assess the energy
6 savings potential of more efficient products. And
7 this provides the basis for our estimates in the
8 life-cycle cost analysis.

9 So for residential refrigerators,
10 refrigerator-freezers, and freezers, we were able -
11 DOE was able to rely on information provided in the
12 residential energy consumption survey, or RECS.
13 However, RECS does not have information on wine
14 chillers, so even knowing the distribution of these
15 products in homes is not very well known, let alone
16 knowing what the energy consumption of these products
17 are.

18 So the approach that we're taking is to look
19 at the limited sales data that's available and
20 combine that with estimates from California's maximum
21 energy use standards in order to estimate a range of
22 energy use for vapor compression wine chillers. The
23 problem with this approach are two limitations: that
24 one, we're only able to estimate the maximum energy
25 use for each model as opposed to its actual use in

1 the field, and it's also unknown whether the test
2 procedure provides a reasonable estimate of the
3 actual energy use of these products.

4 So because of this lack of information, DOE
5 is seeking in situ field measurements as one possible
6 way to get more accurate information about the energy
7 use of wine chillers and other miscellaneous products
8 in the field.

9 So some question boxes here. DOE seeks
10 comment on its approach in estimating the annual
11 energy consumption based on the combination of sales
12 data and the existing energy conservation standards
13 from California. We're looking for additional data
14 sources for establishing energy consumption and we'd
15 also like comment on the viability of using in situ
16 field measurements. Do you have any comments?

17 MR. BROOKMAN: Jen.

18 MS. CLEARY: AHAM has some serious concerns
19 about the in situ field measurements. They're really
20 not going to be that accurate, we don't think,
21 especially - mainly because it's hard to compare them
22 to like a test procedure energy usage. So we'll
23 provide a lot more detail in our written comments,
24 but we have some serious concerns about that
25 approach.

1 MR. BROOKMAN: Okay. Thank you.

2 MS. CLEARY: Also - actually I have a
3 question. I don't think you mentioned the rebound
4 effect here, or even to talk about - better.

5 MR. GREENBLATT: Yes, I believe we'll mention
6 that in a couple of slides.

7 MS. CLEARY: Okay. So I'll just ask the
8 question then, it's about that.

9 MR. GREENBLATT: Okay. Let's wait until I
10 present the material.

11 MR. BROOKMAN: Yeah. Joanna.

12 MS. MAUER: Joanna Mauer. Could you just
13 explain a little bit more about what you mean by
14 using in situ field measurements, or what that would
15 involve?

16 MR. GREENBLATT: Sure. In situ field
17 measurements basically means metering devices that
18 are being used in a residential setting. So it would
19 be attaching a meter to a number of wine chillers or
20 other products, and taking measurements for a period
21 of weeks or months.

22 MR. BROOKMAN: Yes, Jon.

23 MR. WIENER: Can you say a little bit more
24 about why the Department thinks California's maximum
25 energy use standards might be valid? My concerns are

1 that they're maximum, one, they're older, two, and
2 that they include thermoelectric products as well.

3 MR. GREENBLATT: It's easier all -

4 MR. WIENER: As it's written. I don't know
5 if they're actually - it's unclear to what extent
6 they're actually covering thermoelectric products.

7 MR. GREENBLATT: Right. To DOE's knowledge -
8 well, DOE does not know whether it includes
9 thermoelectric products. I think that the feeling is
10 that it probably doesn't, but we're not actually
11 sure. And DOE is - we agree with these concerns
12 exactly, that it is - it represents a maximum, so DOE
13 doesn't actually know what the energy use of these
14 products are in actual use.

15 MR. WIENER: It would seem it would be a
16 useful way of double-checking DOE's own - if you
17 reach the - pick a number, you arrive at a number and
18 then you can check it against the maximum and make
19 sure it's not less stringent than what California has
20 said. It would be useful in that way. I can't see
21 that it would be useful as a data point in another
22 way, because it's going to skew your data,
23 presumably.

24 MR. GREENBLATT: Then again, it may actually
25 be accurate, but without having other complementary

1 information, it's hard to say. But it's not going to
2 be a low estimate of energy use because it's a
3 maximum.

4 MR. WIENER: I would agree with that.

5 MR. BROOKMAN: Detlef.

6 MR. WESTPHALEN: This is Detlef Westphalen.
7 Regarding the discussion about the California energy
8 standards, they don't really distinguish
9 technologies, so that thermoelectric products sold in
10 California are subject to those requirements and as
11 mentioned previously, a few such thermoelectric
12 products have been found on the database, and I don't
13 know if it was NRCan's database or California's
14 database. I believe Lucas was involved with that.

15 MR. ADIN: If I remember correctly it was
16 California.

17 MR. WESTPHALEN: California, so one would
18 assume that thermoelectric products that are legal to
19 be sold in California, and are actually being sold,
20 are subject to that maximum as well.

21 MR. ADIN: I would hope so.

22 MR. BROOKMAN: Yes, Jen.

23 MS. CLEARY: Has DOE asked CEC if they cover
24 thermoelectric products?

25 MR. WESTPHALEN: This is Detlef. We did ask

1 that question and they said, yes, they're covered.

2 MS. CLEARY: Thank you.

3 MR. BROWN: The only question I would have is
4 has anyone investigated how CEC arrived at their
5 equations that they use today? Did they go through
6 the same diligence that DOE did, or just exactly what
7 did they do? I know those equations have been around
8 for a while.

9 MR. BROOKMAN: Yes, thanks Jon.

10 MR. WESTPHALEN: This is Detlef. In response
11 to that, it's very difficult to find out how
12 California developed those standards. It's very
13 difficult to find any information as to even when
14 those standards first took effect, so we have not
15 been able to find that information, and certainly
16 we'll do more research to look into it.

17 MR. BROOKMAN: So I made an error, that was
18 Detlef, and prior to that, it was Bill. Okay. Thank
19 you. So these are good comments. Additional
20 comments related to these comment boxes? Okay.

21 MR. GREENBLATT: Okay. I'll move on then.
22 So one possibility that DOE is considering is whether
23 the annual energy use could be characterized with a
24 sensitivity analysis, so basically getting around the
25 problem of having only a single maximum energy use

1 number, instead it could be done with a high and low
2 estimate of energy use, based on minimum and maximum
3 efficiency that is seen, perhaps, in the CEC
4 database, or other data, in order to bracket the
5 life-cycle cost and national energy impact results to
6 help determine economic feasibility of setting the
7 various efficiency levels.

8 And the comment that AHAM had mentioned, DOE
9 seeks comment on the rebound effect associated with
10 more efficient wine chillers. Basically, we're
11 questioning if a wine chiller is made to be more
12 efficient, does the consumer actually end up using it
13 more in terms of, on a normalized basis, more
14 intensively than a less efficient wine chiller or
15 would a consumer purchase a larger product, all other
16 things being equal, and thereby use more energy with
17 a more efficient product.

18 MR. BROOKMAN: Jen.

19 MS. CLEARY: And so the framework document
20 states that DOE has determined that the rebound
21 effect doesn't apply to home appliances. So I was
22 just kind of wondering why is this being addressed if
23 it doesn't apply? Why waste the time looking at it?

24 MR. BROOKMAN: Lucas?

25 MR. ADIN: Yeah, this is Lucas Adin from DOE.

1 I mean that's a general presumption, but we're
2 certainly interested in any information suggesting
3 that that presumption is incorrect, or that there's
4 some reason we should be considering that particular
5 aspect in our analysis. So it isn't to say that
6 we're going into this with a firm conviction that
7 it's not a factor, but at least that's the
8 presumption as of right now.

9 MS. CLEARY: Thanks.

10 MR. BROOKMAN: Okay. Jon.

11 MR. WIENER: Jon Wiener, Earthjustice. The
12 question about the sensitivity analysis. Does the
13 Department have experience with using sensitivity
14 analyses to - for these standards? My concern is how
15 OMB might react and what they might require you to -
16 they might pick the low estimate and just treat that
17 as the actual estimate. Has that come up before?

18 MR. GREENBLATT: This is Jeff. I don't have
19 direct experience with that, but Lucas are you
20 familiar with other proceedings where we've had a
21 sensitivity analysis? Or Michael?

22 MR. ADIN: I'm not sure I could comment
23 specifically on that.

24 MR. BROOKMAN: So you can see the comment
25 boxes up there and we've at least taken a shot at

1 both of those. Additional comments?

2 MR. GREENBLATT: Okay. So the next item to
3 cover is calculation of life-cycle cost and payback
4 period analysis, standard part of the DOE procedure.
5 So the life-cycle cost analysis consists of two main
6 elements, estimate of the first cost, basically the
7 consumer price paid plus any installation costs, and
8 then the operating costs over the life of the
9 product, which includes both the cost of supplying
10 the energy, as well as maintenance costs. And these
11 operating costs are discounted to a particular year
12 in order to arrive at the total life-cycle cost. And
13 life-cycle cost is calculated as a difference between
14 the cost of a baseline efficiency unit and a more
15 efficient unit, so looking at whether that total
16 number is greater or smaller.

17 This is done from the consumer's perspective,
18 and one thing to point out is this is done as a
19 statistical analysis where a number of the variables
20 - variable inputs vary, and are sampled using a Monte
21 Carlo statistical approach, so essentially different
22 households will have different features in terms of
23 the amount of energy that the product uses, its size,
24 the lifetime of the product and other characteristics
25 of the household, the temperature, since this is a

1 product that's driven partly by interior room
2 temperatures.

3 And then the payback period is a simple
4 calculation that equals the first cost divided by the
5 operating cost over a single year.

6 Now that's done for the preliminary analysis.
7 For the later stage of analysis, there's also a
8 subgroup analysis that's performed, so certain
9 consumer groups may be especially vulnerable or have
10 other different characteristics that set it apart
11 from the main sort of general population, and so DOE
12 routinely looks at potential consumer subgroups and
13 does an analysis only on that group to see whether
14 the life-cycle cost impacts are significantly
15 different than might cause it to consider this
16 information in setting the final standard levels.

17 For instance, the different regional
18 electricity prices is often a significant factor in
19 making the life-cycle cost not the same from one part
20 of the country to another.

21 DOE requests input into any consumer
22 subgroups that might be appropriate when considering
23 standards for these products.

24 MR. BROOKMAN: I think it's an interesting
25 question. No subgroups come to mind.

1 MR. GREENBLATT: I'll just say for the record
2 that we generally look at low income and seniors as
3 routine subgroups, but sometimes others, depending on
4 the particular product at hand.

5 MR. BROOKMAN: Charlie.

6 MR. HON: It may sound somewhat tacky, but I
7 think you're going to discover that when you look at
8 your subgroups, it's a different group of subgroups
9 than normal standard, because this is not a required
10 product for the market. You're dealing with a
11 different nature product, usually more affluence
12 involved in it.

13 MR. BROOKMAN: As they get more senior do
14 they drink more wine, for example? Do they need
15 special consideration?

16 MR. HON: Sorry. From a - Charlie Hon - from
17 a construction viewpoint, you have to be very cognizant
18 of that because a lot of wine coolers are built as
19 under-counter models, and with senior citizens, they
20 don't work, because they have problems getting up and
21 down. So they're more interested in above counter-type
22 configurations.

23 MR. BROOKMAN: Additional comments on
24 subgroup analysis?

25 MR. GREENBLATT: Okay. Thank you for that

1 comment. I'm not - this next chart shows all of the
2 different elements in the flow chart of calculating the
3 final life-cycle costs. I'm not going to go through
4 all of these, but if anybody has comments or questions
5 about these particular elements, if you can read it,
6 either on your handout or on the chart, I'll be happy
7 to answer any questions.

8 Now one thing in particular that we wanted to
9 ask for comment on has to do with installation,
10 maintenance and repair costs, and particularly whether
11 these costs change with more efficient products. It's
12 DOE's assumption that the cost of installation, if any,
13 would probably be identical between a baseline unit and
14 a more efficient unit, and that this would probably
15 also be the case for repair and maintenance of
16 products. But we don't know for sure, so any
17 information that stakeholders have to shed light on
18 this would be useful. Also, just estimates, even of
19 the baseline efficiency installation, maintenance or
20 repair costs would be helpful for our analysis.

21 I'll just read this last bullet here, unless
22 the efficiency increase is considered result in
23 significantly larger or heavier products, DOE expects
24 that more efficient products will not incur increased
25 installation costs.

1 So there's several comments here. I won't
2 read them all, but basically I summarized these
3 requests for comments on the previous slide -

4 MR. BROOKMAN: And also maintenance, correct?

5 MR. GREENBLATT: Yes - installation, repair
6 and maintenance costs.

7 MR. BROOKMAN: So, Jen.

8 MS. CLEARY: Jen Cleary. AHAM agrees that
9 the installation costs probably won't vary depending on
10 the efficiency of the product.

11 MR. BROOKMAN: In some previous rulemakings I
12 seem to recall that some commenters suggested that more
13 efficient products with a different configuration that
14 led to higher efficiency may need more maintenance or
15 repair. Jen?

16 MS. CLEARY: We don't have comments on that
17 at this time. Just installation.

18 MR. BROOKMAN: Okay. Just thought I'd try
19 it. So no additional comments on this?

20 MR. GREENBLATT: Oh, actually I think there
21 is one here.

22 MR. BROOKMAN: Yes, Charlie.

23 MR. HON: There's going to be some
24 correlation there. A lot of your high efficiency fans
25 are more prone - have a shorter life cycle. There will

1 also be, I think you will find a difference in life-
2 cycle costs because there's a definite difference in
3 these products. They're what I would consider a throw-
4 away product after five years. If you're paying \$3-500
5 dollars for a unit, you don't get it fixed. If you're
6 paying \$2500 for a unit, you get it fixed. So you have
7 a definite discussion between repair cost and
8 additional purchase price.

9 MR. BROOKMAN: Okay. Thank you. What's the
10 life span between those low-end products and high-end
11 products?

12 MR. HON: Charlie Hon again. That's highly
13 debatable because there's a lot of very reliable low
14 end products that don't have all the features. They
15 just do a very good job at keeping it near target
16 temperature, but they don't have all the bells and
17 whistles added on, and the more bells and whistles you
18 put on, the more problematic you become.

19 MR. BROOKMAN: Thank you.

20 MR. GREENBLATT: I will - actually there are
21 a couple of these items that did not pertain to
22 installation and maintenance, so I just wanted to read
23 them, but before I do, I also want to ask the question,
24 in another slide or two we're going to ask about
25 estimates of the lifetime of these products, so we

1 would be open to any information that stakeholders
2 have, but also the question occurs to me, is it
3 possible that the lifetime might actually change with
4 the efficiency of the product?

5 The questions I wanted to read, just to make
6 sure that people see it. DOE seeks comments on the
7 general approach of using probability distribution and
8 Monte Carlo simulation to conduct the life-cycle cost
9 and payback period analyses. Also requesting data from
10 stakeholders to characterize the current mix of wine
11 chiller efficiencies and the approach for estimating
12 current and forecasted energy prices, which I'll state
13 for the record generally uses forecasts from EIA.

14 MR. BROOKMAN: Okay.

15 MR. GREENBLATT: Okay. I'll move on. Oh,
16 here's the lifetime question. Right. So DOE currently
17 does not have good estimates, or really any estimates
18 of the lifetime of wine chillers and related
19 miscellaneous refrigeration equipment. What DOE does
20 have are well constrained estimates of the lifetime of
21 refrigerator - standard-size refrigerator-freezers and
22 freezers, which are approximately 17 and 22 years on
23 average, respectively. For compact refrigerators and
24 freezers, DOE has developed certainly less precise
25 estimates which give mean lifetimes of about five and a

1 half and seven and a half years. We would welcome any
2 information to help us estimate the lifetime of these
3 other products.

4 **Shipments Analysis**

5 Okay. I'm moving on to shipments analysis
6 then. After the life-cycle cost analysis is complete,
7 DOE then makes estimates of the current and future
8 shipments of products in order to estimate national
9 impacts of potential efficiency standards. Currently
10 DOE is aware of two data sources, AHAM and NPD Group,
11 which provides some shipments data, current shipments
12 data. Projections based on fits of these data can be
13 developed and in particular, the estimate of standards
14 on future shipments will be calculated, essentially
15 that if there's an increase in the price of the
16 product, we have an elasticity that allows us to
17 estimate the decreased sales of that product as a
18 result. This is based on some broad analyses of home
19 appliances generally, not specifically wine chillers.

20 DOE seeks comments or seeks information about
21 historical shipments as well as projected future
22 shipments from stakeholders, and in particular if
23 information which we've asked for already, but I'll
24 just repeat since it's here, what the breakdown is
25 based on the type of cooling technology, vapor

1 compression versus thermoelectric or absorption, and if
2 DOE is unable to get additional sources of data other
3 than AHAM and NPD Group, it would seek comment on which
4 data source is more representative. This is not listed
5 here on this slide, but it is in the framework
6 document. There are large disparities in volume
7 between the AHAM and NPD Group, with the NPD Group
8 showing significantly higher sales. However, even
9 there there are some uncertainties because NPD Group
10 does not represent all sales in the U.S., but only a
11 portion, and that market share that's captured is a
12 little bit - it's not very precisely known. I think
13 it's between about 30 and 50 percent of the market.

14 MR. BROOKMAN: What is the NPD Group?

15 MR. GREENBLATT: NPD Group is a private
16 market research firm that essentially collects sales
17 data from end use retailers and compiles it and then
18 sells it to interested parties such as DOE.

19 MR. BROOKMAN: So comments related to
20 historical shipments and any other data? Nothing at
21 this time.

22 MR. GREENBLATT: Some other questions here.
23 DOE seeks input on the type of potential scenarios it
24 should use to forecast base case shipments. I had
25 hinted about it in the previous slide. Should we

1 assume essentially a straight line fit to historical
2 shipments or something else? We'd also seek, as part
3 of its preliminary manufacturer impact analysis, the
4 impact of new standards on wine chiller shipments.
5 This is related to the elasticity effect that I had
6 mentioned previously, as well as any other market pull
7 programs that currently exist to promote the adoption
8 of more efficient wine chillers.

9 Okay. No other comments, I'll move on.

10 MR. BROOKMAN: Let's wait. I'm hoping to get
11 a comment on this one. There ought to be, right? What
12 would you expect - is this going to be a historical
13 straight line? Is it going to correlate with housing
14 starts? With rehab activity? Come on, we can get -

15 MR. GREENBLATT: With sales of wine?

16 MR. BROOKMAN: Charlie.

17 MR. HON: We've seen in our sales that the
18 rehab activity has a major impact into it, as people
19 redesign kitchens, they want new features in them, more
20 under-counter appliances, compacters - trash
21 compacters, drawered refrigeration units, wine
22 cabinets, a lot of different things going in under
23 counter, enlarging the kitchen space altogether. New
24 housing starts, houses that put all these features in
25 are traditionally somewhat not economically the same

1 parallel as the rest of the market, so -

2 MR. BROOKMAN: So if you can segment the
3 housing starts to a high end -

4 MR. HON: High end products would be
5 important, but there are a lot of - there's a secondary
6 - there's two different sectors of the market. You
7 have a lot of commodity product bought at the big box
8 stores, which is a self-contained, put it in the back
9 of your SUV and drive it home, or a less expensive
10 product that would not be related to that at all. So
11 there's going to be - I think it's certainly not
12 linear. It's certainly going to be increasing in the
13 near future.

14 MR. BROOKMAN: Okay. Thank you. You want to
15 - Lucas Adin.

16 MR. ADIN: I'm just going to read a comment
17 that we had sent in from the California Energy
18 Commission. This regards thermowine chillers, so this
19 is actually going back a little bit, but this is
20 actually pretty important to mention. They say that
21 "The topic of thermoelectric wine chillers is an
22 interesting one. Some manufacturers of these units
23 have claimed they cannot reach 55 degree temperature
24 necessary to perform the California efficiency test for
25 wine chillers. Operating at a higher, 58 to 60 degree

1 temperature, energy use have yet to evaluate these
2 claims but we are not sure whether to amend our
3 regulations to accept a product that does not actually
4 reach a suitable temperature for storing wine."

5 And we discussed this a little bit. I mean, one
6 thing to consider, the energy test is performed at a 90
7 degree ambient, so I mean, theoretically that could
8 affect any product's ability to get down to - to get
9 down to that test temperature, that standardized test
10 temperature, depending on how good the insulation is,
11 so it could be a matter of considering another type of
12 test as well.

13 MR. BROOKMAN: Okay. Thank you. You
14 can see the comment boxes up there. I appreciate the
15 comment that we did receive. Any additional thoughts,
16 and also it mentions market pull programs, whether they
17 exist presently. Nothing additional. Okay.

18 MR. GREENBLATT: Well, I was going to
19 cover the national impact analysis, well all of this,
20 actually, after lunch, but it's up to you, Doug.

21 MR. BROOKMAN: Let me see. How much -
22 it doesn't seem like we have a lot left, does it?

23 MR. GREENBLATT: No.

24 MR. BROOKMAN: So I'd suggest we just
25 press on and finish. Yes? Yes. Okay. That's what

1 we're going to do.

2 **National Impact Analysis**

3 MR. GREENBLATT: Okay. So the purpose of the
4 national impact analysis is to estimate the national
5 energy savings and national net present value of
6 consumer savings for higher efficiency level standards.
7 DOE intends to take into account the rebound effect
8 associated with more efficient wine chillers, if there
9 was a reduction in shipments from a more efficient but
10 more expensive unit that I had mentioned a few minutes
11 ago. I also forgot to mention that - it was on the
12 slide - that the LCC as well as this national impact
13 analysis are all done on Excel spreadsheets so that
14 stakeholders have full access to the data analysis if
15 they want to run their own scenarios or otherwise look
16 into the details of the calculations.

17 So, mentioned a few times this question of
18 the efficiency distribution of wine chiller and related
19 products. What's especially useful for the national
20 impact analysis is not so much the breakdown at each
21 efficiency level, but just the shipment weighted
22 average efficiency which is what is needed in order to
23 calculate the national impacts going forward.
24 Historically, we've been able to - or DOE has been able
25 to get these shipment weighted average efficiencies

1 from manufacturers, such as AHAM. We hope that we will
2 be able to get similar information for wine chillers,
3 but it's not apparent that this information is readily
4 available.

5 And also the national net present value
6 calculations are always calculated per OMB guidance at
7 three and seven percent discount rates, which is
8 different from the discount rate used in the LCC
9 analysis, where it's - it depends on each particular
10 household. It's part of the Monte Carlo analysis and
11 is an average of just over five percent.

12 So DOE seeks the historical shipment weighted
13 average efficiency data for wine chillers as well as
14 market shares, showing the percentage shipped at each
15 efficiency level. And DOE seeks comments on its plan
16 to use the established approach of Excel spreadsheets
17 for modeling national impact and national energy
18 savings.

19 MR. BROOKMAN: So the second question should
20 be no surprise to anyone, that's established method.
21 What about historical shipment data? Do we have that
22 now? Jen.

23 MS. CLEARY: We'll check into it.

24 MR. BROOKMAN: Okay, thank you.

25 MR. GREENBLATT: Okay. Ken, I think you have

1 a few minutes of slides here.

2 MR. BROOKMAN: Next we'll hear from Ken
3 Nsofor.

4 **Manufacturer Impact Analysis**

5 MR. NSOFOR: All right, the next slide, I'll
6 talk about the manufacturer impact analysis. The goal
7 for the MIA is to understand the impact of standards to
8 manufacturers. During this phase of the analysis, DOE
9 plans to conduct interviews with manufacturers to
10 understand how the standards will affect direct
11 employment, capital assets, and also industry
12 competitiveness. DOE also plans to understand industry
13 cash flow using the GRIM, the GRIM stands for the
14 Government Regulatory Impact Model, and based on the
15 analysis DOE conducts in this phase, going forward, we
16 will revisit with manufacturers and conduct the follow-
17 up interview at the NOPR stage.

18 As we discussed in the market and technology
19 assessment, DOE plans to segment out -- understand the
20 manufacturers subgroup, small manufacturers, the niche
21 players, and large manufacturers each exhibit a
22 different cost structure that differs within the
23 industry. And DOE will try to understand how
24 implementation of new standards affects each
25 manufacturer.

1 Right now we'll open up for comment and
2 request comments from and feedback from stakeholders,
3 in other words, to try to understand the different
4 subgroups of manufacturers of the wine chill industry.

5 MR. BROOKMAN: So are there subgroups that
6 you would call out at this time? Nothing at this time.

7 MR. NSOFOR: Again, as we discussed in the
8 market and technology assessment, DOE tries to
9 understand different regulations out there that might
10 become a burden to manufacturers as we go ahead and
11 implement standards for chillers. Typical regulations
12 that could affect this rulemaking are regulations for
13 refrigeration standards, the phase out of HCFC blowing
14 agents that happened in 2003. Regulations limiting
15 emissions of greenhouse gases, and also reduction of
16 hazardous substances. And right now we ask
17 stakeholders if there are other regulations out there
18 that could potentially impact manufacturers.

19 MR. BROOKMAN: No additional regulatory
20 burdens that come to mind at this time?

21 MR. NSOFOR: Okay. Jeff, you want to talk
22 about this.

23 MR. GREENBLATT: Yeah, it's like a slide
24 left.

25 MR. NSOFOR: It goes back to Jeff.

1 **Plans for NOPR Phase**

2 MR. GREENBLATT: All right. I don't have to
3 rush this, but I don't think there's much to say here.
4 This is Jeff again. So the last part of the
5 presentation concerns the plans for the NOPR phase of
6 the analysis. So after the publication of the
7 preliminary analysis, DOE receives stakeholder comments
8 and then goes back to revise its analysis and then in
9 addition, perform some extra analysis steps which are
10 outlined here. So those extra steps are the life-cycle
11 cost subgroup analysis that I mentioned earlier, the
12 full manufacturer impact analysis, and then some other
13 analyses related to, which are called the downstream
14 analyses related to the national impact. So DOE
15 calculates the impact on the utility sector in terms of
16 changes in power plant operations and construction, as
17 well as the impact on employment throughout the
18 country, impacts on air quality and other environmental
19 concerns, but primarily it's air quality - CO2, NOX,
20 SOX, and so on as a result of reduced energy use. And
21 finally, the regulatory impact analysis, which is an
22 analysis of alternatives to standards and what the
23 difference in energy savings would be in those cases.

24 Now this is standard procedure for all
25 rulemakings, but as always DOE seeks input on its plans

1 to follow this approach, and in particular the
2 continued use of the NEMS model to come up with utility
3 impacts and other impacts. That's one of the comment
4 boxes here, and on DOE's plans to assess national
5 employment impacts, both direct and indirect, if there
6 are other tools that might be at its disposal to do a
7 better job of this. DOE has been using the same jobs
8 model for a number of years, and also comments on DOE's
9 continued use of the NEMS model for environmental
10 impact assessment of its products.

11 MR. BROOKMAN: So many of you are familiar
12 with these methodologies. Comments, anything about
13 wine coolers and related products that would cause the
14 Department to do something different? I don't see
15 anything there.

16

17 **Closing Remarks**

18 MR. GREENBLATT: I think from Lucas?

19 MR. BROOKMAN: As we promised at the outset,
20 an opportunity for anybody that wishes to raise
21 additional issues, something you don't think has been
22 covered sufficiently at this stage, so let's do that
23 now. I guess there's nothing additional. Then, from
24 my part, I would just thank all of you. I thought we
25 had a very productive conversation, very efficient this

1 morning. And turn it back to Lucas Adin for closing
2 remarks.

3 MR. ADIN: Just a few additional
4 administrative things to cover here. The comment
5 period at this particular stage of the rulemaking is
6 open until March 14, 2012, so if you have additional
7 written commentary you'd like to provide, please
8 provide it by that date. There is an email address on
9 this slide, which is where you can send it, or you can
10 mail it in. There's an address there as well. For
11 that purpose, please reference the rulemaking by the
12 docket number that's listed there, and/or the
13 regulatory identification or RIN number.

14 And that's about it as far as administrative
15 things. I'd also like to extend DOE's thanks for your
16 participation today. It's very important to the
17 rulemaking process and we really appreciate any
18 information you're able to provide and any additional
19 comments.

20 MR. BROOKMAN: We should also acknowledge and
21 thank those that have joined us via the web.

22 MR. ADIN: Yes.

23 MR. BROOKMAN: Something the Department
24 wishes to make available to anybody and so glad you
25 could join us.

1 MR. ADIN: Yeah, I hope that's been useful.
2 If you have comments about how well that particular
3 functionality is working, or any suggested
4 improvements, we certainly welcome those too.

5 MR. BROOKMAN: Safe travels everyone.

6 (Whereupon, at 12:10 p.m., the meeting in the
7 above captioned matter was adjourned.)

8
9
10
11
12
13
14
15

REPORTER'S CERTIFICATE

 This is to certify that the attached proceedings
before:

U.S. DEPARTMENT OF ENERGY

In the Matter of:

**PUBLIC MEETING ON ENERGY CONSERVATION STANDARDS
FOR WINE CHILLERS AND MISCELLANEOUS REFRIGERATION
PRODUCTS**

 Were held as herein appears and that this is the
original transcript thereof for the file of the

Executive Court Reporters
(301) 565-0064

Department, Commission, Board, Administrative Law Judge
or the Agency.

Further, I am neither counsel for or related to any
party to the above proceedings.

Debra Derr

Official Reporter

Dated: February 27, 2012