

1 MODERATOR:

2 DOUG BROOKMAN
Moderator
3 Public Solutions, Inc.
108 Newburg Avenue
4 Baltimore, Maryland 21228
USA
5 PH 410-719-0580
FX 410-719-0581
6 publicsolutions@earthlink.net

7 ATTENDEES:

8 KARIM AMRANE
Vice President
9 Regulatory and Research
Air-Conditioning, Heating, and Refrigeration
10 Institute
2111 Wilson Boulevard
11 Suite 500
Arlington, Virginia 22201-3001
12 USA
PH 703-600-0307
13 FX 703-562-1942
kamrane@ahrinet.org

14
JAMY BACCHUS
15 Staff Engineer, Energy Program
Natural Resources Defense Council
16 111 Sutter Street
Twentieth Floor
17 San Francisco, California 94104
USA
18 PH 415-875-6100
FX 415-875-6161
19 jbacchus@nrdc.org

20

21

22

23

1 ATTENDEES (Continued):

2 LANE WESLEY BURT
3 Manager, Building Energy Policy
4 Natural Resources Defense Council
5 1200 New York Avenue, NW
6 Suite 400
7 Washington, D.C. 20005
8 USA
9 PH 202-513-6255
10 FX 202-289-1060
11 lburt@nrdc.org

12

13 CYRIL E. FOWBLE IV
14 NPI Program Manager
15 Lennox International
16 1600 Metrocrest Drive
17 Carrollton, Texas 75006
18 USA
19 PH 972-497-7806
20 FX 972-497-6602
21 cyril.fowble@lennoxind.com

22

23 TALBOT H. GEE
24 Vice President
25 Heating, Airconditioning & Refrigeration
26 Distributors International
27 3455 Mill Run Drive
28 Suite 820
29 Columbus, Ohio 43026-7578
30 USA
31 PH 614-345-4328
32 FX 614-345-9161
33 tgee@HARDinet.org

34

35 DIANE M. JAKOBS
36 Rheem Heating and Cooling
37 5600 Old Greenwood Road
38 Post Office Box 17010
39 Fort Smith, Arkansas 72917-7010
40 USA
41 PH 479-648-4114
42 FX 479-648-6131
43 Diane.Jakobs@Rheem.com

44

1 ATTENDEES (Continued):

2 BRIAN JAMES
SCE
3 6042 North Ivandale Avenue
Suite B
4 Ivandale, California 91072
USA
5 PH 626-633-7125
brian.james.@sce.com
6

7 SAM JASINSKI
Navigant Consulting
PH 412-454-4141
8

9 MOHAMMED KHAN
Project Manager
Energy Conservation Standards for Residential
10 Furnace Fans Rulemaking Project
U.S. Department of Energy
11 1000 Independence Avenue, SW
Washington, D.C.
12 USA

13 ALEX LEKOV
Energy Analysis Department
14 Environmental Energy Technologies Division
Lawrence Berkeley National Laboratory
15 One Cyclotron Road
MS 90-4000
16 University of California
Berkeley, California 94720
17 USA
PH 510=486-6849
18 FX 510-486-6996
ablekov@lbl.gov
19

20

21

22

23

1 ATTENDEES (Continued):

2 DAVID LIS
Appliance Standards Program Manager
3 Northeast Energy Efficiency Partnerships
91 Hartwell Avenue
4 Lexington, Massachusetts 02421
USA
5 PH 781-860-9177 x 127
FX 781-860-9178
6 djlis@neep.org

7 JOANNA MAUER
Technical Advocacy Coordinator
8 Appliance Standards Awareness Project
529 Fourteenth Street, NW
9 Suite 600
Washington, D.C. 20045
10 USA
PH 202-507-4034
11 jmauer@standardsASAP.org

12 MOLLY TROMBLEY-McCANN
Project Manager
13 Energy Solutions
1610 Harrison Street
14 Oakland, California 94612
USA
15 PH 510-482-4420 x 239
FX 510-482-4421
16 mmccann@energy-solution.com

17 KAREN B. MEYERS
Director, Government Relations
18 Rheem Manufacturing Company
5600 Old Greenwood Road
19 Post Office Box 17010
Fort Smith, Arkansas 72917-7010
20 USA
PH 479-648-4747
21 FX 479-648-6125
karen.meyers@rheem.com
22
23

1 ATTENDEES (Continued):

2 JIM RANFONE
3 Managing Director
4 Building Codes and Standards
5 American Gas Association
6 400 North Capitol Street, NW
7 Washington, D.C. 20001
8 USA
9 PH 202-824-7310
10 FX 202-824-9120
11 jranfone@aga.org

12 BRYAN ROCKY
13 Product Manager
14 Heating Products
15 North America Building Efficiency
16 Johnson Controls
17 3110 North Mead
18 Post Office Box 19014
19 Wichita, Kansas 67204-9014
20 USA
21 PH 316-832-6431
22 FX 316-832-6598
23 bryan.rocky@jci.com

24 TERRELL J. SMALL III
25 CEO and Owner
26 Mortex Products, Inc.
27 501 Terminal Road
28 Fort Wort, Texas 76106
29 USA
30 PH 817-624-0820 x 214
31 FX 817-624-3694
32 tsmall@mortx.com

33 CHARLIE STEPHENS
34 Adjuvant Consulting
35 PH 503-786-7316
36 cstephens@spiritone.com

37
38
39

1 ATTENDEES (Continued):

2 FRANK STANONIK
Chief Technical Advisor
3 Air-Conditioning, Heating, and Refrigeration
Institute
4 2111 Wilson Boulevard
Suite 500
5 Arlington, Virginia 22201-3001
USA
6 PH 703-600-0321
FX 703-562-1942
7 fstanonik@ahrinet.org

8 CHARLES STEVENS

9

10 JOHN TALBOTT
Talbott Consulting
302 Overbrook Road
11 Baltimore, Maryland 21212
USA
12 PH 410-377-0637
jmtalbott@comcast.net

13

14 LISA THOMPSON
Research Associate
Environmental Energy Technologies Division
15 Lawrence Berkeley National Laboratory
One Cyclotron Road
16 MS 90-4000
University of California
17 Berkeley, California 94720
USA
18 PH 510-501-0933
FX 510-486-6996
19 LMThompson@lbl.gov

20

21

22

23

1 ATTENDEES (Continued):

2 JAMES T. VerSHAW
Chief Engineer
3 Trane Residential Systems
Ingersoll Rand
4 6200 Troup Highway
Tyler, Texas 75707-1948
5 USA
PH 903-581-3233
6 FX 903-581-3280
jim.vershaw@trane.com
7

8 GREGORY P. WAGNER
Engineering Manager
Morrison Products, Inc.
9 16900 South Waterloo Road
Cleveland, Ohio 44110
10 USA
PH 216-486-4000
11 FX 216-486-0631
gwagner@morrisonproducts.com
12

13 MICHAEL WOODFORD
Air-Conditioning, Heating, and Refrigeration
Institute
14 2111 Wilson Boulevard
Suite 500
15 Arlington, Virginia 22201-3001
USA
16 PH 703-600-0328
FX 703-562-1942
17

18 ALSO PRESENT:

19 Ashley Armstrong
Associate Director
Navigant Consulting
20

21 Charles Stephens
Adjuvant Consulting
PH 503-786-7316
22 cstephens@spiritone.com
23

1	I N D E X	
2	ATTENDEE INTRODUCTIONS AND AGENDA REVIEW By Doug Brookman	10
3	INTRODUCTION	14
4	By Mohammed Khan	
5	OPENING REMARKS FROM INTERESTED PARTIES	15
6	REGULATORY AUTHORITY AND RULEMAKING OVERVIEW	17
7	SCOPE OF COVERAGE AND TEST PROCEDURES By Sam Jasinski	23
8	MARKET AND TECHNOLOGY ASSESSMENT, SCREENING	
9	ANALYSIS, AND ENGINEERING ANALYSIS By Sam Jasinski	
10	MARKUPS FOR PRODUCT PRICE DETERMINATION,	174
11	ENERGY USE ANALYSIS, LIFE-CYCLE COST AND PAYBACK PERIOD ANALYSIS	
12	By Alex Lekov	
13	MANUFACTURER IMPACT ANALYSIS	241
14	By Rob Carmichael	
15	UTILITY IMPACTS, EMPLOYMENT IMPACTS, ENVIRONMENTAL IMPACTS, AND REGULATORY IMPACTS ANALYSES	250
16	By Alex Lekov	
17	NEXT STEPS AND CLOSING REMARKS FROM INTERESTED PARTIES	259
18	ADJOURNMENT	268
19		
20		
21		
22		
23		

1 BEFORE THE
2 UNITED STATES DEPARTMENT OF ENERGY
3 PUBLIC MEETING ON THE NOTICE OF AVAILABILITY OF A
4 FRAMEWORK DOCUMENT FOR ENERGY CONSERVATION
5 STANDARDS FOR RESIDENTIAL FURNACE FANS

6 Public Meeting was held pursuant to
7 Notice at Room 8E-089, United States Department of
8 Energy, 1000 Independence Avenue, SW, Washington,
9 D.C., USA, commencing on the 18th day of June,
10 2010, at 9:07 a.m. ET.

11 TRANSCRIPT OF PROCEEDINGS

12 MR. BROOKMAN: Okay, let's, let's start,
13 shall we? Please take your seats.

14 Good morning, everybody, and welcome.

09:08:24 15 This is the U.S. Department of Energy's Public
16 Meeting on the Notice of Availability of a
17 framework document for energy conservation
18 standards for residential furnace fans.

19 Today is Friday, June eighteenth. We're
09:08:37 20 in the, Washington, D.C., at the Department of
21 Energy.

22 My name's Doug Brookman from Public
23 Solutions in Baltimore. Thanks for being here on

1 time.

2 We have a full day ahead of you I think.

3 Let's start off by doing introductions around the

4 room, your name and organizational affiliation.

09:08:56 5 To use these microphones you need to
6 push the button and see the little LED green light
7 light up. So, let's start up over here.

8 (Whereupon, self-introductions were had,
9 after which the following occurred:)

09:10:29 10 MR. BROOKMAN: Thank you.

11 I'm going to do a very quick Agenda
12 review and then we're going to launch into the
13 program for the day. I think all of you received a
14 packet as you registered today.

09:10:38 15 In that packet is a copy of the
16 PowerPoint slides that will be the focal point for
17 presentation and for discussion. In addition,
18 there is the framework document and the Federal
19 Register and Notice.

09:10:50 20 So, a lot of detailed information for
21 you surrounding this Public Meeting. Immediately
22 following this Agenda review we're going to have an
23 introduction of Mohammed, Mohammed Khan, and then

1 there's an opportunity for brief introductory
2 comments, key issues that any person here wishes to
3 raise here at the outset, issues that you may wish
4 to emphasize.

09:11:25 5 In addition, then, we move on to an
6 overview on the regulatory authority and
7 rulemaking. Moving on from there, scope of
8 coverage and test procedures.

9 We'll take a break midmorning round
09:11:37 10 about 10:45 or so, then a description of, a, a
11 continued description of test procedures.
12 Following that, market and technology assessment,
13 screening analysis, and engineering analysis.

14 Take lunch midday, 12:30ish or so, and
09:11:53 15 then markups for product price determination,
16 energy use analysis, lifecycle costs, and payback
17 period analysis immediately following lunch. And
18 then we'll move on to shipments analysis, national
19 impacts analysis, LCC subgroup analysis, and
09:12:06 20 continue on manufacturer impact analysis.

21 Then, utility impacts, employment
22 impacts, environmental impacts, and regulatory
23 impacts analyses. At the end of the day, around

1 about 3:00 o'clock or later today, we ex-, there's
2 another opportunity for individuals to make closing
3 remarks, other issues that they think they've not
4 covered sufficiently during the course of the
09:12:25 5 meeting today.

6 So, that's the plan for today. We --
7 The agenda as written intends for us to adjourn at
8 3:45.

9 We'll go as quickly as we can, and as
09:12:35 10 efficient as we can. The Department sure does not
11 wish to diminish anyone's capacity to comment.

12 Okay? So, then that's all I had to say
13 here at the outset except that I'd just ask for
14 your cooperation.

09:12:49 15 Please speak one at a time during the
16 meeting today. Please state your name for the
17 Record.

18 You don't need to say your organization
19 each time because the Department knows who's here,
09:12:59 20 and at the end of the day it will distribute a
21 listing, a photocopy of the business cards of the
22 attendees. Please state your name each time you
23 speak.

1 I wish to encourage follow-on comments
2 in addition. That's helpful to the Department.

3 If you can keep your focus here, please
4 turn your telephones and other devices on "Silent"
09:13:22 5 mode. Please limit your sidebar conversations.

6 If -- These microphones work well. If
7 you're going to speak, please make sure the green
8 light is on.

9 And if you would, share the air time,
09:13:34 10 please. There's a lot to be said undoubtedly
11 today, and we'll try and be concise with our
12 comments.

13 So, having said that, we'll turn it to
14 Mohammed Kahn.

09:13:40 15 INTRODUCTION:

16 MR. KHAN: All right. Thank you, Doug.

17 Good morning, everybody. Let me first
18 say that the Department of Energy is extra
19 appreciative of your attendance this morning
09:13:56 20 because this is the first opportunity or the first
21 effort that we've taken on any kind of regulation
22 for energy consumption or energy use for
23 residential furnace fans.

1 So, your comments and input today are
2 going to be very, very important.

3 Doug already covered the agenda.

4 John Cymbalsky, who is the new Buildings
09:14:25 5 Technology Manager, is not able to attend today.

6 He was going to say a couple of words, so I'm kind
7 filling in, filling in for him right now.

8 So, again I want to say thank you for
9 your attendance, and your comments are going to be
09:14:41 10 very important. And what we're going to be

11 covering today is the information that we provided
12 in the framework document which has, or offers, or
13 provides a discussion of the approaches that the
14 Department expects to follow for its Standards
09:14:59 15 rulemaking for furnace fans, as well as all the
16 analytical approaches and assumptions associated or
17 affiliated with the development of a test procedure
18 for those products.

19 So, so again, thank you, and we're going
09:15:15 20 to be looking forward for all of your participation
21 today.

22 MR. BROOKMAN: Thank you.

23 OPENING REMARKS FROM INTERESTED PARTIES:

1 MR. BROOKMAN: Now is an opportunity for
2 anybody that wishes to do so to make brief summary
3 remarks here at the outset.

4 Diane first.

09:15:27 5 DR. JAKOBS: Hello. My name's Diane
6 Jakobs, and I've been a (sic) active participant on
7 the CSA C823 Committee from the beginning.

8 And I'd just like to say one of the
9 things that concerns me is how complex it is, and
09:15:46 10 how difficult it will be for anyone to make use of
11 the information that we provide. Today in the AHRI
12 Directory we have a, a little "e" designation for
13 electrically efficient furnaces.

14 And, and that's pretty straight-forward
09:16:04 15 because there's basically two classes of motors.
16 And, and when you look at the efficiency of the,
17 for furnaces, they kind of fall into two classes.

18 And in the, the Directory, we have a
19 little "e," and we have nothing. So, it -- So,
09:16:19 20 it's easy to differentiate, whereas with C823, they
21 tried to do the annual energy consumption.

22 And to look at a furnace for a whole
23 year you have to consider what kind of

1 air-conditioning system is, it's used with, as well
2 as the furnace operation. And furnaces are
3 designed and operated with -- They have a, a lot of
4 options.

09:16:45 5 So, you don't really know ahead of time
6 how it will be installed, and it's very difficult
7 to estimate what -- It depends on, you know, what
8 part of the country, whether you, you're going to
9 be in the north and have a small-capacity air

09:17:01 10 conditioner, or going to be in the south and
11 high-capacity.

12 So, my concern all along has been that
13 we're going to have all of this data and no one
14 will know what to do with it. So, that's my

09:17:13 15 comment.

16 MR. BROOKMAN: Okay, thank you. Yeah.

17 Other comments here at the outset? Yes?

18 No? No?

19 (Whereupon, no response was had.)

09:17:21 20 MR. BROOKMAN: That's it? That's all we

21 -- Okay.

22 Then we're going to move straight to the
23 education slides of -- No, no.

1 REGULATORY AUTHORITY AND RULEMAKING OVERVIEW:

2 MR. KHAN: Well, good morning again,
3 everyone, and welcome. Thank you for participating
4 in today's rulemaking.

09:17:51 5 Again, my name's Mohammed KHAN, and I'm
6 the Department's Project Manager for this
7 rulemaking activity. I'll be providing a brief
8 overview of the rulemaking, and throughout the day
9 we'll be hearing from analysts from Navigant

09:18:05 10 Consulting and from the Lawrence Berkeley National
11 Laboratory on the proposed approaches and the
12 various analyses the Department will be performing.

13 Purpose of our meeting: Today's meeting
14 serves multiple purposes. Mainly our goal is to
09:18:28 15 have a two-way discussion.

16 We want to convey the key points and
17 concepts associated with this rulemaking, as well
18 as to hear and listen to your thoughts and
19 potential concerns. First, the Department wants to
09:18:41 20 present the approaches and plans that it plans to
21 implement in evaluating possible Standards for the
22 furnace fans, and second, this is a forum for all
23 interested parties to discuss and hear the issues

1 raised by DOE and by others.

2 And because your feedback is very
3 important, I encourage everyone on fully
4 participate. And I urge you to submit and, submit
09:19:05 5 relevant data that will help the Department in this
6 analysis.

7 And lastly, we want to describe the
8 steps in the rulemaking process.

9 Comments: I said earlier it's very
09:19:15 10 important. This slide represents a sample of the
11 call-out boxes that we'll use to identify certain
12 issues the Department seeks certain information on.

13 These boxes are in the framework
14 document and will also be used throughout the day's
09:19:30 15 presentation to help elicit your thoughts.

16 (Whereupon, Msrs. Burt and Bacchus
17 conferred, out of the hearing of others and off the
18 Record, during which the following occurred:)

19 MR. KHAN: All right. Again, your
09:19:42 20 feedback is extremely important.

21 I'm going to keep saying that. I hate
22 to sound like a broken record, but it really is.

23 I want to make sure that everyone is

1 clear on how to submit comments. This slide
2 provides the postal, courier, and e-mail address
3 which are appropriate for submitting.

4 Please include the information at the
09:20:00 5 top of the slide so that it's properly identified
6 and also catalogued. Also let me point out that
7 the comment period closes July sixth, 2010.

8 Okay, now I'll talk about, briefly about
9 some relevant statutory language. The Energy
09:20:24 10 Policy and Conservation Act enacted in 1975
11 provides the legal authority and guidelines DOE
12 must follow to promulgate the Standards.

13 The Energy Policy Act has amended EPCA
14 to expand DOE's authority to specifically consider
09:20:40 15 and prescribe energy conservation Standards and
16 energy use Standards for electricity used for
17 purposes of circulating air through ductwork.

18 In 2007, EPCA was amended again by the
19 Energy Independence Security Act. EISA requires
09:20:57 20 that the furnace fan Standards will be published by
21 December thirty-first, 2013.

22 In addition, EISA requires that any new
23 Standard after July first, 2007, must also address

1 standby mode and off-mode energy consumption.

2 Rulemaking overview: Okay, EPCA

3 requires the Department to consider seven key

4 factors when promulgating new or amended Energy

09:21:30 5 Conservation Standards. This table lists those

6 factors, and illustrates the pertinent, pertinent

7 analyses the Department performs to address each of

8 those factors.

9 Throughout the day we'll be describing

09:21:40 10 the analyses in detail and should make clear the

11 relevance and relationships between each of the

12 analyses and the seven EPCA factors.

13 Here we provide a chevron chart

14 illustrating the primary steps in this rulemaking.

09:22:00 15 We're kicking off the rulemaking with the framework

16 document and the public, and, and today's public

17 meeting.

18 The framework document is published, or

19 was published on June third and is available on

09:22:10 20 line at the web URL at the bottom of the slide

21 here. The document provides a discussion of the

22 rulemaking process, and describes in detail the

23 approaches, tools, and models DOE will use in its

1 analyses for Standards evaluations, and discusses
2 approaches for the needed framework fan test
3 procedure.

4 Next steps: As shown in the chevron on
09:22:42 5 the previous slides, the next steps of the
6 rulemaking is the Notice of Proposed Rulemaking,
7 followed by the Final Rule. The NOPR will propose
8 certain standard levels based on a completed
9 analysis of the potential impacts on consumers,
09:22:56 10 manufacturers, and the Nation as a whole.

11 The Department will also weigh the
12 impacts against each other to determine the most
13 appropriate proposed Standard level, and, of
14 course, the NOPR will include a discussion of all
09:23:09 15 relevant comments that were received.

16 In the Final Rule document DOE will
17 discuss all comments received in the NOPR phase and
18 will likely provide a revised or enhanced analysis
19 stemming from any pertinent data that we receive.
09:23:24 20 Again, DOE will weigh the impacts and determine the
21 appropriate Standard, and the Final Rule will, will
22 prescribe a compliance date for the Standards.

23 Any other questions?

1 (Whereupon, no response was had.)

2 MR. KHAN: Okay.

3 MR. BROOKMAN: Okay.

4 MR. KHAN: Thank you.

09:23:45 5 SCOPE OF COVERAGE AND TEST PROCEDURES:

6 MR. JASINSKI: Good morning. My name is
7 Sam Jasinski, from Navigant.

8 Navigant is assisting the Department in
9 this rulemaking development of the furnace fan test
09:23:58 10 procedure and analyses that will be conducted for

11 the Notice of Proposed Rulemaking, or the NOPR.

12 I'll start by discussing the scope of coverage.

13 The statutory language in EPCA provides
14 DOE the authority to regulate any electrically
09:24:13 15 powered device used in residential central heating,
16 ventilation, and air-conditioning systems for the
17 purpose of circulating air through ductwork.

18 Furnace fans or the HVAC systems in
19 which furnace fans are used will be referred to as
09:24:27 20 "furnace fan products," and these include but are
21 not limited to all kinds of residential furnaces
22 such as gas-fired systems, oil-fired systems, and
23 electric residential furnaces, split-system and

1 packaged air-conditioner and heat pump air
2 handlers, and modular fan coils.

3 Also is a preliminary list of devices
4 DOE is tentatively considering to not be furnace
09:24:42 5 fans.

6 The statutory listing in EPCA also does
7 not specify which HVAC products utilize furnace
8 fans, nor does it specify any range of
9 characteristics such as rated air flow capacity or
09:24:55 10 rated fan motor horsepower to aid in defining the
11 scope of coverage.

12 As mentioned, throughout the
13 presentation there will be items listed on which
14 DOE seeks comment. The item numbers in the
09:25:05 15 presentation match those that are in the framework
16 document for your reference, and since there are
17 quite a few of them I'll just briefly summarize the
18 groupings and turn over the discussion to Doug for
19 more details.

09:25:16 20 This first list is items on which DOE is
21 seeking comment related to the scope of coverage,
22 as well as how DOE is approaching applying the
23 statutory language in EPCA.

1 MR. BROOKMAN: Yes. So, you can see the
2 comment boxes listed there.

3 We won't read them. There are four of
4 them.

09:25:38 5 Let's start with 1, scope of coverage, a
6 very important issue.

7 Karim?

8 DR. AMRANE: Karim Amrane, AHRI.

9 We don't have the same understanding of
09:25:48 10 what EPCA says, what it says about, about the
11 coverage of, of, of this proposed Rule. For
12 example, I mean, heat pumps and air-conditioner
13 system with blower coils, as far as we know, I
14 mean, the energy consumption of the fan is
09:26:05 15 accounted for in the SEER calculation or the HSPF
16 calculation.

17 So, I think it's clear to us that what
18 Congress wanted DOE to do was to address the
19 furnace fans, fan, and not the fan in the heat pump
09:26:21 20 or in the air-conditioning with a blower core. So,
21 I'm not sure why DOE believes that it has that
22 authority, but that's, that's a, that's not what
23 EPCA says

1 MR. BROOKMAN: Thank you.

2 Other comments on scope? Jim.

3 MR. VerSHAW: This is Jim VerShaw.

4 I agree that if you start including
09:26:45 5 things other than furnaces, then you start
6 including the power that's already accounted for in
7 the HSPF and SEER calculations. And you try to set
8 a Standard around fan power at the same time you're
9 setting a Standard for the whole system
09:26:57 10 performance, I'm not sure which one takes
11 precedence.

12 And seems like you're doubling, double
13 putting Standards on two things that should be just
14 one. So, that's why I agree with Karim that you
09:27:08 15 really need to focus it back on furnace fans, and
16 not have blower fans and coils.

17 MR. BROOKMAN: Diane.

18 DR. JAKOBS: And even more than that
19 note, just air handlers with the furnace in the
09:27:22 20 cooling mode. We -- When you have a match system,
21 we're using that same air flow to complete SEER for
22 the matched system.

23 So, so it should even be limited further

1 into just the furnace in the heating mode. Other
2 than that, in the air-conditioning mode it's
3 already, the electricity is already taken into
4 account for the SEER calculation.

09:27:45 5 It's only in the heating mode where
6 there is a, a gap and it's not accounted for.

7 MR. BROOKMAN: Okay, thank you.

8 So, just to complete the Record if we
9 can, do we have any counterpoint at this point?

09:28:05 10 Charlie Stephens.

11 MR. STEPHENS: Charlie Stephens.

12 I, I kind of agree with those
13 observations, but I will note that I just came back
14 from the field two days ago from inspecting one of
09:28:21 15 those very same air handlers that's installed
16 without a heat pump, without an air-conditioning
17 outdoor unit.

18 It's feeding air to a water coil. Same
19 unit, but it's not associated with the heat pump
09:28:34 20 outdoor unit or an air-conditioning outdoor unit.

21 I guess I'm kind of wondering how you
22 would account for its efficiency in that kind of
23 application.

1 MR. BROOKMAN: Diane, you can respond if
2 you wish.

3 DR. JAKOBS: Actually, the way I read
4 this I would assume it would be covered from this
09:28:53 5 point of view as a, as a (sic) air handler. But,
6 you're right.

7 If, if you assume that the scope of
8 coverage isn't going to cover the air handler, then
9 hydraulic air handler isn't covered anywhere
09:29:12 10 either. And the, the, the units that are out today
11 don't have a (sic) energy guide label.

12 And CSA C823, they also -- I'm on a
13 committee for that one, too, for combo systems, and
14 they're, they're looking at trying to calculate the
09:29:26 15 efficiency for a whole match system, a water heater
16 and a (sic) air handler, and for the test you put
17 in.

18 And it's very -- It's a lot of testing
19 for that product. But, you know, you're right;
09:29:43 20 it's not covered.

21 MR. BROOKMAN: I want to make sure we're
22 as complete as possible. Let me ask you to focus
23 your attention on Item Number 3 and Item Number 4.

1 Karim, I wasn't sure you addressed these
2 things, especially the interpretation of the
3 relevant language of EPCA as excluding electricity
4 used by draft inducer fans, exhaust fans, and
09:30:03 5 heat/energy recovery ventilators.

6 DR. AMRANE: I didn't cover it, but I
7 agree with your interpretation.

8 MR. BROOKMAN: Yes. Okay.

9 So, then we'll take other comments on 3
09:30:12 10 and 4, 4 being a comment whether DOE should include
11 rated airflow capacity range or rated horsepower
12 range to help define the test procedure
13 applicability.

14 Diane.

09:30:23 15 DR. JAKOBS: So, I think that the rated
16 air flow really is a better descriptor of how the,
17 the blowers are used. And if you're just looking
18 at the motors, the horsepower would be good.

19 But, the, the, the housing and the
09:30:39 20 impeller make a big difference, and the CFM is
21 really, is more descriptive of the fan, furnace fan
22 assembly.

23 MR. BROOKMAN: Okay. Okay.

1 (Whereupon, at 9:30 a.m. ET, Mr. KHAN
2 and Mr. Stas conferred, out of the hearing of
3 others and off the Record, during which the
4 following occurred:)

09:30:56 5 MR. BROOKMAN: I want to make sure we're
6 complete here. This is important to the
7 Department.

8 Any additional comments or counterpoints
9 on, on these issues? Because we're about to move
09:31:04 10 on.

11 Ashley?

12 MS. ARMSTRONG: I actually have a
13 question. So, for Number 4, for, if DOE should
14 include or shouldn't include a rated airflow
09:31:14 15 capacity, what would you see that rated air flow
16 range being?

17 MR. BROOKMAN: Diane?

18 DR. JAKOBS: Well, if, if we're just
19 doing residential, I think you had a range in there
09:31:23 20 like 800 to 2,200.

21 MR. KHAN: Four-hundred.

22 DR. JAKOBS: Four-hundred.

23 MR. JASINSKI: Yeah, I think it was 400

1 to 2,200.

2 DR. JAKOBS: Yeah. I think if it's
3 residential, that's probably the range.

4 MR. BROOKMAN: Okay, thank you. So,
09:31:39 5 now, now we're going to move on.

6 MR. JASINSKI: Next I'll discuss the
7 modes of operation for furnace fans to include
8 active-mode operation, standby-mode operation, and
9 off-mode operation.

09:31:44 10 Active-mode operation is the mode of
11 operation during which the furnace is powered and
12 the impeller is in motion.

13 Standby mode of operation is during
14 which the furnace fan is powered but the impeller
09:31:57 15 is not in motion. DOE believes that furnace fan
16 standby consumption is indistinguishable from
17 standby consumption of the furnace fan product
18 because the furnace fan controls are typically
19 well-integrated into the controls of the furnace
09:32:09 20 fan product.

21 DOE also believes that this furnace fan
22 standby consumption will be accounted for in the
23 rulemaking for residential air-conditioning,

1 residential furnaces, and blowers.

2 The third mode of operation, off-mode
3 operation, is the mode of operation during which
4 the furnace fan product is not powered. DOE

09:32:24 5 believes that consumers are unlikely to set their
6 HVAC system, excuse me, to the "Off" mode.

7 Therefore, there will be no off-mode
8 furnace fan energy consumption.

9 At this time DOE seeks comment on its
09:32:38 10 assumptions about the electricity consumption in
11 each mode of operation.

12 MR. BROOKMAN: Diane.

13 DR. JAKOBS: Sorry. I just want to
14 point out that this is one point where you're
09:32:49 15 different from C823, and it was something we talked
16 about a lot.

17 But, for the standby mode, the ECM
18 motors, because their control is active, they
19 actually have a standby mode, but it's kind of a --
09:33:04 20 You could look at the control as being part of the
21 furnace, which is what I think you intended it as,
22 and then it ended up, because it was actually
23 attached to the motor, they wanted to find it

1 -- Fact is, there's a lot in my part of the world,
2 variable-speed units that are going in just as a
3 standby air handler feeding a third-party water
4 coil, and there it is.

09:34:24 5 And when, --

6 (Whereupon, at 9:34 a.m. ET, Msrs. Burt
7 and Bacchus conferred, out of the hearing of others
8 and off the Record, during which the following
9 occurred:)

09:34:28 10 MR. STEPHENS: -- when the consumer puts
11 it in the "off" position, "off" mode, the
12 transformer in that thing is humming away, and it
13 is using electricity, some electricity. And, no,
14 that won't be captured in some other Standards for
09:34:41 15 that unit.

16 So, I don't -- I, I think you're not
17 going to meet the statutory requirement if you
18 don't at least test these things and give them some
19 sort of a mode, recognizing that that will also be
09:34:53 20 subsumed in another rating if it's used with a
21 (sic) air-conditioning or heat-pump system.

22 Or, if it's in a gas furnace it may have
23 the very same rating, but these things are used in

1 other places besides just air conditioning and heat
2 pumps. And when they're out there, hundreds of
3 them where I am use that way.

4 And that -- and it's growing fast. You
09:35:22 5 have to account for these somehow, in my opinion.

6 MR. BROOKMAN: Thank you.

7 Diane?

8 DR. JAKOBS: I agree with you. But,
9 what area are you from?

09:35:29 10 MR. STEPHENS: Pacific Northwest.

11 DR. JAKOBS: Yeah, okay.

12 MR. BROOKMAN: Pacific Northwest, says
13 Charlie.

14 Go ahead.

09:35:37 15 DR. JAKOBS: But, those systems they
16 have also have a pump, and to keep the water from
17 getting stagnant, periodically the pump will run.
18 So, it's not just the transformer.

19 So, it's -- Yeah, the hydraulic systems.

09:35:50 20 Yeah.

21 MR. BROOKMAN: So, Diane, what would you
22 suggest the Department do in this case?

23 DR. JAKOBS: The -- Well, what's really

1 hard about all this is that the fan is part of a
2 system, and it's really hard to say, like, separate
3 it from -- You know, it -- And it's not even just
4 the air movement. It's part of the heat transfer
09:36:23 5 system.

6 So, it's doing more than just moving air
7 through ducts. And there's a lot of this overlap,
8 so, so it's difficult.

9 Like I've said before, I thought the
09:36:34 10 hydraulic air handlers would be covered, but till
11 this second I, I forgot about the pump. So --.

12 MR. BROOKMAN: Yeah, at this early stage
13 in these proceedings it's helpful for the
14 Department if people can offer up prospective
09:36:48 15 solutions. That's the reason I'm asking.

16 Yes, Jim.

17 MR. VERSHAW: Yes. Jim VerShaw.

18 Sounds like we're talking about a system
19 where somebody's bought a water system and bought a
09:36:58 20 coil and bought an air handler, and they're making
21 a furnace out of it. Now, what is the energy
22 conservation standard for that system?

23 Because it's not a lot of power that a

1 blower's going to use. It's maybe two to three
2 percent of the total amount of energy that that
3 water heater's going to use to heat the residence,
4 and that water heater was probably purchased with
09:37:18 5 80 percent steady-state, with an energy factor of
6 .8, .6, something like that.

7 What is it as a furnace? I mean, I
8 think there's a gap.

9 There's a real gap in the way that the
09:37:31 10 Department is handling that particular system. And
11 I think that the key for this is for the Department
12 to look at this system, make sure that those things
13 are really operated in the right way.

14 If, if it's being used as a furnace,
09:37:41 15 then, then I don't think it's an 80-percent
16 steady-state report because it has a much higher
17 stability. So, that efficiency goes way down.

18 Plus, it's using indoor air for
19 combustion, not outdoor air. The whole thing is,
09:37:56 20 has got a problem; needs to be --

21 MR. BROOKMAN: Diane, follow-on. Then
22 to Charlie.

23 Go ahead, Diane. Go ahead.

1 DR. JAKOBS: No, I've just -- I agree.
2 I mean, it's, it's, it's a gap, and no one has
3 suggested those systems should be 80-percent
4 efficient, so --.

09:38:13 5 MR. BROOKMAN: Charlie.

6 MR. STEPHENS: Charlie Stephens again.

7 I think people are misinterpreting the
8 kind of system I'm talking about here. I'll name
9 some brand names; just no offense to anybody else,
09:38:23 10 because there are other brands out there.

11 But, I know the brands because I, like I
12 said, two days ago I was inspecting it in the
13 field. It was a Carrier FV4 air handler,
14 variable-speed air handler running off a hydraulic
09:38:39 15 coil, third-party hydraulic coil with a hot- and
16 chilled-water supply by a heat pump system, an
17 air-to-water heat pump system.

18 So, that's what's going on here.
19 There's no, you know, no combustion of anything
09:38:53 20 here.

21 It's just hot water and chilled water
22 being supplied to a water coil on top, mounted on
23 top of a variable-speed air handler, a standard

1 off-the-shelf Carrier FV-4 air handler.

2 So, you know, these things are, are
3 happening out there more and more. And so the -- I
4 think, you know, the FV-4 has to have some kind of

09:39:15 5 a rating in order to be able to be used there.

6 MR. BROOKMAN: Okay.

7 Frank Stanonik.

8 MR. STANONIK: Frank Stanonik.

9 Is this a residential application?

09:39:25 10 MR. STEPHENS: And small commercial.

11 MR. STANONIK: Okay. But, this -- Right
12 now we're looking at, at the moment, at a Rule that
13 would cover -- My words here. -- a residential
14 furnace or, or arguably a residential heat pump or
09:39:40 15 residential air conditioner.

16 This, to me, sounds like a -- Again, I
17 wasn't there, but sounds like maybe a multi-family
18 kind of application, or something where you've got
19 this central system feeding either cooled or heated

09:39:54 20 water to maybe multiple air handlers. I don't
21 know, but I don't think it's, I don't think it's
22 currently within our scope of discussion.

23 MR. BROOKMAN: Charlie, go ahead.

1 MR. STEPHENS: No, it's a
2 3,000-square-foot house with -- I mean, an FE-4 is
3 a residential product. I mean, it's a single-phase
4 residential product.

09:40:13 5 It, it normally is associated with a
6 heat pump, an outdoor unit with a heat pump, but
7 not always. You can use it in other cases.

8 MR. BROOKMAN: Frank, go ahead.

9 MR. STANONIK: Frank Stanonik.

09:40:26 10 Where is the unit at that's providing
11 the chilled or heated water? Is it a --

12 MR. STEPHENS: It's a heat pump. It's
13 outside.

14 MR. STANONIK: It's --

09:40:35 15 MR. STEPHENS: How's that different?

16 MR. STANONIK: And --

17 MR. STEPHENS: And it's a, a fan. It
18 supplies hot water or chilled water to a module or
19 a tank, which is then routed to the air handler.

09:40:44 20 I mean, it's --

21 MR. BROOKMAN: Charlie, it seems as
22 though you're describing something that's sort of
23 an exception to this general description.

1 MR. STEPHENS: Except not where I live.
2 I mean, where I live it's actually becoming,
3 becoming rather common.

4 And it, it's growing. So, I think it
09:40:59 5 needs to be considered.

6 MR. BROOKMAN: Okay, thank you.

7 Let me go to Greg.

8 MR. WAGNER: Greg Wagner.

9 When I'm looking at this whole set of
09:41:10 10 discussion, the thing that's missing -- And you're
11 asking for solutions, Doug. -- is you're, it's,
12 it's talking about components versus talking about
13 systems.

14 And what happens when you look at just
09:41:23 15 components? You get some optimal system solutions.

16 And even in the case like this perhaps
17 there needs to be a special rule for these type of
18 systems that are outside of the scope of what
19 exists today as far as rules and laws. And this
09:41:36 20 kind of goes back to the original question of:

21 What are, what are we doing here as far
22 as scope?

23 MR. BROOKMAN: Scope. Right.

1 Diane, do you want to follow on?

2 DR. JAKOBS: (Nodded no.)

3 MR. BROOKMAN: Okay.

4 DR. JAKOBS: Not this time.

09:41:48 5 MR. BROOKMAN: Okay. One additional
6 comment.

7 I'm thinking we've covered this. Maybe
8 we've covered it more than once, so we're about to
9 move on.

09:41:54 10 You're next. Say your name, please.

11 MR. SMALL: Terry Small, Mortex.

12 I'd just like to point out that, much in
13 the same way, on a large commercial job you have
14 sort of the field and straw, different
09:42:06 15 combinations. I've seen residential jobs where
16 you're taking a regular residential heat-pump air
17 handler, you're putting a chilled water coil, a
18 heating coil in it.

19 You've got an ice bank that, a tank for
09:42:24 20 chilled or ice-melt water. You've got a solar
21 collector feeding the tank for solar-collected
22 water.

23 It's all sort of fabricated and

1 installed on site in a, in a house. There are
2 systems like this out there.

3 So, I think I agree with Greg. We've
4 got to be careful here.

09:42:43 5 That's -- What's been described is
6 almost something that's sort of a field-applied
7 system, and I think it's going to be a very
8 difficult area if you're going to get into that at
9 this point. I mean, I think this -- We should
09:42:56 10 stick strictly to the conventional furnace and the,
11 the fan once used by conventional furnaces.

12 MR. BROOKMAN: You okay?

13 Yes, ma'am.

14 (Whereupon, no response was had.)

09:43:08 15 MR. BROOKMAN: Okay, we're moving on.
16 Lane, please.

17 MR. BURT: Sorry. Lane Burt.

18 Just to be clear, I mean, the Statute
19 says that DOE's supposed to find significant energy
09:43:17 20 savings that are out there, are technically
21 feasible and economically justified. And if there
22 is a segment, a large application somewhere in the
23 country that's using things, even though they are

1 somewhat strange, it is up to the Department to
2 assess that and set the Standards according to the
3 Standards.

4 And just because it's a difficult
09:43:35 5 problem doesn't mean it shouldn't be undertaken.

6 And I appreciate that's --

7 MR. KHAN: Doug, Mohammed KHAN, DOE.

8 Before we move on I'd like to just
9 revisit a point that Diane had mentioned. I just
09:43:48 10 want to get some clarification, please.

11 We were talking about the issue of, I
12 guess, characterizing standby mode, off mode in the
13 context of the fan and, and the associated or
14 affiliated controls. I, I, I think I heard you say
09:44:04 15 that in Canada, with some of the, the furnace fans,
16 the controls are built or are integral to the, the,
17 the fan itself.

18 And, and if that's true, I just want to
19 make sure that is that, or is that not also the
09:44:20 20 case in the United States? Are we talking about
21 something different here, or not?

22 DR. JAKOBS: No, actually it's the same
23 products in Canada and the United States. It is

1 accounting for them somewhere.

2 DR. JAKOBS: Right.

3 MS. ARMSTRONG: It's just that we are,
4 we are arguing that for furnace fan standby, that
09:45:39 5 they'll be accounted for with the furnace and not
6 the fan.

7 DR. JAKOBS: Right. And I agree with
8 that.

9 MR. BROOKMAN: Karim?

09:45:44 10 DR. AMRANE: Right. And we agree with
11 that.

12 MR. BROOKMAN: Thank you.

13 Frank, you okay?

14 MR. STANONIK: (Nodded yes.)

09:45:48 15 MR. BROOKMAN: Okay.

16 Okay, so now we're moving in --

17 Oh, yes. Molly.

18 MS. TROMBLEY-McCANN: Molly

19 Trombley-McCann.

09:45:54 20 I wanted to ask some clarifying
21 questions. So, in the case of an air-handling unit
22 with an ECM and air-conditioning controls that
23 isn't part of the furnace, the standby modes, the

1 furnace would not be captured anywhere.

2 Is that true? I'm wondering about
3 systems and actual --

4 MR. VerSHAW: Well, -- Jim VerShaw.

09:46:14 5 You don't count an air handler with the
6 furnace because the furnace has the blower in it.

7 MS. TROMBLEY-McCANN: Sorry. So, what
8 I'm trying to ask is:

9 In the case where you have a system with
09:46:24 10 a (sic) ECM fan that is not coupled with a furnace,
11 where does that control board go? And, is it
12 captured in the standby modes?

13 MR. VerSHAW: It's in the product that
14 has the motor in it. And when the, when the -- At
09:46:37 15 least for the product that's, that we sell, when
16 the, when the Department goes and talks about
17 supply losses for those systems, it will be
18 involved in that.

19 DR. AMRANE: Right.

09:46:50 20 MR. BROOKMAN: Thank you, Jim.

21 Now Karim.

22 DR. AMRANE: Right. Last week we talked
23 about it, and I believe what DOE has proposed it

1 will account for what you have.

2 MR. BROOKMAN: Okay. We ready now?

3 (Whereupon, no response was had.)

4 MR. BROOKMAN: Okay.

09:47:00 5 MR. JASINSKI: Next I'll be discussing
6 the development of the furnace fan test procedure.
7 Initially DOE is reviewing two approaches to
8 develop a test procedure.

9 The first is to use the December, 2009,
09:47:11 10 draft version of Canadian Standard Association C823
11 as a framework. Please note that this, the, the,
12 the Draft that we refer to is available on the
13 Department of Energy web site.

14 In addition, this, please be aware that
09:47:25 15 the development of this procedure or this Standard
16 is still in, in progress.

17 The second approach that DOE is
18 reviewing is to use the blower electricity
19 measurement, BE, which is specified in the
09:47:39 20 Department of Energy's residential furnace test
21 procedure.

22 To begin, I'll go into a little bit more
23 detail about CSA C823. The purpose of this

1 Standard is to develop an annual electricity
2 consumption rating, or AECR ratings for air
3 handlers that are, include that procedure.

4 Methodology to do so is a bit complex,
09:48:03 5 and the following, the, the slides to follow will
6 go into that in a little bit more detail. Also
7 listed are the multiple existing industry test
8 procedures referenced within CSA C823.

9 At this time DOE welcomes any comments
09:48:18 10 on the use of CSA C823 as a framework, as well as
11 any information about other existing industry test
12 procedures that may be applicable to rating furnace
13 fan performance.

14 MR. BROOKMAN: Diane?

09:48:36 15 DR. JAKOBS: I think I, I talked a
16 little bit about it in my opening remarks, but one
17 of the things with C823, we are very specific about
18 the climate and the heating hours. And they have a
19 little different way of doing heating hours.

09:48:54 20 I've -- We have different names, but
21 the, we have maps. And the ASHRAE 103 or AHRI
22 210-45 show heating and cooling hours.

23 And the way they're computing that in

1 Canada is different, so, so that that, that there
2 will have to be that adjustment. But, the thing
3 that's difficult is that you get an -- Today for
4 ASHRAE, ASHRAE 103 with the AUFEE Standard, we
09:49:25 5 calculate a use of AE.

6 And it's, it's a kilowatt-hour number, I
7 guess, but they're all different. And you -- It
8 depends on the capacity, and it's difficult to
9 compare one unit to the other.

09:49:38 10 So, in my mind, this will give you more
11 numbers just like that. And, and we're, we're not
12 against -- We are -- I want to provide information
13 that our customers will be able to use and will
14 help them make the right application so they're
09:49:55 15 happy with our products, but ASHRAE doesn't seem to
16 be a useful number.

17 MR. BROOKMAN: Well, when you say "this"
18 will give you better numbers, what, what, what are
19 you -- What -- Be specific. What are you --

09:50:08 20 DR. JAKOBS: The idea of, like, 13 SEER,
21 people seem to understand that; or 80 percent AUFEE.
22 And it doesn't matter what capacity furnace.

23 It doesn't matter, you know, if it's

1 upflow or down-flow, or -- You know, it's something
2 that people can understand. And they can look at
3 our ledger, and they can look at Ingersoll Rand
4 ledger, and they can make a comparison, whereas
09:50:33 5 using this C823, it's going to be very difficult to
6 make any comparisons.

7 You're going to have to -- We make a, a
8 number of assumptions about the cooling capacity
9 and heating capacity, and how the installation is.
09:50:52 10 And you -- We'll have to make that same number of
11 assumptions to compare two units.

12 You can make kind of broad comparisons,
13 but, but there are easier ways to do that, to make
14 a, a broad comparison. If you want to be so
09:51:06 15 specific, it would really take a knowledgeable
16 person to use the data that we're thinking about in
17 CSA CA823 producing.

18 MR. BROOKMAN: Okay, thank you.

19 Okay? Karim.

09:51:21 20 DR. AMRANE: Karim Amrane, AHRI.

21 As Diane stated, we have some concerns
22 about, about the CSA Standard. And several things
23 -- the process, the content, everything else that,

1 that the Committee has produced, we have concerns
2 with that.

3 And as an industry, we, we are exploring
4 writing new test procedure for, for, for the air
09:51:46 5 handler. And we going to be starting the process
6 probably next week.

7 We going to have initial meeting next
8 week, and based on that meeting we make a decision
9 on whether we can move forward with the, with a
09:52:01 10 Standard Project Committee. And if we do, we'll
11 make announcement to, to everybody who is
12 interested to participate in that committee.

13 So, it's going to be open to DOE, to
14 anyone who is interested in that subject. So, more
09:52:13 15 to follow within a week or so.

16 MR. BROOKMAN: Thank you. And how long
17 might that take, do you think?

18 DR. AMRANE: Well, that's going to be a
19 good question. And, actually, I have a question
09:52:21 20 for DOE, because initially there was some
21 discussion within DOE to combine the furnace
22 efficiency Standard, the air-conditioning
23 efficiency Standard, and the furnace fan efficiency

1 Standard into one mega rulemaking.

2 And we are on record to saying we
3 shouldn't. We shouldn't include the fans within
4 the furnace efficiency rulemaking because,

09:52:43 5 according to EISA, DOE has until 2013 to issue the
6 final Rule.

7 So, you have, you have more time than if
8 you, if you combine the three together, which will
9 force you to finish this, the test procedure and
09:52:56 10 the efficiency Standard, before May of next year,
11 and we don't believe that you have enough time to
12 do that. So, so we would like you to decouple the,
13 the furnace efficiency and the central AC
14 efficiency from this rulemaking.

09:53:09 15 In doing so, you'll have more time and
16 we will be then working with you and, and others to
17 try to come up with a test procedure that is
18 acceptable to industry and to everybody else.

19 MR. BROOKMAN: Okay, thank you.

09:53:21 20 Diane?

21 I would note that Karim's comment is
22 responsive to Item Number 8, which requires about
23 the existence and applicability of other industry

1 test procedures.

2 So, Diane.

3 DR. JAKOBS: Can I -- I want to go back
4 to the second half of Item 7, where you talk
09:53:36 5 about --

6 MR. BROOKMAN: Yes, please do.

7 DR. JAKOBS: -- AMCA 210 and ASHRAE -5.
8 And CSA C823 does use those Standards, so the
9 actual test procedure is something we've used for a
09:53:47 10 long time.

11 And we all have equipment and we know
12 how to run the test and we all have, we have data.
13 So, that part of C823 is really good, and I would
14 commend, you know, I would suggest that any
09:54:02 15 Standard we have, we would continue in that, with
16 that idea.

17 It would be consistent with this testing
18 that we do for SEER, and that part of it makes a
19 lot of sense to me.

09:54:14 20 MR. BROOKMAN: Okay, thank you. That's
21 helpful.

22 Frank?

23 MR. STANONIK: Frank Stanonik, AHRI.

1 I've also got a question relative to
2 this general question of the Canadian Standard or
3 some other Standards. Does this necessarily have
4 to be an either/or?

09:54:35 5 And what I'm thinking is the, a, a
6 traditional gas or oil furnace. We have been
7 measuring some electrical consumption of that fan
8 since the first AUFFE test procedures, and so this
9 certainly has, let's say, some historical inertia
09:55:02 10 or whatever you want to call it to see if we can
11 possibly amend that to make it fit what DOE's been
12 asked to do.

13 But, on the other hand, there are some,
14 for lack of a better word, separate air handlers
09:55:15 15 that, that aren't necessarily part of an
16 air-conditioning system or not necessarily part of
17 a, a manufactured heat-pump system or whatever.
18 And in that case, maybe a Canadian-like test might
19 be a fit or something.

09:55:37 20 And I -- And the reason I raise that is
21 because when we, at least when I first heard about
22 this, this activity up in Canada, my first thought
23 is, well, okay, you know, I tried to get

1 clarification: Is, is a furnace an air handler?

2 Because in my own mind, the answer was

3 no. I mean, since, since the dawn of furnace

4 efficiency Regulations, gravity furnaces went out

09:56:07 5 the window.

6 So, for the last, whatever, 30 years,

7 furnaces have had fans. And to somehow say, "Well,

8 we're only going to look at -- We're going to

9 reclassify it as an air handler," it's like, "Wait

09:56:21 10 a minute. It's a furnace, the whole system."

11 And so I guess I'm just thinking.

12 Again, things have evolved.

13 We have other kind of systems. There

14 are things out there that are nothing more than a

09:56:30 15 box and a motor and a blower in it, and other

16 things get added in the field.

17 And, and maybe other, a possible path is

18 you have two procedures, one that just deals with

19 what we've been doing on furnaces for 40 years,

09:56:46 20 whatever number, and one that addresses the fact

21 that this, this box out here that is now in use at

22 the moment, and it has a blower in it and uses

23 electricity.

1 And, and, I mean, the endpoint of this
2 is to save energy, right? And at this point that
3 box is unregulated, as far as I know.

4 I guess I'm, just want to maybe plant
09:57:10 5 the seed that maybe, maybe it's not an either/or,
6 but two procedures.

7 MS. ARMSTRONG: You going to answer
8 that?

9 MR. BROOKMAN: Hang on. Okay, Jim.
09:57:26 10 Yes.

11 MR. VerSHAW: Yeah. Jim VerShaw.

12 I think, I think the CSA1 Standard
13 started in the right place and then went awry. I
14 think starting with ACRE was right, but then became
09:57:37 15 a flawed and cumbersome procedure.

16 Then I think, I think as we get into
17 various issues, as we get into various comments,
18 you can see that there are quite a few things that
19 are problematic.

09:57:47 20 MR. BROOKMAN: Okay. And that's an
21 opportunity that you will be able to comment on
22 later on.

23 Okay, I want to make sure we capture

1 that completely.

2 Jim Ranfone.

3 MR. RANFONE: Jim Ranfone, AGA.

4 Just a question about 823. And I think

09:57:59 5 this is part of the confusion.

6 Are electric resistance furnaces

7 included as air handlers in that document?

8 MR. JASINSKI: (Nodded yes.)

9 MR. RANFONE: Okay. So, the --

09:58:08 10 MR. BROOKMAN: Wait. Let's get an

11 answer.

12 Were they?

13 MR. JASINSKI: Yes.

14 MR. BROOKMAN: Yes.

09:58:15 15 MR. RANFONE: Okay. So, they would be

16 covered under 823.

17 How about the fans and motors from a

18 fossil fuel? Were they covered in 823?

19 MR. JASINSKI: (Nodded yes.)

09:58:26 20 MR. RANFONE: So, that's all-inclusive

21 then. And how do they distinguish the difference

22 between an electric resistant furnace and an air

23 handler that has electric resistance air handler?

1 MR. BROOKMAN: Let's let the Department
2 respond.

3 MR. JASINSKI: I don't know that there's
4 any distinction in CSA C823.

09:58:43 5 Diane, you can correct me if I'm wrong.

6 DR. JAKOBS: No, it -- For the test, we
7 only operate the blower, so it doesn't matter where
8 the heat or cooling is coming from. The only thing
9 that's ac-, you know, activated during the test is
09:58:54 10 the blower.

11 MR. KHAN: I'll, I'll just add I think
12 it's important to make, I think it's important to
13 understand that, -- And, again, Diane, you can
14 correct me if I'm wrong. -- that CSA C823 has made
09:59:09 15 it very clear that they're trying to, they're
16 setting this performance standard separate from any
17 -- It's entirely about the performance of moving
18 air.

19 MR. RANFONE: Right. This is Jim
09:59:20 20 Ranfone.

21 And I think we get back to the original
22 statements about the scope of this work. I thought
23 that's exactly what DOE was saying was covered by

1 legislation.

2 I think we're maybe, you know, going off
3 from, from different mechanisms here, or different
4 methods, and I think we focus back on what DOE's
09:59:39 5 interpretation of the law is, that all these
6 products are covered.

7 Now, we may find out that that's not
8 true, but, I mean, at this point in time, 823
9 covers all that, and they're only looking at the
09:59:50 10 blower components, whether it's an air handler,
11 furnace, gas, electric, or oil. That would seem to
12 me to be the scope of the work that DOE's looking
13 at, or what the legislation is intended.

14 Again, I don't -- I'm not an expert on
10:00:03 15 what the legislation says, but that would keep
16 everybody on the same footing.

17 MR. BROOKMAN: Okay. Do you want to
18 respond?

19 MR. JASINSKI: I think Ashley --

10:00:11 20 MR. BROOKMAN: Ashley does?

21 MS. ARMSTRONG: I don't want to respond
22 to that one, but I want to go back to Frank's point
23 about whether DOE could use something in the

1 existing test procedures.

2 And I'm assuming you're, you're going
3 down the road of the BE, like the blower
4 electricity. That, that, that's coming in about
10:00:28 5 eight slides.

6 And DOE could do something like that.
7 They could use components for CSA.

8 They could use something in between.
9 So, if anyone has, you know, recommendations for
10:00:38 10 something other than these two alternatives, this
11 was just a preliminary review. We're obviously at
12 this point --

13 MR. BROOKMAN: Yeah. Do you want to get
14 them now, or in eight slides?

10:00:46 15 MS. ARMSTRONG: No, in, in a couple
16 slides we'll talk about BE and a couple of
17 modifications that temporarily could be.

18 MR. BROOKMAN: Okay.

19 I saw Greg first, and then back to
10:00:54 20 Diane.

21 MR. WAGNER: Greg Wagner again.

22 The goal is to achieve maximum energy
23 efficiency. One of the problems with the C823

1 from their point of view, you know, it's a valid
2 mode of operation.

3 MR. BROOKMAN: Okay. I think I've got
4 that.

10:02:21 5 Okay. Are we ready to move on?

6 Yes, Jim.

7 MR. BACCHUS: Jamy.

8 MR. BROOKMAN: Jamy.

9 MR. BACCHUS: Jamy Bacchus.

10:02:29 10 I'll just tack onto Diane's comment that
11 in newer homes, sealed homes where you have better
12 control of infiltration, we're seeing more of that
13 latter case where you're running the fan in just
14 continuous mode rather than cycling it on and off.

10:02:48 15 MR. BROOKMAN: Okay, thank you.

16 MR. JASINSKI: Okay, thank you. Now
17 we'll get into a little bit more detail about the
18 methodology that CSA C823 specifies.

19 The initial steps of CSA C823 specify
10:03:04 20 measurements of air flow and electricity
21 consumption at various external static pressures
22 for each available fan motor speed control setting.
23 Once these measurements have been taken, CSA then

1 specifies to plot external static, and the results
2 are performance curves as shown here.

3 Note that there's one for each
4 speed-control setting. As has been mentioned, I
10:03:27 5 think, DOE believes that this in, to some extent is
6 already in, being used by manufacturers, by furnace
7 fan manufacturers.

8 At this time DOE seeks comment on the
9 methodology specified by CSA C823 to develop
10:03:43 10 performance curves, as well as some of the
11 operating criteria used to take those measurement.

12 MR. BROOKMAN: You can see the comment
13 boxes listed there.

14 Diane.

10:03:51 15 DR. JAKOBS: Yeah, I agree that, that we
16 do follow that methodology. There are -- We all
17 have it in our specifications to give to the
18 installer, give information to the installer.

19 We, we typically do it on the same
10:04:08 20 increment of points. There is one difference:
21 that PSC motors, at least for Rheem, generally go
22 up to seven-tenths of an inch static, and some of
23 the ECM motors, we've, we've gone further and given

1 information up to an inch of static.

2 So, there's, there's differences on --

3 We still recommend that you design the ductwork in

4 the same way, but we recognize that people, the ECM

10:04:41 5 motor will speed up, and if you have restricted

6 ductwork you can get the air flow. And our

7 customers have asked for information, and we

8 provide it.

9 So, there's a little bit of variation

10:04:52 10 there, but performing the, or providing the

11 performance curve, that part's pretty

12 straight-forward.

13 MR. BROOKMAN: Jim?

14 MR. VerSHAW: Yeah. We -- Performance

10:05:04 15 curve generation is fine.

16 The, the number of points that, that CSA

17 -- They're requiring increments of .1 inches of

18 water power, and that's, that's twice as many as

19 you need. You can go every two-tenths and be just

10:05:21 20 fine.

21 And we've been doing that -- Well, 40

22 years ago my dad actually got a stoker, and he was

23 pleased. So, -- But you don't get anomalies that

1 small amount.

2 Look at an ECM motor where it, there
3 will be ability to go with three different
4 air-conditioning capacities, and each of those has
10:05:42 5 three different air flows, 300, 400, 350 CFM per
6 ton, plus you've got heating. And if it's a
7 multiple-modulating or two-speed, you've got a lot
8 of points.

9 And so you've got to make sure that, you
10:05:56 10 know, you're not overly burdening. We take it
11 every two-tenths and we have data that shows all of
12 our operation.

13 And I don't think that adding, adding
14 double number of points I don't think is going to
10:06:07 15 add any, any value at all.

16 MR. BROOKMAN: Two-tenths, two-tenths is
17 based on your, your practical company experience?

18 MR. VerSHAW: Right.

19 MR. BROOKMAN: Thank you. Actually, --

10:06:19 20 MR. KHAN: Mohammed KHAN.

21 DOE appreciates the recommendation on
22 the interval, but for the Record, I was wondering
23 if we could hear from you maybe what you think that

1 range ought to be, as well.

2 MR. BROOKMAN: Jim.

3 MR. VerSHAW: We, we go -- We start at
4 .1 inches static pressure and we go to whatever
10:06:38 5 the, the system will provide. Now, on, on a PSC
6 motor, eight-tenths, and depending on the system,
7 on an ECM motor it's around an inch; not too much
8 over that because the power just falls off in,
9 in --

10:06:52 10 MR. BROOKMAN: Diane, do you want to
11 comment?

12 DR. JAKOBS: Yeah. One of the -- We did
13 some examples for C823, and we're fitting quadratic
14 curves to do it.

10:07:03 15 So, theoretically you only need three
16 points. The important part is to get the end
17 point, the high point, the low point, and one in
18 the middle so, so you're not extrapolating. But,
19 --.

10:07:11 20 MR. BROOKMAN: Bryan, you want in here,
21 Bryan?

22 MR. ROCKY: Yeah, Bryan Rocky.

23 To kind of counterpoint Jim as far as

1 the, the, the system curve performance, there is a
2 little bit of an issue again, as our view is that
3 C-, CSA C823 is very complex. And based on the
4 control systems that are used with the furnace
10:07:33 5 boards, especially as you get into modulating
6 furnaces, you don't have necessarily three or four
7 operating speed points.

8 Actually, in, in our designs you can
9 have up to 100 individual calculated blower curves
10:07:46 10 following this procedure. And that's a significant
11 difference because of the way the furnace operates.

12 For PSE motors it's a three- or
13 four-speed, or two-speed. No problem at all.

14 You get in with someone with the
10:08:01 15 standard OCM, it gets more complex. And you get
16 into the modulating furnaces, this, this approach
17 starts to fall down really quickly just from the
18 complexity.

19 From the size of the increments, I think
10:08:16 20 I agree with Diane and Jim as well. You know,
21 two-tenths should be very adequate for the
22 application, and no more; with a maximum of no more
23 than one inch for a residential application at any,

1 by any means, as far as the using, using them in
2 this procedure.

3 MR. BROOKMAN: Okay, thank you.

4 Looking to the comment boxes, please do
10:08:38 5 so. Please look at Slide 25 and make sure we've
6 covered it sufficiently.

7 Anything else?

8 MR. JASINSKI: Doug, I'd just like to
9 add.

10:08:49 10 MR. BROOKMAN: Please do.

11 MR. JASINSKI: Speaking to something
12 that Jim VerShaw said about anomalies, I think
13 that's something very important for our
14 stabilization static pressure, electricity
10:08:59 15 consumption, and air flow.

16 Does anyone that you know performs these
17 tests have any input on what adequate stabilization
18 criteria for those measurements should be so that
19 if you are only taking two or three points, that
10:09:12 20 you can have, that you can be very confident in
21 those points?

22 MR. BROOKMAN: Jim?

23 MR. VerSHAW: Off the top of my head I

1 don't remember what it is, but there is, there is,
2 and it's not 45 minutes. I mean it steadies out
3 reasonably quickly.

4 MR. JASINSKI: Okay. I'll mention --

10:09:31 5 MR. VerSHAW: I'll put it in written
6 comments. I'll --

7 MR. BROOKMAN: Yeah.

8 I see both Greg and Diane ready to
9 respond.

10:09:33 10 MR. WAGNER: I was going to say,
11 typically air flow measurements are made in, like,
12 a-half minute to minute window, taking 30
13 measurements every so often and averaging them.
14 Because of fluctuations in pressure you have to do
10:09:45 15 a time average, or sampling average, I should say.

16 DR. JAKOBS: Yeah.

17 MR. BROOKMAN: Diane.

18 DR. JAKOBS: We've done -- We have, we
19 have some testing centers that are computer
10:09:57 20 operated and some manually operated. And I think
21 we wait two inches for the one that no one is
22 watching, to be sure.

23 MS. ARMSTRONG: Two, two minutes?

1 DR. JAKOBS: Two, two minutes. Thank
2 you.

3 MR. BROOKMAN: Thank you.

4 DR. JAKOBS: Yes. And so if, if a
10:10:12 5 person is watching it and can see, you know, the,
6 level it out, they can go faster.

7 MR. JASINSKI: And how much are those
8 measurements allowed to vary in two minutes? Do
9 you know?

10:10:22 10 DR. JAKOBS: I don't remember exactly.

11 MR. JASINSKI: Is it based on a
12 percentage or on, you know, a, a, a static pressure
13 tolerance perhaps?

14 DR. JAKOBS: Well, they're watching CFM
10:10:33 15 to find out.

16 MR. JASINSKI: Well, those are the
17 things we're looking for in the written comments.

18 MR. BROOKMAN: In your written comments.
19 Okay.

10:10:40 20 That would be helpful for the
21 Department. Anything else on Item 9, 10, and 11?

22 MR. JASINSKI: I think, I think it's
23 important to also focus on 11. I know that I think

1 we had some -- The, the gentleman from Johnson
2 Controls mentioned that ECM motors have, when, when
3 the manufacturer of the furnace fan gets them, the,
4 the possibility of over 100 speeds.

10:11:01 5 Now, once, once these motors can be
6 implemented into furnace fan products, do they
7 still have 100 speeds, or, or --

8 MR. ROCKY: Let me, let me clarify.
9 Bryan Rocky.

10:11:14 10 MR. BROOKMAN: Sure.

11 MR. ROCKY: In our particular design,
12 we, our modulating furnace actually has 100 stages
13 of modulation of heat. And in every case of that
14 modulating and heat input, we are adjusting the fan

10:11:28 15 curve --

16 MR. BROOKMAN: Okay.

17 MR. ROCKY: -- to provide optimal
18 performance.

19 Now, the other manufacturers who do
10:11:35 20 modulating furnaces do something similar, but not
21 necessarily to that extent. But, for our product,
22 that is defined as the way the system operates, and
23 so in calculating the furnace operating point you

1 are going to have to calculate, we are going to
2 have to calculate 100 operating curves for blower
3 panel performance.

4 DR. JAKOBS: Actually, for, say, if it
10:11:55 5 -- The way C823 is, it would only be the maximum
6 and minimum for heating mode, and it would --

7 MR. BROOKMAN: Thanks, Diane. Yeah.

8 DR. JAKOBS: Cooling, if you had multi
9 speeds, it's the maximum/minimum.

10:12:08 10 MR. BROOKMAN: Okay. Okay.

11 MR. JASINSKI: Thank you.

12 MR. BROOKMAN: Yes?

13 MR. JASINSKI: Um-hum.

14 MR. BROOKMAN: Okay.

10:12:14 15 MR. JASINSKI: Next after development of
16 the performance curves, CSA C823 specifies
17 derivation of the reference system load curve. The
18 reference system load curve determines performance
19 at common operating conditions to allow for

10:12:28 20 comparison across products.

21 It's based on the governing equation P_s
22 equals K time Q -squared, shown, as well as
23 specified reference system operating criteria. The

1 governing equation describes the external static
2 pressure piece of S as the function of the physical
3 characteristic of the system, K, and air flow,
4 Q-squared.

10:12:47 5 Reference system operating is the
6 criteria specified in CSA C823, the achievement of
7 125 or equivalent, half-inch water column in the
8 default heat speed setting. Uses these operating
9 criteria, the specified operating criteria, and the
10:13:04 10 air-flow measurements that were used in developing
11 the performance curves.

12 A value for K can be derived, and once
13 the value for K is known, the reference system load
14 curve can be plotted as shown.

10:13:15 15 (Whereupon, at 10:13 a.m. ET, Msrs. Burt
16 and Bacchus conferred, out of the hearing of others
17 and off the Record, during which the following
18 occurred:)

19 MR. JASINSKI: Diana has a question.

10:13:22 20 DR. JAKOBS: One of the, the issues with
21 this is in Canada it's a good assumption that the
22 ductwork was designed based on the heating flow of
23 the heating design. That -- And that's not such a

1 good assumption here.

2 It might be a good assumption in Chicago
3 or Minneapolis, but certainly not in Arkansas where
4 I live. And, actually, you know, my first
10:13:52 5 impression would be that ductwork would be designed
6 for the cooling mode.

7 That -- But, what we, we would -- You'd
8 do a load calculation and you would determine what
9 your cooling capacity was, what your heating
10:14:05 10 capacity was, what the associated CFM was, and
11 whichever one was the highest, that was, if you
12 were starting from scratch, that's what you would
13 design your ductwork for.

14 So, the problem with this is that you,
10:14:18 15 we, we, the, the only point that is determined is
16 on the heating curve, and then the rating curves
17 are just kind of where you end up for the cooling.
18 And what happened in the examples that I ran was
19 that we ended up at statics that were beyond the
10:14:38 20 manufacturer's recommended operation of the
21 equipment.

22 And we had lots of arguments about what
23 was the ductwork, you know, when you go out and you

1 test it. There's a lot of restrictive ductwork out
2 in the world, and, or in North America, but it,
3 it's a matter of: What, what are you trying to do?

4 Are you trying to describe efficiency
10:15:05 5 when people don't follow the rules and don't have a
6 good installation? Or, you know, are you trying to
7 look at what's the efficiency when, when it's a
8 good installation?

9 So, the half-inch, that would not be a
10:15:21 10 good installation.

11 (Whereupon, at 10:15 a.m. ET, Mr. Rocky
12 and Mr. Fowble conferred, out of the hearing of
13 others and off the Record, during which the
14 following occurred:)

10:15:24 15 DR. JAKOBS: We recommend two-tenths of
16 an inch for the static.

17 MR. BROOKMAN: Knowing you're also
18 implicitly recommending a default for the
19 development, aren't you?

10:15:36 20 DR. JAKOBS: Yeah.

21 MR. BROOKMAN: So, state it plainly.

22 DR. JAKOBS: Oh, am I?

23 MR. BROOKMAN: Yes.

1 DR. JAKOBS: Yeah. Yeah.

2 If the Department would like to know
3 what I thought, yes. And, actually, for C823,
4 since the, the, the Committee has gone on and we
10:15:52 5 decided to use two static points, we, we actually
6 did .3 and .6.

7 And we are going to show data from a
8 recommended installation and the poor installation.
9 So, we want to show people that it matters, you
10:16:07 10 know, and what, what is the difference in you,
11 based on your installation.

12 So, that, that's a real issue. People
13 can -- They're taking our wonderful equipment that
14 we designed, and they're misusing it.

10:16:20 15 And they -- It's, costs them money and
16 energy.

17 MR. BROOKMAN: Yeah. Got you.

18 DR. JAKOBS: And, you know. So, okay.

19 MR. WAGNER: I would also agree with
10:16:29 20 Diane on that point. Part of it, part of the
21 recommendation is that you start codifying poor
22 installations by recommending high static.

23 That's, that's, that's not a good

1 direction to go. We should be going in the other
2 direction to force, or to help people understand
3 that they need to use good installations, good
4 practices.

10:16:51 5 Second thing, -- And this really has to
6 do with, really, Item 13, I guess it would be, the
7 system load curve. The problem is not all systems
8 are the same.

9 AHRI reported recently back to the C823
10:17:05 10 Committee that, for example, in the cooling mode,
11 that the CFM is between 400 and 290 CFM per ton.
12 That's a one-and-a-half times swing.

13 If you use that squared function curve,
14 you get significant increase in the amount of
10:17:21 15 pressure required, and up to three and a-half times
16 the energy required, depending upon which end of
17 that CFM-per-ton scale you're on. So, depending
18 upon what the system is, you may have totally
19 different ratings that would mislead the customer
10:17:36 20 as far as how they would use that product.

21 MR. BROOKMAN: Let's hear from Jim
22 first, and then --

23 MR. VerSHAW: Yeah, Jim VerShaw.

1 The heating default doesn't match with
2 any of the other conditions that we have to test
3 furnaces under. And then it would inherently,
4 because almost all furnaces that are installed with
10:17:58 5 lower, or lower air flow or heating than cooling
6 would inherently be above what we test air
7 conditioners at.

8 And seems like if you're going to have
9 it, seems you would not create different test
10:18:13 10 points.

11 MR. BROOKMAN: What would you suggest?

12 MR. VerSHAW: Well, I'd like to see us
13 match up with test performances for furnaces, which
14 manufacturers watch static pressures they should be
10:18:22 15 operated on if you retest. And that would be the
16 condition that you would, you would run the blower
17 at.

18 MR. BROOKMAN: Okay. Charlie?

19 MR. VerSHAW: And, in fact, take BE,
10:18:30 20 which I think is appropriate way to do this, and,
21 and have a watt, a watt, a watt number rather than
22 a more complicated thing.

23 MR. BROOKMAN: Charlie Stephens.

1 MR. STEPHENS: Charlie Stephens.

2 We -- I've personally done quite a bit
3 of testing of installed systems out there, most
4 with air conditioning, but some without it. As I
10:18:51 5 recall -- I don't have the data with me, but I
6 don't think we found any systems that were
7 operating under .4 inches.

8 The coil in an air-condition system adds
9 about .15 to .2 just all by itself, external to the
10:19:06 10 furnace. So, most -- The range we found most often
11 was .4 to .8.

12 And a lot of them did cluster right
13 around .5. So, I don't find that, at least out
14 where I live, I don't see that a .5 is an
10:19:21 15 unreasonable number to be using for this sort of
16 thing.

17 That's pretty much a weighted average of
18 what we found. I find it in the field.

19 MR. BROOKMAN: When you say out where
10:19:29 20 you live, are you talking about Pacific Northwest,
21 or all --

22 MR. STEPHENS: Pacific Northwest and,
23 and a little bit of data in California that we've

1 been doing.

2 MR. BROOKMAN: Okay, let's hear from
3 Molly.

4 MS. TROMBLEY-McCANN: Molly
10:19:37 5 Trombley-McCann.

6 I do want to point out that I agree with
7 Jim. That is, it doesn't make a whole lot of sense
8 to have a different external static test point for
9 a furnace fan and then a furnace fan operating with
10:19:51 10 a furnace.

11 It seems a little bit of a disconnect.
12 However, to Charlie's point, I think that a higher
13 level than what is currently used in the furnace
14 test procedure is more appropriate.

10:20:00 15 And while I do sympathize with the
16 desire to not codify a bad duct design, the purpose
17 of the Standard is to allow consumers to compare
18 equipment as it will, will operate in their homes,
19 and determine which is more efficient.

10:20:14 20 And if what we're seeing is that in
21 actual operation there's high static, higher than
22 what they're using in the test procedure, then that
23 needs to be changed.

1 MR. BROOKMAN: Is it Cyril?

2 MR. FOWBLE: Cyril.

3 MR. BROOKMAN: Cyril, please.

4 MR. FOWBLE: Cyril Fowble, Lennox

10:20:22 5 International.

6 I disagree with that. The purpose of
7 the Standards and the work we're doing, I think
8 we're getting into the weeds -- Not the weeds, but
9 a lot of detail here.

10:20:32 10 This is, to use an automobile mileage
11 analogy here, specifically I don't mean to be
12 comparing, but you're not going to get 97 or 96 or
13 80 mpg in every engine in every car. Every engine
14 depends on how they are each built and driven and a
10:20:46 15 lot of other things.

16 I agree with Jim that maybe we should
17 have a, you know, a common set, and if we're using
18 Standard for heating, for example, saying we're
19 going to be, to have .2 or 2 or 12, whatever the
10:21:00 20 numbers are to be matched up to a furnace here,
21 because all of this system we're doing with this is
22 getting us, you know, it's like we're providing
23 data.

1 And you'll need about a million points
2 for every single application in, for the consumer.
3 And the purpose of the Standard is not necessarily
4 to give, you know, rating points for all the
10:21:16 5 consumers, but to give them the ability to compare
6 one model to another model, and, again, a specific
7 set of conditions.

8 MR. BROOKMAN: Greg, and then Diane.

9 MR. WAGNER: To talk to -- What's your
10:21:29 10 name again? I apologize.

11 MR. STEPHENS: Charlie Stephens.

12 MR. BROOKMAN: Charlie.

13 MR. WAGNER: Charlie. Said it enough
14 times.

10:21:33 15 The, the issue of the higher static
16 application --

17 (Whereupon, at 10:21 a.m. ET, Ms.
18 Trombley-McCann and Mr. Burt conferred, out of the
19 hearing of others and off the Record, during which
10:21:36 20 the following occurred:)

21 MR. WAGNER: -- is often due to
22 oversizing of equipment. In the Canadian
23 rulemaking process it was reported that on average

1 the typical furnace is 80 percent oversized in
2 application.

3 MR. BROOKMAN: Wow.

4 MR. WAGNER: With that 80-percent
10:21:56 5 oversize, you take the numbers that these guys test
6 their systems to -- We're just talking about the
7 low static pressure. -- and it converts up, using
8 that P equals $K-Q$ -squared to get you to that .7, .8
9 in the field.

10:22:11 10 Changing people's behavior is not going
11 to happen through trying to do laws that regulate
12 the electricity. It's got to happen through other
13 mechanisms.

14 So, just by rating it, you're not
10:22:22 15 necessarily going to help the consumer in that way.
16 You're helping the consumer to say, "This is good
17 practice. This is what I should be doing."

18 And at the end of the day, that's what
19 the DOE's telling us.

10:22:33 20 MR. BROOKMAN: Okay.

21 Diane.

22 DR. JAKOBS: I just wanted to say that,
23 well, during the development of the Standard I

1 wanted to put some numbers to some of this. And I
2 used some examples.

3 Carrier had offered to be an example,
4 but then a PSA motor. And I used, I used someone
10:22:53 5 else's that we had tested in our lab.

6 And it was kind of innocent, but we
7 usually have this second curve as our heating
8 speed. And I used that, and then it was pointed
9 out that that didn't make sense.

10:23:08 10 But, it completely changed with the
11 intersection with the other curves. So, it --
12 Someone could specify the heating curve that didn't
13 really make sense, and control, you know, their
14 rating points as it intersected the other curve.

10:23:24 15 So, this idea of it being realistic and,
16 you know, is kind of like in the field and you get
17 what you get. It, it might give more varied, and,
18 and something that people could take advantage of.

19 So, I think we would really prefer a
10:23:42 20 specific rating point.

21 MR. BROOKMAN: Okay.

22 DR. JAKOBS: You know. And part of all
23 the calculations, I had to do curve fitting so I

1 external static and to total static. Can we get
2 confirmation that CSA C823, Section 89.2, is
3 referring to total statics or external?

4 MR. BROOKMAN: I believe it's external.

10:25:04 5 DR. JAKOBS: Yeah, it's external.

6 MR. BROOKMAN: Yeah, I believe Diane
7 says it's external, also.

8 DR. JAKOBS: Yes. For everything.

9 MR. BROOKMAN: Okay. Have we covered
10:25:13 10 this now?

11 (Whereupon, no response was had.)

12 MR. BROOKMAN: We're going to move on.

13 MR. JASINSKI: Okay. I'd just like to
14 maybe ask Diane a quick question.

10:25:18 15 I know you said something like
16 two-tenths is the --

17 DR. JAKOBS: That's what we're
18 operating.

19 MR. JASINSKI: Well, it might be more
10:25:31 20 appropriate in the United States to use the cooling
21 as the criteria. Are you saying two-tenths for the
22 cooling, or for the heating?

23 DR. JAKOBS: No, I was talking about

1 two-tenths for cooling.

2 MR. JASINSKI: For cooling?

3 DR. JAKOBS: No.

4 MR. JASINSKI: Sorry.

10:25:41 5 DR. JAKOBS: Two-tenths for heating is
6 what I was talking about.

7 MR. BROOKMAN: Yes, Molly.

8 MR. TROMBLEY-McCANN: Molly
9 Trombley-McCann.

10:25:45 10 I just wanted to clarify, because I
11 think what I said earlier might be misinterpreted.
12 I'm not arguing against a single rating point.

13 My point was that the rating point
14 should try to reflect as much as possible what most
10:25:59 15 customers will require for higher standards.

16 MR. BROOKMAN: Yes. Diane first.

17 DR. JAKOBS: Well, and the thing is, you
18 get into all these details and you talk about this,
19 and really there's just two classes of motors. And
10:26:11 20 it's only going to matter if you get an ECM motor
21 or PSC motor.

22 And the rest is just kind of -- Someone
23 said we were lost in the trees or the bushes or

1 something. I don't know.

2 But, you know, in the effort to be
3 realistic, there's, there's so many variations that
4 you have to account for before you can come up with

10:26:34 5 a number that I don't -- It's not helpful.

6 MR. BROOKMAN: What Molly's trying to
7 achieve is not doable, given the existing pieces
8 that might fit together?

9 DR. JAKOBS: No. No, I think what Molly
10:26:47 10 was saying, that we could just take a, a static
11 point and that would be good for comparison, and it
12 doesn't really matter if it's applicable in 85
13 percent of homes in the United States, or if it's
14 in the north or the south.

10:27:00 15 If you have an efficient motor, you'll,
16 you'll, you'll use less electrical energy. And it
17 may -- Maybe I'm misinterpreting what Molly said.

18 MR. BROOKMAN: I'm trying to understand
19 this myself.

10:27:13 20 Molly, please.

21 MS. TROMBLEY-McCANN: So, I think we
22 agree on the principle of a single rating point.
23 If we have to pick a rating point, what I'm saying

1 is we should try as best as possible to make it
2 reflective of what the majority of costumers are
3 going to experience.

4 I really -- There's no way to nail that
10:27:30 5 down, because there is a lot of variability. But,
6 to the degree that we have information about what
7 that point is, we should be using it.

8 And the information that I'm seeing and
9 hearing is that it's higher than .2.

10:27:39 10 MR. BROOKMAN: Diane, go ahead, and then
11 Charlie.

12 DR. JAKOBS: The thing is, about
13 choosing higher, higher points, is we go up to
14 seven-tenths in our equipment on our airflow charts
10:27:48 15 and then people want to know what, what is just
16 beyond? And then we go up to one inch, and then
17 people want to know what's -- You know, "I have
18 this innovation. I want to go a little bit beyond
19 that."

10:27:58 20 You know, "what happens then?" And, and
21 in order to comply with, with what people want from
22 the field, they want to use smaller diameter ducts,
23 so, because they cost less.

1 And they want the air to blow and come
2 out their register, so they want stronger motors.
3 And as we give credibility to these points that are
4 beyond where the equipment should be operating,
10:28:22 5 it's going to be part of the specifications for a
6 new design that the blower has to provide this much
7 air flow at these higher statics.

8 And I think that's contrary to what
9 we're trying to accomplish, and we'll use more
10:28:34 10 energy that way.

11 MR. BROOKMAN: Got-cha.

12 Charlie.

13 MR. STEPHENS: Charlie Stephens.

14 I just wanted to clarify what we were
10:28:42 15 doing out there, measuring all this stuff. In a
16 lot of cases we were looking at what the real
17 variations were from ECM motors.

18 So, we went out there to find out how
19 they were really operating, because we were finding
10:28:53 20 out that the savings were not what we expected.

21 And the reason, the main reason they were not what
22 we expected was because of external static in most
23 cases.

1 If you could outlaw flex duct, and if
2 you could outlaw these fans, outlaw the add-on
3 filtration systems, which is also a lot of the
4 reasons why a lot of these things are run 24/7, and
10:29:18 5 you could eliminate bad duct designs, then you
6 could probably find a lot of systems operating down
7 in the .3, .4 range.

8 But, that's not what we found out there,
9 and that's why we found that the statics from these
10:29:31 10 variable-speed motors were not what they were
11 expected to be. They were working pretty darn hard
12 because they were working against all of these
13 factors most of the time.

14 So, that's -- Whatever point we, we find
10:29:39 15 here should represent reality. And, quite frankly,
16 reality was not entirely what we expected.

17 But, when you think about it, I guess it
18 makes sense.

19 MR. BROOKMAN: I think we're working our
10:29:51 20 way towards a basket of solutions I think.

21 Karim.

22 DR. AMRANE: Just to follow up on this,
23 on Charlie's point, yes, we understand that, you

1 know. And field installations have higher static.

2 But, that's where the focus should be.

3 Let's make, let's make those ducts right.

4 Let's design them correctly. Let's

10:30:11 5 design the static, reduce the static pressure.

6 We're always focusing ones on the

7 equipment, but that's not where the focus should

8 be. It should be on the duct itself.

9 Let's work towards reducing static

10:30:24 10 pressure on the ducts.

11 MR. BROOKMAN: All right.

12 Greg.

13 MR. WAGNER: And I wanted to emphasize

14 that that extra static pressure is due to this

10:30:31 15 oversizing that often occurs, as much as anything

16 else. And I'd like to see, you know, size

17 comparison as to what's needed, you know, rather

18 than just saying, "Hey, it had high static

19 pressure," because, as I said, the study out of

10:30:43 20 the, Canada was that they were running typically

21 80-percent oversize.

22 MR. BROOKMAN: Okay.

23 MR. WAGNER: In fact, the return time

1 above 50 percent of the capacity was in .05 percent
2 of the time. So, it's, it's running, you know, at,
3 at the, at that needed level of high demand very
4 infrequently.

10:31:00 5 So, that extra energy that's being used
6 is not, is not typical of how it operates, --

7 MR. BROOKMAN: Okay.

8 MR. WAGNER: -- or needs to operate.

9 MR. BROOKMAN: Final comment, Diane?

10:31:09 10 DR. JAKOBS: (Nodded no.)

11 MR. BROOKMAN: No?

12 DR. JAKOBS: No, thank you.

13 MR. BROOKMAN: Okay, we all set? Yeah?

14 (Whereupon, no response was had.)

10:31:14 15 MR. BROOKMAN: Boy, we're really getting
16 into some depth here, I think.

17 MR. JASINSKI: Once the, the reference

18 system load curve has been developed, CSA C823

19 specifies that it be superimposed on the

10:31:25 20 performance curves as shown here. The

21 intersections of the performance curves and the

22 load curve are references to operating points.

23 These operating points represent the

1 expected airflow performance of a system that meets
2 the reference system criteria, and they are used to
3 determine which electricity consumption
4 measurements to use to calculate AECR.

10:31:44 5 (Whereupon, at 10:31 p.m. ET, Mr. Burt
6 left the room, after which the following occurred:)

7 MR. JASINSKI: At this time DOE seeks
8 comments on here. And that's a, a pretty complex
9 graph, so if people want me to go back so they can
10:32:06 10 look at it a little bit longer, I can do that.

11 MR. BROOKMAN: Let's do go back. Yeah.

12 Yes, Diane.

13 DR. JAKOBS: All right, this is for a
14 PSC motor, and one of the things that came up a lot
10:32:20 15 in the CSA C823 was that our rating points were too
16 low. And, actually, for a PSC motor, that's a
17 conservative assumption, because if you look at the
18 higher static, you'll end up with a lower, lower
19 CFM, and then you'll end up with less watts.

10:32:43 20 More, more watts.

21 MR. WAGNER: Less watts. More CFM, less
22 static, less watts.

23 MR. JASINSKI: I'll just make a comment

1 that this is not based on any data. This is just a
2 representation of how they are used in comparison
3 with electrical.

4 So, you know, it's not actually data.

10:33:02 5 It's just sort of a, of a walk-through of how the
6 curve is superimposed.

7 MR. BROOKMAN: Let's let Greg follow on.

8 MR. WAGNER: I was going to say, those
9 are representative -- They're not representative of

10:33:17 10 ECM blower time curves.

11 MR. JASINSKI: Okay, thank you.

12 MR. BROOKMAN: Is -- I thought you
13 expected more than that in terms of comment.

14 MR. JASINSKI: Well, I think I can -- I
10:33:31 15 think --

16 MS. ARMSTRONG: I think we kind of hit
17 it.

18 MR. WAGNER: I was going to say, we've
19 been commenting on this, but I'll go one more, in
10:33:36 20 that the CFM varies by the product's capacity,
21 also. So, therefore, these rating points vary by
22 manufacturer, and you'll get a variety of energy
23 consumption to meet different heating and cooling

1 demand points.

2 So, --

3 MR. JASINSKI: I think I can ask.

4 MR. WAGNER: -- it's not helpful to the
10:33:53 5 consumers to understand those differences, I guess.

6 MR. JASINSKI: Sure. I think the
7 important question here is:

8 Should we identify operating points by
9 the performance curves, regardless of what they
10:34:04 10 look like? Is that, is that an adequate --

11 MR. WAGNER: I've --

12 MR. VerSHAW: I guess the question is
13 why, you know, if you've got, if you've got a
14 furnace or an air handler, you want to go that way.
10:34:16 15 And you've got the blower in there, and you say you
16 want a single rating point.

17 Well, you've got one point. Why go
18 through all this, all this?

19 I mean, -- And if you get to the next,
10:34:26 20 next box that you're going to show in a minute, --

21 MR. JASINSKI: Okay.

22 MR. VerSHAW: -- it really gets
23 complicated. And, boy, the consumer's really going

1 to get confused.

2 How many people in this room have bought
3 a furnace in their lifetime?

4 (Whereupon, a response was had.)

10:34:39 5 MR. VerSHAW: Quite a few. You probably
6 won't buy another one in your lifetime.

7 So, -- And we're all fairly technical.
8 Imagine, imagine most people out there trying to
9 buy a furnace, and you give them all of this stuff.

10:34:52 10 I mean, give them, give them a number.
11 This one's higher; this one's lower.

12 MR. BROOKMAN: Jim, do the counterpoint.
13 Why, why would the Department wish to do it this
14 way?

10:35:03 15 MR. VerSHAW: That way?

16 MR. BROOKMAN: Yeah.

17 MR. VerSHAW: I don't know.

18 MR. BROOKMAN: I thought there was some
19 logic that --

10:35:09 20 DR. AMRANE: Because I believe the
21 Department is looking at what CSC has done, which,
22 again, may not be the right ways.

23 MR. BROOKMAN: Got you. Well, I thought

1 that was a good question.

2 MR. KHAN: It was good. Thank you.

3 DR. JAKOBS: The people on the committee
4 who proposed this, they were trying to be
10:35:27 5 realistic. They don't like the static points we
6 have.

7 They wanted realistic static points, and
8 that, that's -- You get into all this --

9 (Whereupon, at 10:35 a.m. ET, Mr. Burt
10:35:32 10 entered the room, after which the following
11 occurred:)

12 MR. JASINSKI: If you want to try to
13 describe the energy consumption of a (sic) actual
14 installation, this is, this is what you need in
10:35:44 15 order to do that.

16 MR. BROOKMAN: Molly, you want in here?
17 Yes, Molly.

18 MS. TROMBLEY-McCANN: Molly
19 Trombley-McCann.

10:35:51 20 Just in an attempt to answer your
21 question, the, the issue is that, you know, a
22 system doesn't operate at a single speed or a
23 single load point for the entire year.

1 MR. BROOKMAN: Right.

2 MS. TROMBLEY-McCANN: So, to do this is
3 to try to capture the fact that the speed and load
4 vary over the year. Now, whether or not that
10:36:08 5 exercise and complexity is worth it is a valid
6 question, but that's why.

7 MR. BROOKMAN: Yeah. Got it.

8 Okay, Charlie.

9 MR. STEPHENS: Charlie Stephens.

10:36:17 10 This, I don't know how this is going to
11 come out when we finally do the written comments
12 here, but I, we have some fundamental issues with,
13 with just electricity consumption at all, and why
14 you would, --

10:36:24 15 (Whereupon, at 10:35 a.m. ET, Mr. Stas
16 left the room, after which the following occurred:)

17 MR. STEPHENS: -- why you would rate
18 this product using electricity consumption like a
19 refrigerator, given that it doesn't operate like a
10:36:36 20 refrigerator.

21 I mean if you come up with a number at
22 one operating point, or, or multiple, even, the
23 numbers you come up with will be only relevant to a

1 small subset of the consumers out there. They
2 won't accurately reflect what the real consumer in
3 Arkansas is going to see versus somebody in Montana
4 using the same furnace.

10:36:57 5 (Whereupon, at 10:36 a.m. ET, Mr. Fowble
6 and Mr. Rocky conferred, out of the hearing of
7 others and off the Record, during which the
8 following occurred:)

9 MR. STEPHENS: And so I don't, I don't
10:37:01 10 know that it's useful to come up with electricity
11 number. I think it might be useful to come up with
12 CFM per watts, or watts per CFM, or whatever you
13 want; a rate that rates efficiency in trying to
14 move air.

10:37:17 15 But, trying to interpret that on into a
16 number I don't think is useful.

17 MR. BROOKMAN: Frank, I saw you. Let me
18 go to Greg.

19 He's going to comment on Charlie.

10:37:25 20 Go ahead.

21 MR. WAGNER: Couple of things. First, a
22 refrigerator is a stand-alone unit.

23 There's two fans inside a refrigerator,

1 blowing air, plus compress, compressors. We don't
2 rate those components, and that's a good analogy
3 for what we're trying to do here.

4 It's not looking at individual
10:37:46 5 components to try to figure out how to make a
6 suboptimal total system by optimizing individual
7 components. And I think you can get a better way
8 of achieving that.

9 By looking at that entire box as the
10:38:01 10 refrigerator analogy was a useful one, but the
11 person in Arkansas has different hours than the
12 person elsewhere, so their energy use are going to
13 be totally different based upon their hours of use
14 in any house.

10:38:13 15 (Whereupon, at 10:38 a.m. ET, Mr. Stas
16 entered the room, after which the following
17 occurred:)

18 MR. WAGNER: So, the numbers are not
19 going to apply to every single residence of every
10:38:21 20 single region of the country.

21 MR. BROOKMAN: Okay.

22 Frank.

23 MR. STANONIK: We'll try and make this

1 quick. I haven't been involved greatly in the 283
2 stuff, but in my other, some of my other
3 experiences there, there seems to be a, a general
4 approach in Canada that they want test procedures
10:38:38 5 that, in fact, do somehow estimate what is going to
6 be consumed in the field.

7 We would strongly urge DOE not to fall
8 into that trap. That's not even a trap; that's a
9 quagmire.

10:38:52 10 The, the, the, the thing that should be
11 done, and what we have historically done is you
12 have test procedures that give rating points that
13 establish relative merits of equipment.

14 In this particular case, this particular
10:39:05 15 case, well, ultimately what's going to come out of
16 this is a Regulation that's going to ask
17 manufacturers to develop, at least design products
18 that also have the potential to use less
19 electricity to move air around, okay?

10:39:21 20 But, but the other -- You know, the
21 significant factor in the field is the ducting.
22 And the size of that is, the manufacturers have no
23 control over that.

1 To write a test procedure that's going
2 to ask them to try and somehow address and, and,
3 and anticipate if, the variations and, in, in what
4 actually is out there and somehow design for all of
10:39:43 5 that, and, and then at the end of the day run these
6 tests, -- and keep in mind, these furnaces, I mean,
7 not to downplay, but we're only talking about the
8 electrical consumption of the furnace.

9 The much bigger consumption is the
10:39:57 10 fossil fuel, okay? So, we've got to keep this in
11 perspective.

12 But, this is -- It is -- I don't know
13 how to put it, but, but to start down the path of
14 trying to write a test procedure that's going to
10:40:12 15 predict what this appliance is going to do in my
16 house or your house, or anybody's house, is, is
17 just wrong.

18 It, it, it will not benefit anyone.

19 MR. BROOKMAN: Bryan, you want --

10:40:23 20 MR. ROCKY: Yeah. Frank just actually
21 said, stated much better what I was going to state,
22 some of the comments.

23 But, to come back to Charlie's

1 viewpoint, if you were to take one of our furnaces
2 or air handlers in the Pacific Northwest, and you
3 had the one neighbor that lived in a manufactured
4 housing unit, and next to the neighbor that lived
10:40:47 5 in a modular home, that, next to the neighbor that
6 lived in a hundred-year-old home that was not built
7 for air conditioning, versus the guy who happens to
8 have a brand-new house, this approach can give me
9 four different, very different results because just
10:40:58 10 of the application of the same furnace or the same
11 air handler, regardless of what Greg was talking
12 about of oversizing factors; just from how the
13 whole thing was put together.

14 And my test point is not going to cover
10:41:12 15 those differences. Not under this approach.

16 At least I don't, we don't believe that.

17 MR. BROOKMAN: Okay. Have we covered
18 this sufficiently?

19 (Whereupon, no response was had.)

10:41:21 20 MR. BROOKMAN: I think so. Okay.

21 MR. JASINSKI: Shown here is the
22 equation for AECR. Again, it's a time-weighted sum
23 of the electricity consumption measured in each

1 speed control setting's operating point.

2 So, first term of the equation, AHeatH,
3 for example, is the annual heating hours. This is
4 the number of heating hours in a year that the
10:41:45 5 furnace fan product per-, per-, spends performing
6 the heating function in the default heat speed
7 control system.

8 The next term, ECh, is the electricity
9 consumed by the furnace fan while the furnace fan
10:41:59 10 performs the same function in the same
11 speed-control setting. This is continued to
12 account for all functions of the furnace fan,
13 including reduced heating, cooling, circulation,
14 and standby.

10:42:12 15 And the end result, of course, is the
16 AEER, which is the annual, the total annual ener-,
17 electricity consumed by the furnace fan.

18 At this time DOE seeks any comments on
19 the AEER equation, as well as the methodology that
10:42:28 20 is used in CSA C823, or should be used to calculate
21 those annual hourly multipliers.

22 MR. BROOKMAN: Jim.

23 MR. VerSHAW: I agree with Charlie that

1 there, you shouldn't be doing annual calculations.
2 Not only does it include air-conditioning costs of,
3 of energy, which is already part of another,
4 another descriptor, but it, it, it, it -- You need
10:42:58 5 to have a, a one-to-one comparison of CFM per watt
6 or total watts for a given static point, because,
7 you know, whether or not you have air conditioning
8 or not, the house will exchange your static.

9 Sun load, what part of the country it's
10:43:13 10 in, how old your house is, and all those things
11 vary the operating, and you wouldn't be able to
12 give a number that would make any sense.

13 MR. BROOKMAN: Diane, do you want to
14 follow on?

10:43:23 15 DR. JAKOBS: Well, just kind of the
16 details of the hours; that in Canada, they did a
17 study of commercial loading, so when they talk
18 about "annual hours," it's compressed. So, they
19 don't talk about cycling.

10:43:38 20 We talk about our heating hours, and
21 then we apply a (sic) oversized factor and a
22 cycling steam, and then we come up with a real
23 number of hours. This is already supposed to

1 include that, so when they talk about "heating
2 hours," it's continuous heating hours.

3 And I, I agree with Jim. I mean, I was
4 part of this, but I don't see how anybody would use
10:44:05 5 it.

6 So, -- .

7 MR. BROOKMAN: Okay. Okay.

8 MR. JASINSKI: Thank you. Now we'll get
9 on to the second approach, which is to use the BE
10:44:18 10 measurement specified in the DOE test procedure for
11 residential furnaces.

12 The purpose of this approach is to use
13 metric, a metric and methods that are used in
14 existing DOE test procedures to minimize the burden
10:44:33 15 on manufacturers for tests and rating their
16 products.

17 If necessary, the methodology to do so
18 may include additional assumptions, assumptions and
19 calculations to overcome some of the limitations of
10:44:45 20 a BE-based rating, which we'll go into in this next
21 slide. Also listed here is the Standard that's
22 referenced in the DOE test procedure incorporated
23 by reference in ANSI/ASHRAE Standard 103.

1 DR. JAKOBS: I have a question.

2 MR. BROOKMAN: Diane, go ahead.

3 DR. JAKOBS: We already published EAE.

4 Why, why did you pick BE?

10:45:08 5 I mean, that's something that's part of
6 the test, testing, something we measure, but EAE is
7 already available.

8 MR. BROOKMAN: That is -- You think
9 that's equivalent to BE?

10:45:21 10 DR. JAKOBS: Yeah. It has a few things
11 thrown in there, but it essentially is the blower
12 one.

13 MR. BROOKMAN: That's Lane.

14 MR. BURT: I just wanted to ask if you
10:45:30 15 could give an explanation of that.

16 DR. JAKOBS: It includes the user fan
17 and the control. Is that, is it --

18 MR. BURT: Okay. So, it's the three?

19 DR. JAKOBS: So, EAE includes all the
10:45:43 20 electrostatic components?

21 MR. JASINSKI: Right. So, as mentioned
22 early, during the scope-of-coverage discussion,
23 the, the inducer fan system was excluded from the

1 rulemaking, and it's my understanding that EAE is
2 calculated with that, uses the BE measure, as well
3 as the electricity consumption of the inducer fan
4 motor system.

10:46:05 5 So, I think that this is just, this is
6 just a portion of the measurements used to
7 calculate EAE.

8 MR. BROOKMAN: So, you need to
9 characterize it differently. Go ahead.

10:46:15 10 DR. JAKOBS: Well, EAE is another
11 attempt at yearly consumption, but B sub-, BE is
12 just a steady state.

13 MR. KHAN: Correct.

14 MS. ARMSTRONG: Correct.

10:46:29 15 MR. BROOKMAN: Keep going, Sam.

16 MR. JASINSKI: Okay. As mentioned, BE,
17 there are some limitations that may need to be
18 taken into consideration if necessary.

19 The first one listed here, the BE
10:46:39 20 measurement is only specified for residential
21 furnaces, not the other furnaces and products
22 listed earlier. Another limitation is that BE is
23 only measurable on a residential furnace, period,

1 the heating function.

2 This is while the burner is on, and does
3 not account for electricity consumed by other
4 functions such as circulation. Also, BE is only
10:47:04 5 measured at minimal external static pressures for
6 residential furnaces, and in only one or two
7 speed-control settings.

8 So, this would exclude electricity
9 consumed at other typical operating conditions,
10:47:17 10 under other typical operating conditions as well as
11 other available speed-control settings. Lastly, BE
12 is a power measurement taken in watts, and should
13 DOE decide to use an annualized metric, additional
14 calculations would be necessary to convert this
10:47:34 15 into an annualized metric in kilowatt hours.

16 At this time DOE seeks comment on the
17 merits of using a BE-based rating, as well as
18 whether or not and how you feel it can use methods
19 to overcome the limitations listed.

10:47:48 20 MR. BROOKMAN: Diane.

21 DR. JAKOBS: One of the issues of
22 looking at the fan by itself is that we're in the,
23 we're trying to transfer heat, and turbulent flow

1 is good for heat transfer. It burns watts.

2 But, what we're really trying to, to do
3 is get the heat out of the gas, the combusting gas
4 or whatever the fuel gas. And if we have turbulent
10:48:14 5 flow, we can make it a more compact heat exchanger.

6 We can get more heat for the natural gas
7 that we're burning, and maybe we're using a few
8 more watts. So, if you looked at a condensing
9 furnace versus a noncondensing furnace there's
10:48:30 10 more stuff packed into the knot, into the
11 condensing furnace.

12 You're going to get higher furnace fan
13 watts than for the condensing fan. No, I'm mixing
14 it up.

10:48:44 15 But, anyway, I think you know what I'm
16 trying to say; that a higher-efficiency furnace,
17 because we have more heat exchanger in there, we're
18 blowing air, you know, past a lot more stuff, we're
19 going to burn more electric, we're going to use
10:48:58 20 more electrical energy, but overall we're saving
21 energy.

22 MR. BROOKMAN: Got you.

23 Jim?

1 MR. VerSHAW: Jim VerShaw.

2 I think if you go back to the four
3 points on, on the previous slide, number one, first
4 point would be we ought to be talking about

10:49:13 5 furnaces only here, --

6 (Whereupon, at 10:49 a.m. ET, Dr. Amrane
7 left the room, after which the following occurred:)

8 MR. VerSHAW: -- and makes that, then, a
9 moot point.

10:49:18 10 The second one, we only ought to be
11 talking about the heating force of, of a furnace,
12 so that, that makes that go away. Again, if you're
13 looking at, at a descriptor like BE, which is a,
14 was a certain amount of power and certain
10:49:34 15 condition, we could argue -- It's been argued about
16 what static point that is.

17 Well, okay. If you don't, you change
18 the static point, or you keep what it is, it, you
19 still, you still have a number and, and it gives
10:49:44 20 you a, a, a, a, an indicator where that's going to
21 be.

22 (Whereupon, at 10:49 a.m. ET, Dr. Amrane
23 entered the room, after which the following

1 occurred:)

2 MR. VerSHAW: And I'm not sure why.

3 Again, we've talked about not doing the annual

4 calculations because the broad variations of things

10:49:56 5 that, that happened.

6 So, therefore, a descriptor like watts

7 or OCFM per watt, or something makes more sense to

8 me on this.

9 MR. BROOKMAN: Okay, thanks. And I

10:50:05 10 appreciate you referring back to the bulleted

11 points on 33.

12 Let's leave those up there and take

13 additional comments on --

14 MR. KHAN: Hold off, Doug.

10:50:19 15 MR. BROOKMAN: -- BE.

16 MR. KHAN: And I just want to revisit a

17 point again with Diane. It might be helpful to the

18 Department if such data's available that

19 characterizes -- You had said that, I guess, I

10:50:36 20 guess for a given capacity of a furnace, comparing

21 a condensing versus as noncondensing, the CFM

22 requirement for the condensing is typically higher.

23 And so I was just wondering if there is

1 such data that, that we would be able to look at
2 and, and characterize, I guess, the, the number of
3 cases, or exactly how different that requirement is
4 for the number of furnaces and models that are out
10:51:04 5 there. That, that also might be helpful to us if
6 such data is available.

7 MR. BROOKMAN: Diane?

8 DR. JAKOBS: We'll see if I can share
9 with -- It's not data that we publish right now.

10:51:19 10 MR. VerSHAW: Is this -- This is Jim
11 VerShaw.

12 It doesn't take more CFM.

13 DR. JAKOBS: Not CFM.

14 MR. BROOKMAN: Bryan, also.

10:51:29 15 MR. ROCKY: Yeah. Bryan Rocky.

16 Basically it's the impact of the
17 secondary heat exchanger. More resistance to flow
18 to maintain the same CFM to cooling or heating
19 performance.

10:51:39 20 You have more resistance. Therefore you
21 have to have more energy to get the, the same
22 airflow.

23 You can look at the AEA calculations in,

1 that are already existing as part of the program
2 and give you a, a, a basic comparison of the impact
3 of electrical energy uses for condensers versus a
4 noncondensing furnace today.

10:52:00 5 MR. BROOKMAN: Okay. Yeah?

6 MR. KHAN: That's it.

7 MR. BROOKMAN: You okay?

8 Terry.

9 MR. RANFONE: I thought maybe, as
10:52:11 10 somebody else has said, just expanding it to be a
11 watts per CFM or CFM per watt. That way I think
12 you'd pick up the, the differences between
13 condensing and, rather, a conventional furnace.

14 MR. BROOKMAN: Jim.

10:52:28 15 MR. VerSHAW: Jim VerShaw.

16 One other comment. If you look at AEA
17 you'll realize a, fewer operating hours of a given
18 house if it's 95 percent, it will, versus a (sic)
19 80-percent furnace.

10:52:40 20 Therefore, the BEs may be higher for the
21 one furnace than the other, but the number of hours
22 is definitely lower because it's satisfying the
23 same heat in the same-sized house.

1 MR. BROOKMAN: Molly.

2 MS. TROMBLEY-McCANN: Molly
3 Trombley-McCann.

4 For all the reasons just stated, we
10:52:57 5 think a watts-per-CMF or opposite is a better
6 metric than an annualized metric.

7 I did want to ask, are there technical
8 reasons why the existing BE couldn't be applied to
9 an air-handling unit compared to --

10:53:12 10 MR. JASINSKI: In fact, there may be. A
11 manufacturer may be better able to answer this.

12 I don't think there are any technical --

13 MR. VerSHAW: Well, we don't measure --
14 When you do an air-conditioner or heat pump, the
10:53:23 15 amount of watts of the indoor fan is required to
16 do, to give you the, the, the CFM per ton. Air
17 conditioning at the, at the conditions we're
18 operating at to give you the control and all that's
19 a, all part of the SEER calculation.

10:53:38 20 MS. TROMBLEY-McCANN: Right. I'm just
21 -- It's listed as a limitation, that these test
22 procedures aren't applied to that equipment.

23 But, my understanding, there's no

1 technical reason why it couldn't. They're
2 increasing, but it's not that they were applicable.

3 MR. JASINSKI: Not -- I don't know there
4 are any technical reasons, but they are specified.

10:53:56 5 MR. VerSHAW: It would be the same as
6 asking for a generator or alternator on your car to
7 have a certain efficiency when you've got a
8 miles-per-gallon rating already.

9 MR. BROOKMAN: Karim.

10:54:07 10 DR. AMRANE: We're getting now to a
11 point where we are regulating components you have
12 to, that are already regulated. You have SEER.

13 Now on top of that you want to regulate
14 consumption of the fan, which is not what you do,
10:54:20 15 which is why we believe that it shouldn't apply to
16 the air-conditioning part.

17 MR. BROOKMAN: Charlie.

18 MR. STEPHENS: Charlie Stephens.

19 I, I, I still think, however, that most
10:54:35 20 of the time you're not going to sell the, the, the
21 alternator for the car separately and just use it
22 all by itself. And in this case we've got a number
23 of these products that are sold, in fact, without

1 the outdoor unit, and used all by themselves.

2 And they -- And what DOE is proposing
3 here to do is rate their efficiency. I don't see a
4 problem with that.

10:54:55 5 The fact that you use this thing that
6 has a certain rated efficiency as a component of
7 another system and they contribute to the rating of
8 the system, I don't see a problem with that either.
9 All the system has a rating, and it won't change.

10:55:09 10 You know, either this system qualifies
11 or it doesn't. The effect would have been if you,
12 if you set a Standard for this component that was
13 more stringent than some of them could meet, well,
14 then the number of combinations, outdoor and indoor
10:55:24 15 systems, would change.

16 There would be fewer. But, the ratings
17 would not change.

18 They would be the same. So, I'm not
19 seeing that there's a, that real big problem here
10:55:35 20 in rating these things, and I don't see that you're
21 rating something that is a subcomponent.

22 These things are sold stand-alone and
23 they're used stand-alone. You can use -- And, you

1 know, a furnace uses two kinds of fuel, two kinds
2 of energy.

3 I don't see a problem with figuring out
4 the efficiency about, with which it uses each
5 other.

6 (Whereupon, at 10:55 a.m. ET, Mr. KHAN
7 and Mr. Stas conferred, out of the hearing of
8 others and off the Record, during which the
9 following occurred:)

10:55:56 10 MR. STEPHENS: So, I don't see anything
11 inherently wrong with the direction, but I think
12 the metrics could be much better without disturbing
13 some of the other ratings that go on when some of
14 these things are actually used as part of the
10:56:08 15 system.

16 MR. BROOKMAN: Okay. Thank you.

17 You can see -- Go back to the comment
18 box. You've got it.

19 Thank you. Look at Slide 34, if you
10:56:16 20 would, please, and make sure that you've covered
21 them all.

22 See if there's anything else we need to
23 cover at this point. We'll just pause for a

1 moment.

2 There are four separate boxes.

3 MR. KHAN: John TALBOTT.

4 MR. BROOKMAN: Yes, John.

10:56:45 5 MR. TALBOTT: John TALBOTT, representing
6 NIST.

7 And the test procedures, there are some
8 details in the test procedures that DOE would
9 greatly like to hear industry's views and others'.

10:56:58 10 The BE as a measurement in the test procedure is
11 pretty straight-forward.

12 It can be -- It's analyzed in the test
13 procedures. And it's not just watts.

14 It's watt hours. And it has formulas
10:57:13 15 for getting to the, an annual and looking at that
16 annual.

17 Could that be sufficient to regulate or
18 to have an accurate rank order? The other idea is
19 you're looking for something like an efficiency
10:57:25 20 measure in lieu of a bin-weighted annual
21 consumption number.

22 The efficiency that's suggested is watts
23 per CFM. You need -- CFM is not reported as a

1 result currently, so you need to think:

2 Do you want to take on the report of CFM
3 as part of a test procedure amendment? And also
4 think about: How is this going to work if you
10:57:52 5 change the static pressure, which is a general
6 consensus?

7 Let's change the static pressure. Well,
8 in the existing test procedure the static pressure
9 is specified and may be artificially low, but
10:58:05 10 there's a temperature rise spec that everybody has
11 to meet.

12 Then you're affecting AUFE,
13 theoretically. So, think about how, if you were to
14 change the test procedure, make it a little better
10:58:21 15 so that you can handle this issue, think about
16 maybe there's -- You don't want to test all the
17 units all over again for AUFE.

18 You need to think about a grandfathering
19 provision, and perhaps all new units go to a new
10:58:35 20 test procedure. But, you need to get the
21 relationship between AUFE -- You don't want to muck
22 that up with a change in pressure on BE.

23 Thank you.

1 MR. BROOKMAN: Just to use a technical
2 term there, right? Yes.

3 Go ahead, Diane.

4 DR. JAKOBS: No, I agree with -- I mean,
10:58:56 5 we have tons of data on AUFE. People understand
6 it.

7 So, when you start changing it, you just
8 make it more confusing for people. And, and what
9 is the benefit?

10:59:09 10 So, going back to in the directory for
11 AHRI, we designate which ones are electrically
12 efficient. And, and actually, the, the rebates
13 are, are based on that.

14 The, the electrical energy is only two
10:59:25 15 percent of the total energy use.

16 MR. BROOKMAN: Yeah. Okay. Okay.

17 DR. JAKOBS: You know. And that's
18 straight-forward.

19 MR. BROOKMAN: I would imagine, yes.

10:59:36 20 MR. KHAN: Yeah. Before we take a break
21 let me just be clear on one thing.

22 We have no intention to, to use a
23 technical term, muck up AUFE at all. But, you

1 know, we introduced the concept of, of BE because
2 it is something that's already established.

3 It's something that's already
4 recognized. And to John's point, it doesn't mean
10:59:59 5 that we couldn't, you know, maybe use some variant
6 of the, of the protocol in measuring what BE
7 actually is, but it's just something that we, you
8 know, provide for in consideration.

9 MR. BROOKMAN: Okay. Final comments on
11:00:11 10 this segment?

11 Because we're about to take a break, and
12 I think, in fact, we're overdue for a break. Let's
13 take a break now for 15 minutes, which means we'll
14 resume at 11:15.

11:00:19 15 (Whereupon, at 11:00 a.m. ET, those
16 present took a brief recess and returned at 11:21
17 a.m. ET, after which the following occurred:)

18 MR. BROOKMAN: Let's start back up.
19 Okay, we're going to resume.

11:21:35 20 We're going to hear again from Sam.

21 MR. JASINSKI: Okay, I'll pick up where
22 I left off and we'll continue by discussing some of
23 the analyses that will be conducted for the NOPR

1 phase.

2 Here you'll see a graphic that
3 illustrates where the NOPR falls in the rulemaking
4 schedule, as well as the chevron that lists the
11:21:55 5 analysis that will be conducted for the NOPR.

6 First I'll discuss the market and technologies.

7 The purpose of the market and technology
8 assessment is to characterize the residential
9 furnace fan industry and any measures that can be
11:22:10 10 used to increase furnace fan efficiency.

11 The market assessment characterizes the
12 current market, manufacturers of furnace fans,
13 historical shipments, commercially available
14 products, and any existing regulatory or
11:22:24 15 nonregulatory programs related to furnace fans,
16 while the tech-, technical assessment is, the
17 purpose of the technical assessment is to identify
18 technologies that manufacturers can use to meet or
19 exceed energy conservation standards.

11:22:41 20 At this time DOE requests comments
21 whether the manufacturers of the furnace fans are
22 also the manufacturers of the HVAC systems that
23 utilize furnace fans, as well as any input that you

1 may have on some of the themes related to the
2 markets, the furnace fan markets and the tech-,
3 furnace fan technology.

4 MR. BROOKMAN: Who would like to start?

11:23:05 5 DR. JAKOBS: Someone else. Jump in.

6 MR. BROOKMAN: You've been doing really
7 well. Keep going.

8 DR. JAKOBS: Okay. Rheem, Rheem does
9 both.

11:23:16 10 We have -- We build our own housings and
11 we purchase the impeller, many of them from
12 Morrison, and motors, and, and put the combination.
13 We've bought the housing and the impeller and
14 applied the motor.

11:23:30 15 And, and I think even for some package
16 equipment we buy the whole assembly. So, --

17 MR. BROOKMAN: Okay.

18 DR. JAKOBS: -- we do a whole variety of
19 things, based on the cost, probably.

11:23:46 20 MR. STANONIK: But, the motor's a
21 purchased component, right?

22 DR. JAKOBS: Yeah, generally we buy the
23 motor separately.

1 MR. BROOKMAN: Frank, you want to follow
2 on this, in this? We're looking for a
3 characterization here, aren't we?

4 MR. STANONIK: Well, yeah. Frank
11:24:01 5 Stanonik, AHRI.

6 I mean, I'm trying to understand the
7 question in Item 21. I mean, I think Diane kind of
8 covered it.

9 You've got the impeller.

11:24:10 10 MR. BROOKMAN: Is that, is that kind of
11 a standard configuration? Is that what you're
12 suggesting?

13 MR. STANONIK: Well, I guess I'm
14 trying -- I'm actually trying to understand the
11:24:18 15 question in terms of what you consider the
16 manufacturer, because the furnace fan is basically
17 the impeller, the housing, and the motor. And, I
18 mean, ultimately they have to be put together to
19 create the furnace.

11:24:31 20 So, you can say, yeah, the furnace
21 manufacturer's manufacturing the furnace fan, but
22 in many cases they may not have made any of the
23 pieces. So, -- .

1 MR. JASINSKI: I think it's important.

2 MR. BROOKMAN: Go ahead, Sam.

3 Elaborate.

4 MR. JASINSKI: I think the, it's

11:24:45 5 important. The importance of this question is to
6 figure out who the burden of certifying and rating
7 the furnace fan will be, the manufacturer --

8 MR. STANONIK: That's the manufacturer.

9 The answer is "furnace manufacturer."

11:24:57 10 MR. BROOKMAN: Ashley? Go on.

11 MS. ARMSTRONG: To going further, who
12 actually specs out the design of the furnace fan?
13 So, does the furnace manufacturer spec the design
14 of the motor, or do they say, "I want these specs"?

11:25:11 15 Or, it's treated just as a purchased
16 part? That's what we're trying to understand, not
17 the relationship between these.

18 MR. VerSHAW: Jim VerShaw.

19 If you look at the competitive premise I
11:25:22 20 saw out there, you'll see almost identical wheels
21 for, in almost every one of them. And the
22 difference would be width and diameter.

23 And that, that particular wheel is

1 chosen because of its stability, its breadth of
2 operating conditions, and the fact that you don't
3 have to have really, really tight tolerances, and
4 you can run it at, at RPMs that make sense for the,
11:25:43 5 the application.

6 You do get differences from manufacturer
7 to manufacturer on housings. Many of us make our
8 own housing.

9 Some of us don't. Some of us do both,
11:25:54 10 buy and make.

11 And now I forgot your question, so,
12 sorry.

13 MS. ARMSTRONG: Motors.

14 MR. VerSHAW: Okay. So, so what we --
11:26:01 15 So, everybody -- So, so we, we will, we will, we
16 will spec the speed torque curve on a motor based
17 on performance that we determine because we know
18 how.

19 We know how much air we need and we know
11:26:13 20 how. So, we'll spec a speed torque curve, but
21 we'll do tests to get there.

22 MR. BROOKMAN: Bryan.

23 MR. ROCKY: Yeah, Bryan Rocky.

1 There is one exception to this, that in
2 the manufactured housing market there are blower
3 kits for sale that are different from an
4 application. It doesn't matter what furnace is
11:26:31 5 actually used or initially implied to that
6 installation.

7 But, based on add-on air conditioning
8 typically that wasn't part of the original
9 manufactured housing unit, the option to have a
11:26:43 10 different blower housing can occur where the blower
11 kit, the motor, the wheel, the impeller, as Jim's
12 talking about, is designed as a separate assembly
13 and may be what, manufactured by us, and may be put
14 in a competitor's furnace, and vice-versa.

11:27:01 15 So, again, in that case you're defining
16 the design to a set condition, not to the -- And
17 relative the Application, not as part of the actual
18 furnace eventually for air.

19 MR. BROOKMAN: Is it all specified how
11:27:14 20 these components fit together?

21 MR. VerSHAW: Can you be, be more --

22 DR. JAKOBS: Yeah. Yeah.

23 MR. BROOKMAN: I'm just curious. Pardon

1 me. I'm taking us off course probably, but --

2 MR. VerSHAW: Well, in the design of a
3 furnace, you, -- This is Jim VerShaw. -- you
4 determine the amount of air flow you need at what
11:27:36 5 static pressures you need to overcome total static,
6 and it kind of determines the width and the
7 diameter of the wheel.

8 And then from that you know what, what
9 torques you need to run to get to certain
11:27:47 10 conditions to keep inside the normal operating
11 conditions. So, I mean, with respect to the speed
12 torque curve or with an ECM motor, it's more of a
13 program you need to get in, put in the motor to get
14 there, and you know how much power it will take.

11:28:01 15 MR. BROOKMAN: Okay. Okay, do you think
16 we covered this?

17 MR. JASINSKI: Yeah, I think one
18 additional thing I, might be useful. Like Diane
19 said, that for some packaged units you do purchase
11:28:10 20 the whole assembly separately if you -- Maybe you
21 could list some of the manufacturers of these
22 assemblies.

23 Not necessarily which ones you use in

1 particular, but, you know, that may be something
2 that would be useful for the Department for this
3 particular assessment.

4 MR. BROOKMAN: Charlie Stephens.

11:28:26 5 MR. STEPHENS: Charlie Stephens.

6 There was one mention made here, but I
7 think the manufactured-home market is peculiar,
8 and, and I'm thinking you need to focus a little on
9 that. They have some constraints that other people
11:28:40 10 don't necessarily have.

11 And they're -- They don't have as many
12 as they used to have for the new product, but
13 there's a ton of stuff out there that, a ton of
14 these buildings out there that have a very
11:28:51 15 constrained space where all this stuff goes. And
16 there's only a limited fraction of the
17 manufacturers who are HUD certified to put that
18 stuff in, and the new product.

19 And it's a peculiar market, is what I'm
11:29:01 20 saying. And I think you need to pay a little bit
21 of special attention to that, or at least explore
22 it so you understand what you're doing there.

23 MR. BROOKMAN: Okay. Jim.

1 MR. VerSHAW: Along that line as the
2 requirements on SEER have gone up. The size of the
3 coils required to make those numbers have gotten
4 bigger, and the size of the house and the location
11:29:20 5 that these things are installed hasn't changed.

6 So, what we're finding is you, the
7 furnaces used to be 48 to 52 inches tall. And a
8 few years back they went to 40.

9 Now 40's too tall for some applications
11:29:37 10 because the coils are so tall. So, now, as we move
11 forward to 14 and 15 and whatever on, on
12 requirements, the furnaces are pushing down towards
13 30 now.

14 If you're going to put the same air flow
11:29:47 15 through a small package than you are through a
16 large package, it sometimes becomes very difficult
17 to keep the same fan efficiency.

18 MR. BROOKMAN: Um-hum.

19 Okay, Terry.

11:29:59 20 MR. SMALL: Charlie's point I guess
21 bears a little bit further explanation. We've been
22 talking about furnaces in general, but, you know,
23 we have all these different classes of furnaces;

1 you know, nonweatherized, weatherized.

2 And, you know, one of the classes is a
3 mobile-home gas furnace, mobile-home oil furnace.

4 And I think that the different styles of furnaces
11:30:20 5 are going to have some different, probably, values
6 in operating characteristics.

7 So, I'd like to make sure that, you
8 know, DOE takes that into account when they look at
9 these, at this, this rulemaking. Thank you.

11:30:37 10 MR. BROOKMAN: Thank you.

11 MR. JASINSKI: Thank you. One of the
12 important outcomes or goals of the market
13 assessment is to develop product classes.

14 DOE divides covered products into
11:30:54 15 classes by the type of energy used, the capacity of
16 the product, or any other performance-related
17 characteristics that affects consumer utility.

18 Based on these criteria, DOE could possibly use
19 rated air flow capacity or motor, rated motor
11:31:09 20 horsepower for the fan motor to differentiate
21 between product classes.

22 DOE believes that rated air flow
23 capacities for typical commercially available

1 furnace fan products, range from 400 CFM, cubic
2 feet minimum, to 2,200 CFM in the highest feet
3 settings. DOE believes that that rated horsepower
4 of the fan motors used in commercially available
11:31:35 5 furnace fan products ranges from approximately
6 a-fifth horsepower to, to a single horsepower.

7 At this time DOE seeks comment on the
8 characteristics listed, as well as any others that
9 could be used to differentiate between product
11:31:50 10 classes, as well as any additional information on
11 how those characteristics can be applied, based on
12 the product class criteria.

13 MR. BROOKMAN: Bryan.

14 MR. ROCKY: I'll go first this time,
11:32:04 15 Diane.

16 DR. JAKOBS: Great.

17 MR. ROCKY: Starting with the discussion
18 of rated motor horsepower versus air flow, I think
19 motor horsepower becomes an absolutely worthless
11:32:17 20 measurement as applied with any products, whether
21 air handlers or furnaces in this case. The design
22 of the equipment, as Jim was talking about with
23 the, the system approach, would define the motor

1 horsepower needed at minimum, and most
2 manufacturers will try to minimize that just
3 because of the cost of the motor assemblies as you
4 go up in horsepower.

11:32:35 5 So, air flow capacity of those two would
6 be much better.

7 MR. BROOKMAN: Um-hum.

8 MR. ROCKY: Product classes, there are a
9 lot of different comments already been made. One
11:32:45 10 obviously is, as Terry was following up, more
11 home-manufactured housing applications have already
12 been considered different product classes under DOE
13 rulings on efficiency.

14 And I would propose that that is the
11:32:58 15 same situation for this ruling as well, just, just
16 because of the application constraints, and also
17 would say that a product class, as we have already
18 discussed, condensing versus noncondensing, if
19 we're driving towards a product class, CFM-type
11:33:14 20 approach could be justifiable as a product class
21 just because of the offset of the higher efficiency
22 on the combustion side versus higher watts to get
23 that efficiency, as compared to the total energy

1 usage of the condensing furnace versus
2 noncondensing.

3 MR. BROOKMAN: Thank you. Okay.

4 MR. JASINSKI: Okay. I think for
11:33:36 5 clarity I'll just add a follow-on question.

6 I think that, as Bryan said, in the past
7 for other rulemakings the product classes are
8 application based. In this particular case, when
9 you're dealing with a component that can be used in
11:33:49 10 a lot of different HVAC products, I think it would
11 be nice if we, we can receive comment on whether or
12 not manufacturers of furnace fan products
13 potentially use these same blower assemblies
14 between applications; if, for instance,
11:34:07 15 Manufacturer X uses the same blower assembly within
16 one of their air-conditioner air handlers as they
17 do in a gas-fired furnace.

18 Is that, is that the case?

19 MR. WAGNER: Usually they're
11:34:23 20 different --

21 MR. ROCKY: They're different.

22 MR. WAGNER: -- because of design. And
23 I do agree with what Rocky, --

1 Sorry.

2 -- with what Bryan said.

3 MR. ROCKY: Either/or.

4 MR. WAGNER: The horsepower rating, the
11:34:34 5 horsepower nameplate ratings are, are selected not
6 necessarily as specifics, but a number that's put
7 on the nameplate. Just recently ran across a-half
8 horsepower motor that was stronger than a
9 three-quarter horsepower motor.

11:34:51 10 So, not a good, useful rating.

11 MR. BROOKMAN: Thank you, Greg.

12 And, Jim?

13 MR. VerSHAW: Jim VerShaw.

14 The furnaces are all 115-volt,
11:35:00 15 single-phase. Air handlers are all, mostly 220
16 single-phase.

17 So, you'll have difficulty right there.

18 You've got different housings.

19 You've got similar wheels. But, between
11:35:11 20 furnace to furnace to furnace you have -- Somebody
21 might use 11-inch diameter, somebody else might use
22 a ten, somebody might use nine.

23 And the widths will vary. So, it's a

1 variation, but they're not the same.

2 MR. BROOKMAN: Thank you very much.

3 Diane?

4 DR. JAKOBS: If you just think of a heat
11:35:30 5 pump with a, all you'd have is a, cooling coils in
6 the system, whereas with, with a furnace you have
7 the gas heat exchanger plus you have the cooling
8 coil. So, the motors need to be more, be stronger
9 for a furnace than for a (sic) air-handler system.

11:35:48 10 MR. BROOKMAN: Thank you. Very helpful.

11 We have one more.

12 MS. MAUER: Joanna Mauer.

13 MR. BROOKMAN: Yes.

14 MS. MAUER: Is there a reason you
11:35:56 15 couldn't describe, use an equation to describe
16 efficiencies as a function of air flow as opposed
17 to trying to come up with a different product
18 class?

19 MR. JASINSKI: Well, I think it, it's
11:36:06 20 important --

21 Diane? Did you --

22 DR. JAKOBS: (Nodded no.)

23 MR. JASINSKI: I think it, it's

1 important, what Diane, like Diane said, that the
2 components that go into the, into the housing of
3 the air handler or furnace have an effect on that
4 which, I guess, would not be, would not be
11:36:19 5 accounted for in a, in an equation like that.

6 MS. MAUER: So, then maybe within
7 product classes, based on the type of equipment,
8 you could describe an engine use as a function.

9 DR. JAKOBS: Yeah. Well, except we do
11:36:31 10 different things inside our box, so I'm not sure
11 that that would be --

12 MR. BROOKMAN: You're just, you're
13 saying that product classes are not, you do enough
14 different things that the product classes are not
11:36:42 15 easily describable or discernable.

16 Ashley.

17 MS. ARMSTRONG: I guess the question for
18 you, are you trying to say, like, you want an
19 equation to characterize, like, watts over the full
11:36:53 20 range of air flows? I mean, I'm confused as to
21 what your two variables would be in your equation.

22 MS. MAUER: Well, either describing
23 efficiency, some kind of efficiency metric or

1 energy use based on air flow, that it would change
2 as -- And I don't know how it would change, or
3 whether that it be possible to develop that type of
4 equation.

11:37:13 5 MS. ARMSTRONG: I think -- This is
6 Ashley.

7 It would depend on the metric based on
8 the test procedure that DOE ultimately uses. But,
9 if DOE finds that there's a reason to distinguish
11:37:22 10 product classes based on the number of factors, you
11 could do it by fins, by single points.

12 You could do it by the equations. And
13 it just depends on how the DOE is involved in
14 there.

11:37:34 15 MR. WAGNER: And I would also add that
16 as a heat transfer equation changes, the air flow
17 changes. So, that's a another variable in this
18 process.

19 MR. BROOKMAN: Okay.

11:37:44 20 MR. WAGNER: So, you've got mass flow
21 equation.

22 MR. BROOKMAN: That was Greg. Now let's
23 hear from Bryan.

1 MR. ROCKY: Yeah. Just one other
2 comment was that in the framework document right
3 before this discussed about high-efficiency furnace
4 fans and the current usage, PSE versus ECM.

11:38:00 5 And it was stated that 95 percent of
6 furnace fans were PSC motors, and as a result of
7 the impact of the federal tax credits, utilities
8 rebates, weatherization programs, the
9 high-efficiency motors, the ECM usage has grown
11:38:20 10 tremendously and will differ based on which
11 manufacturer you talk about.

12 But, in general, to meet higher, higher
13 efficiency requirements, we are using ECMs to the
14 point of it's not the majority yet, but it's headed
11:38:37 15 that way. I mean, we're well along the curve.

16 MR. BROOKMAN: Ashley.

17 MS. ARMSTRONG: No, I think that's okay.

18 MR. BROOKMAN: Okay.

19 Diane, do you want to add in here?

11:38:44 20 MS. ARMSTRONG: I --

21 MR. BROOKMAN: Go ahead, Ashley.

22 MS. ARMSTRONG: I guess the question
23 would be, is: Are you using high efficiency? Is

1 that, is that distribution the same if we're
2 talking about just the furnace, or if we're talking
3 about the heat-pump markets?

4 MR. ROCKY: It -- As based as a
11:39:02 5 percentage of sales, it is. It's applying to both
6 air handlers for AC, and heat pumps, as well as
7 furnaces.

8 And the, the distribution is completely
9 skewed as the impact of the last two years versus
11:39:16 10 what it was in the product-mix segment.

11 MS. ARMSTRONG: Um-hum.

12 MR. ROCKY: And I, I can't say if I can
13 judge a, an industry standpoint, but I think you'd
14 probably be safe to say somewhere, instead of five
11:39:30 15 percent being in ECM, it could be anywhere from 15
16 to 35 percent, based on the product families and
17 the manufacturer and the type of equipment.

18 And that's the market segment that is
19 growing for all of the manufacturers. It's not the
11:39:43 20 PSE motor applications.

21 MR. BROOKMAN: Terry?

22 MR. SMALL: I'd like to echo what Bryan
23 just said. The differential costs between the PSC

1 motor and a brushless DC-, or an ECM motor is, is,
2 is narrowing to the extent that, you know, I, I
3 wouldn't think there are going to be any PSC motors
4 of this type of application in ten years.

11:40:06 5 So, maybe by the time the rulemaking
6 goes into effect there may not be any PSC motors
7 being used, possibly.

8 The other, the other comment is that,
9 remember that, particularly in furnaces or, or
11:40:19 10 really in air handlers, if they have strip heat,
11 that the airflow, the safety operation of these
12 devices is very dependent on the airflow. And the
13 manufacturers will make their designs depending on
14 the, the electric heating elements or the, the heat
11:40:42 15 exchangers.

16 It's not just about -- It's not always
17 about optimizing the, the energy efficiency of the
18 motor. There may be some safety concerns.

19 You know, you've got to be able to
11:40:53 20 design the product so that the limits work properly
21 so if you have a motor fail, the limits operate
22 properly and shut the whole system down.

23 MR. BROOKMAN: Thank you.

1 Bryan.

2 MR. ROCKY: Yeah. One other -- Bryan
3 Rocky.

4 One other thing to, to note on this:
11:41:10 5 that at low loads or partial-load conditions is
6 where an ECM really gains its strength because of
7 its efficiency. But, at the high condition, load,
8 high-load condition such as full air-conditioning
9 load, especially with the larger-sized units and
11:41:30 10 four- and five-ton, for instance, you're already
11 maxing out.

12 The ECM is not going to gain you that
13 much more at those maximum conditions as a relative
14 percentage as it will for the partial-load
11:41:42 15 operation. So, it gets to be another interesting
16 discussion about appropriate air flow and
17 conditions when you're trying to put this towards
18 the no impact on the system.

19 You can only spin these wheels so fast,
11:41:56 20 and when you get to that maximum speed, you can't
21 do anything more. You can't deliver that air, any
22 more airflow than those wheels will deliver.

23 At that point it doesn't matter, almost

1 doesn't matter what motor is driving that system.

2 MR. BROOKMAN: Okay.

3 Yes, Jim.

4 MR. VerSHAW: I'm not sure what, what
11:42:16 5 Terry was saying. We haven't seen the price
6 differential between permanent magnet motors and,
7 and PSCs declining.

8 It's still a pretty substantial three-
9 or four-time multiplier on motor costs. So, I'm
11:42:33 10 not sure that, that I've seen that fall off at this
11 point.

12 It's a much more complicated motor. It
13 has electronics built into it.

14 It's got responsive magnets in it. And
11:42:43 15 at the same time, we have, we still have seen lower
16 failure rates on PSC motors than we do with, with,
17 with ECM motors, so that the homeowner then, when
18 he has to, if it's out of warranty when the ECM
19 fails, has substantial costs to replace that motor.

11:42:58 20 That wouldn't normally happen with PSC.

21 MR. BROOKMAN: Terry.

22 MR. SMALL: Just clarify what I said.

23 Some of the brushless motors, obviously you have

1 the very high-end motors.

2 I believe one brand has gone to Version

3 5 now, with specialized wheel that goes with it.

4 But, some of the ECM motors have been dumbed down

11:43:20 5 with, with sort of fixed taps.

6 X-13 is, is one of the, one of the model

7 numbers of one of the brands.

8 (Whereupon, at 11:43 a.m. ET, Dr. Amrane

9 left the room, after which the following occurred:)

11:43:31 10 MR. SMALL: And it's those lower-end

11 variations that I think have --

12 MR. VerSHAW: The high-end motors are

13 still more expensive. They're fully programable.

14 But, there's an, been an effort to try

11:43:46 15 to dumb down some of the motors to have something

16 that's closer to PSC. And I think you'll see some

17 of these lower-end ECM motors ultimately replace

18 the motors at some point.

19 MR. BROOKMAN: Yes. Thank you.

11:44:00 20 Yes, Alex.

21 DR. LEKOV: Just, the speaker's

22 indicated that the ECM motors are starting to

23 take --

1 MR. BROOKMAN: Alex, turn your
2 microphone on. Thank you.

3 DR. LEKOV: The speaker's indicated that
4 the ECM having larger and larger market share, so
11:44:19 5 it's important for the DOE calculations to
6 understand what are the control schemes,
7 particularly the replacement situations, when you
8 go to put a new furnace in the house that has
9 characterize as a bad duct system with the very
11:44:42 10 high pressure loss.

11 And aren't there any controls limitation
12 that's essentially rule out the deficiencies of the
13 ECM working at very high pressure loss?

14 (Whereupon, at 11:45 p.m. ET, Dr. Amrane
11:44:53 15 entered the room, after which the following
16 occurred:)

17 DR. JAKOBS: I --

18 MR. BROOKMAN: Diane.

19 DR. JAKOBS: Sorry. Thank you.

11:45:03 20 We don't -- I don't think we have a
21 limitation. Some of our higher-end equipment will
22 offer diagnostics so the installer can see what
23 airflow they're getting, but we don't, we don't,

1 like, shut down because the, the ductwork is too
2 restrictive.

3 MR. BROOKMAN: Go ahead, Jim.

4 MR. VerSHAW: The next -- Jim VerShaw.

11:45:29 5 In terms of control schemes, if, if
6 there, if there's so much pressure drop that the
7 motor is trying to, it will, it will, it will, it
8 will, it will try to, it will start ramping up in
9 power usage, there's a point where it will start
11:45:44 10 falling off and you can't get any more out of it.

11 It's kind of a self-protecting thing so
12 you don't get too many amps that, through the
13 motor. But, the goal is to install a furnace and
14 make sure it operates within the rise unit of the
11:45:59 15 furnace, because that's a safety issue.

16 Otherwise it won't operate
17 appropriately. If they can't get within the rise
18 range, then they shouldn't have that furnace in
19 there.

11:46:07 20 But, there isn't -- I don't, I don't --
21 Typically you don't check the, the temp drop.
22 Well, it, it has to be within the limits of the, of
23 the, of the circuit breaker, but that's, that's as

1 far as it goes.

2 DR. LEKOV: So, to summarize, so there
3 are no special controls that limit the CFM if the,
4 for ECM motors if the pressure loss existing in the
11:46:37 5 system is very high.

6 MR. WAGNER: There's, there's built-in
7 protection. This is Greg Wagner.

8 There's built-in protections in the
9 motor itself. The controls have power-limiting
11:46:47 10 features that prevent them from going beyond a
11 certain power drop.

12 So, whether it's a three-quarter or
13 one-half, it has a watt limit that protects the
14 motor.

11:46:57 15 DR. LEKOV: Okay, thank you.

16 MR. BROOKMAN: Okay?

17 MR. JASINSKI: Thank you. Next I'll go
18 into a little bit more detail about the technology
19 assessment.

11:47:06 20 The technology assessment uses
21 information about existing or past technology
22 options, as well as prototypes to, to identify
23 technologies that manufacturers can use to meet or

1 exceed energy conservation standards. Note that
2 DOE will only consider options that increase the
3 efficiency of furnace fans.

4 However, here are the preliminary list
11:47:27 5 of technology options which include high-efficiency
6 furnace fan motors as well as improvements to
7 impellers.

8 At this time DOE seeks comments on this
9 preliminary list, as well as any other technology
11:47:38 10 options that may be available for manufacturers to
11 improve the efficiency of that furnace fan.

12 MR. BROOKMAN: Diane.

13 DR. JAKOBS: So, someone already
14 mentioned the X-13 motor. I had asked that.

11:47:50 15 So, it has a brushless permanent-magnet
16 motor, but it has speed caps like a PSC motor. It
17 doesn't have the coil.

18 MR. ROCKY: Diane, I think, I think on
19 the definitions ECM from those motor suppliers as
11:48:05 20 long as it's supplied to PCM, that they will cover
21 both?

22 DR. JAKOBS: That they're considered
23 equivalent.

1 MR. BROOKMAN: Thank you, Bryan.

2 Yes, go ahead.

3 MR. WAGNER: I say he was, I was just
4 going to comment on the text. In 3.271 there's a
11:48:18 5 number of errors in the description of motors.

6 MS. ARMSTRONG: I'm sorry, which --

7 MR. WAGNER: The CP motors are not
8 brushed motors.

9 MR. JASINSKI: Greg, before you start, I
11:48:28 10 think we're aware of those technical inaccuracies
11 and there's a new, there's a new version of the
12 framework posted. It should be -- Maybe the wrong
13 version got printed, but --

14 MR. WAGNER: I didn't review today's.
11:48:43 15 The one I wrote my notes on, I didn't have time
16 between 9:00 and 9:15, when we started.

17 But, I was going to say, there's a huge
18 problem with that whole section of --

19 MR. JASINSKI: Right. Well, there's an
11:48:52 20 updated section on, version on the web, and I
21 believe Ashley may be able to provide an updated --

22 MS. ARMSTRONG: I'd -- I don't encourage
23 -- You must have gotten it within 24 hours of it

1 coming out or something, the documents.

2 DR. JAKOBS: Of course we did.

3 MS. ARMSTRONG: Yeah. Yeah, you were
4 waiting, weren't you?

11:49:10 5 There's a new version, and I would
6 encourage you to look at that.

7 MR. VerSHAW: So, the June first is the
8 most latest version?

9 MS. ARMSTRONG: June first is a version.
11:49:21 10 I can look at it and tell pretty easily.

11 MR. WAGNER: That's the one we got.

12 MS. ARMSTRONG: The one we got today is
13 right. It's --

14 DR. JAKOBS: Well, there was a section
11:49:31 15 missing, and I looked at it, like, a line. But
16 then I looked again and it was there.

17 So, maybe it has a same date.

18 MR. WAGNER: How do I tell the
19 difference?

11:49:43 20 MS. ARMSTRONG: I'll come by and show
21 you at lunch.

22 MR. WAGNER: No, I mean, they're both
23 dated --

1 DR. AMRANE: The one-to-one is the only
2 way.

3 MS. ARMSTRONG: The one is, they have on
4 the web is correct. It --

11:49:56 5 MR. STANONIK: And the one they passed
6 out today is correct.

7 MS. ARMSTRONG: Yes.

8 MR. STANONIK: So, your stapled one; not
9 the one with the holes.

11:50:03 10 MR. BROOKMAN: Okay. Just to reiterate,
11 comments on the most current version.

12 All right, Diane, go ahead.

13 DR. JAKOBS: Well, the other item on
14 there, improved impellers. And there's been some
11:50:13 15 work on back-ordered wheels in, in the larger
16 ranges.

17 Ingersoll Rand maybe has a ten-ton, but
18 that, that hasn't really been shown to be as
19 effective in the smaller diameters. And Ian Walker
11:50:32 20 did some work and had some, some good results, but
21 the part of what Ian did was to make the clearances
22 tighter.

23 And that will work with a forward-curved

1 efficient, not 34, 39.

2 MS. ARMSTRONG: Okay. Okay.

3 MR. BROOKMAN: Okay. Thank you.

4 MR. JASINSKI: Thank you.

11:51:53 5 Next I'll discuss the screening
6 analysis. After completion of the market and
7 technology assessment, DOE uses the screening
8 analysis to eliminate technology options for
9 downstream.

11:52:07 10 It eliminates it based on the four
11 criteria listed here specified in Code of Federal
12 Regulations. They're technical feasibility;
13 practicability to manufacturer to install and
14 service; impacts on utility or availability to
11:52:18 15 consumer; and finally, impacts on health or safety.

16 DOE welcomes comments on how to apply
17 the listed criteria to the technology options
18 discussed.

19 MR. BROOKMAN: Yes, Charlie.

11:52:37 20 MR. STEPHENS: Charlie Stephens.

21 One thing -- I, I don't know whether
22 people are thinking about it, but new Standards for
23 the motors for, for the PSC for actually horsepower

1 motors were just published in February, so you can
2 -- You know, some of the motors will fall in those
3 categories and you'll find minimum efficiencies
4 there.

11:52:59 5 MR. BROOKMAN: Karim.

6 DR. AMRANE: Karim Amrane, AHRI.

7 But, it's my understanding that those
8 motors do not, are not -- The motors used in HRC
9 equipment are not regulated by DOE. Correct?

11:53:11 10 MR. JASINSKI: I'll refer to Ashley, but
11 I believe that's correct.

12 MR. BROOKMAN: Ashley.

13 MS. ARMSTRONG: It is my preliminary
14 understanding that Karim is correct, but we should
11:53:24 15 verify and, just to make sure. But, it was my
16 understanding that the ones under the scope of this
17 were not, were not affected by the small electric
18 motor centers, but I could be wrong.

19 I'm not a motor person, so -- .

11:53:40 20 MR. BROOKMAN: Okay. Eric Stas.

21 MR. STAS: I'll check with Michael Kido

22 --

23 MS. ARMSTRONG: Yeah.

1 MR. STAS: -- over lunch and try to
2 clarify that.

3 MR. BROOKMAN: Thank you.

4 Okay, I --

11:53:49 5 DR. JAKOBS: One, one -- I've been
6 working on comments, and when I looked at that it
7 was, like, "Where's cost?" And I thought maybe it
8 was under "product utilities," but then you go on
9 and talk about cost separately. So --

11:54:03 10 MR. JASINSKI: Yeah. Cost, cost
11 efficiency relationship will be developed in the
12 engineering, which I'll discuss briefly.

13 MS. ARMSTRONG: Yeah, cost is not one --
14 This is Ashley.

11:54:13 15 Cost is not one of the criteria for
16 which DOE considered in the screening, but cost
17 justification is something that will be dealt with.

18 MR. BROOKMAN: Okay.

19 Other comments on this? Okay.

11:54:25 20 MR. JASINSKI: Thank you. Next I'll
21 discuss the engineering analysis.

22 The engineering analysis is a key factor
23 in setting the standards to estimate the increased

1 cost to manufacturers to produce higher efficiency
2 products. The engineering analysis determines the
3 relationship between cost and efficiency.

4 And these results are used in downstream
11:54:47 5 analyses such as the life-cycle cost and payback
6 period, manufacture impact analysis, and employment
7 impact analysis. The engineering analysis begins
8 by when DOE defines baseline models.

9 Typically baseline models are models
11:55:04 10 that meet current energy conservation standards.
11 However, because of no current energy conservation
12 standards exist for furnace fans, DOE will select
13 baseline models that are typical of the
14 least-efficient, the furnace fans used in the
11:55:18 15 least-efficient commercially available furnace fan
16 product.

17 Once baseline models are defined, DOE
18 then identifies, uses the market, market
19 information from the market and technology
11:55:31 20 assessment to identify efficiency levels that
21 should be analyzed.

22 Then DOE performs tear-down, tear-downs
23 of products at these efficiency levels to develop

1 Bills of Materials which act as inputs for a cost
2 model that DOE uses to develop manufacturer
3 production costs.

4 A little bit more detail on the
11:55:53 5 tear-down portion of the engineering analysis. For
6 -- During a tear-down, DOE physically disassembles
7 a selected product during which it compiles
8 information about the characteristics of each
9 component, which include the, the process needed to
11:56:10 10 manufacture or fabricate that, that component, and
11 this information is compiled into Bills of
12 Materials.

13 Listed here are the selection criteria
14 DOE uses to decide which models of furnace fans to
11:56:25 15 tear down. At this time DOE seeks comment on the
16 approach used to determine the cost efficiency
17 relationship, as well as the selection criteria
18 used to decide which models to tear down, as well
19 as any, any comments that you can, you can provide
11:56:46 20 about energy efficiency trends based on the
21 characteristics of furnace fans.

22 Some are listed here.

23 MR. BROOKMAN: Sam, which slide do you

1 think will provoke the most comment, 49 or 50?

2 MR. JASINSKI: Probably 49. I think it
3 might be beneficial for them to see --

4 MR. BROOKMAN: That's what I think.

11:57:08 5 MR. JASINSKI: -- criteria.

6 MR. BROOKMAN: I'm hoping individuals
7 can refer to it as, as they're making their
8 comments.

9 Karim?

11:57:16 10 DR. AMRANE: Karim Amrane, AHRI.

11 I guess with respect to the cost
12 efficiency curves, in order to, to derive them you,
13 you need a test procedure first, right?

14 MR. JASINSKI: Yes.

11:57:27 15 DR. AMRANE: So, that's going to happen
16 later in the process?

17 MR. JASINSKI: Yes. The test procedure
18 rulemaking will be a separate rulemaking from the
19 energy conservation standard rulemaking.

11:57:37 20 And typically they are scheduled so that
21 a test procedure does exist before the engineering
22 analysis occurs.

23 MS. ARMSTRONG: Whoa. Whoa.

1 MR. BROOKMAN: Ashley.

2 MR. JASINSKI: I said "typically."

3 MS. ARMSTRONG: There will be a, some
4 type of proposal coming out, hopefully before, but
11:58:02 5 if not, concurrently with, right? At the same
6 time.

7 But, yes, the, the engineering has to be
8 based on a metric, as does the rest. So, yes, some
9 type of testing procedure with a metric has to be
11:58:17 10 semi-determined or at least proposed, or for public
11 comment in order to also do the analysis for the,
12 for the proposal.

13 Yep.

14 MR. BROOKMAN: Greg.

11:58:26 15 MR. WAGNER: Yeah. I was just going --
16 I don't know how you get the one without the other.
17 I mean, it's like a circular kind of
18 thing.

19 MS. ARMSTRONG: Yeah. Um-hum.

11:58:34 20 MR. WAGNER: We're trying to determine
21 what that should be, but how do you get that
22 baseline without knowing what testing should be?

23 MS. ARMSTRONG: Okay.

1 MR. BROOKMAN: Yeah. Okay.

2 So, I would refer you to the slide which
3 is up there, 49, and you can see the various
4 characteristics, considerations that the Department
11:58:54 5 would like comment on.

6 Yes, Bryan.

7 MR. ROCKY: Bryan Rocky.

8 I guess my comment back to DOE is: How
9 many different representative classes are we
11:59:10 10 looking at here?

11 From the discussion we already had
12 relative to applications, even such minor things as
13 electrical power to, to, 220, 230 volt versus 115,
14 if you're trying to come up with one or two
11:59:26 15 baseline models, I could easily see that generating
16 to ten or 12 or whatever.

17 The, the furnace fan assembly, as we've
18 already discussed, is going to vary so widely
19 between motors and wheels and blower housings as an
11:59:45 20 assembly from manufacturer to manufacturer to
21 applications. I'm not sure how, how you're going
22 to try to narrow all this down.

23 What are you looking for for a, as

1 tear-down? What is the target number, I guess, as
2 a representative baseline starting point?

3 MR. JASINSKI: Well, at this point DOE
4 does not have, does not specify a certain number of
12:00:06 5 tear-downs. Based on these criteria, we'll use the
6 information from the market assessment to try to
7 determine, you know, what, what is a sufficient
8 number to meet these criteria and also represent
9 the market.

12:00:17 10 To your other point, it's not
11 necessarily -- DOE in the past has used
12 representative product classes should sufficient
13 scaling capabilities be developed. So, it's not,
14 it's not certain whether or not DOE will directly
12:00:31 15 analyze each product class.

16 MR. BROOKMAN: Diane.

17 DR. JAKOBS: Thank you. You had said it
18 was a least-efficient.

19 One of the things is there, for, in
12:00:47 20 packaging, is there are belt-driven blowers. So,
21 you wouldn't take a belt-driven blower -- Would
22 you? -- because it would be very inefficient,
23 associated with the belt, --

1 (Whereupon, at 12:01 p.m. ET, Ms.
2 Armstrong and Mr. Stas conferred, out of the
3 hearing of others and off the Record, during which
4 the following occurred:)

12:00:59 5 DR. JAKOBS: -- compared to the
6 direct-drive.

7 Or would you? I mean, it seems like the
8 worst may be very uncharacteristic of the whole
9 market.

12:01:10 10 And, is there a limitation, maybe, to
11 what --

12 MR. JASINSKI: So, I think, I think that
13 that -- I think the selection of the proper product
14 class criteria is, is what we use to try to avoid
12:01:23 15 situations like that.

16 (Whereupon, at 12:01 p.m. ET, Mr. Stas
17 and Mr. KHAN conferred, out of the hearing of
18 others and off the Record, during which the
19 following occurred:)

12:01:27 20 MR. JASINSKI: And it's important to
21 recognize that efficiency -- Going back to
22 technology options, you look for, you look for
23 technologies that substitute, that do not diminish

1 the utility to the consumer.

2 So, in the instances you bring up, and
3 you may be able to correct me if I'm wrong here,
4 but the application is such that you wouldn't be
12:01:51 5 able to drop in a belt-driven to replace that
6 direct-drive motor without compromising the utility
7 or the application.

8 So, I think that that would definitely
9 be considered in determining those technology
12:02:04 10 options.

11 MR. BROOKMAN: Terry.

12 MR. SMALL: Just to point out as the
13 importance of, of, you know, basically following
14 product classes, if what you're saying, the
12:02:17 15 baseline model is typically the least-efficient
16 model in the market, for manufactured housing, very
17 often the, the, the entry-level furnace might have
18 a shaded pull motor for heating.

19 And, and if the consumer's in an area
12:02:37 20 where there's heavy air conditioning, that would be
21 replaced by one of these blower conversion kits,
22 which would be a PSC motor, which would be
23 obviously more efficient for heavy cooling usage.

1 So, I think your, your study needs to
2 take that into account.

3 MR. JASINSKI: Thank you.

4 MR. BROOKMAN: Jim.

12:02:59 5 MR. VerSHAW: On, on the chart behind
6 you there it says from the same manufacturer and
7 product series. Is that saying you're going to use
8 one manufacturer and product to --

9 MR. JASINSKI: No, no. We'll choose
12:03:14 10 difference models from different manufacturers.

11 Its also a criteria for models from
12 manufacturers usually with large market shares and
13 who would account for large shipment volumes.

14 MR. VerSHAW: You're probably not going
12:03:30 15 to see when you -- When you take the blowers out
16 of, blower systems out of the furnaces, you're
17 going to find you've got a bunch of sheet metal and
18 you've got a motor. And you weigh the sheet metal
19 and it's all going to weigh about the same for a
12:03:45 20 given capacity.

21 And the motor's cost can be different.
22 And -- Unless there's some new things out there I
23 haven't seen on residential-sized equipment.

1 MR. BROOKMAN: So, that would be a
2 limited number of product classes.

3 MR. VerSHAW: Yeah. You're probably
4 going to look at the difference of the motors.

12:04:07 5 MR. BROOKMAN: Cyril.

6 MR. FOWBLE: Cyril Fowble.

7 A little bit of kind of a process
8 question here, kind of piggybacking on the, Karim's
9 in regard to the test procedure to start evaluating
12:04:18 10 this. It sounds like we're in a rush to, to find a
11 test procedure here, and I'm kind of curious on
12 what the timing for this whole thing is, because
13 according to the Regulations, you know, 2013 is the
14 furnace fan, you know, Rule publication date.

12:04:32 15 So, you know, we -- Is that the date?
16 Are we accelerating this?

17 I guess it's kind of, of -- I guess I'm
18 worried about we're going to -- I guess my concern
19 is we're rushing on making a decision on test
12:04:45 20 procedures so we can do a, an evaluation, versus
21 getting a better answer, taking the time to get a
22 better answer.

23 MR. KHAN: Mohammed KHAN, DOE.

1 We will have a test procedure in place
2 before the Standards Rule is complete. And, you
3 know, we certainly recognize the difficulties
4 involved trying to get a test procedure done in
12:05:11 5 advance enough of a standards process, but I, I
6 guess the short answer is there will be a test
7 procedure before the Standards.

8 MR. BROOKMAN: Let me refer you back to
9 Slide 49 and additional comments on these criteria.
12:05:45 10 Comments on how they might relate to DOE's
11 construction of product classes?

12 (Whereupon, no response was had.)

13 MR. BROOKMAN: No additional comments.

14 MR. JASINSKI: Good. Thank you.

12:06:06 15 I'd also like to point out that during
16 the engineering analysis, DOE does account for
17 proprietary designs. Any tech -- Any efficiency
18 level or standard level that can only be achieved
19 with the use of a single proprietary design will be
12:06:22 20 eliminated or rejected.

21 At this time DOE seeks any comments on
22 information about the existence of proprietary
23 designs that may meet this criteria.

1 DR. JAKOBS: I was just curious if it
2 meant single motor design or if that was --

3 MR. JASINSKI: Well, I think, I think
4 if, I think if there's a single motor design that
12:06:46 5 there's no other motor design that can, can be used
6 as a replacement to achieve the same efficiency,
7 that could potentially be something that we should
8 be, we, we need to be aware of.

9 So, if you know of a single-motor
12:07:01 10 technology that DOE should account for related to
11 proprietary designs, --

12 DR. JAKOBS: No, it was just
13 Regal-Beloit provides a majority of the brushless
14 permanent-magnet motors to our products.

12:07:19 15 MR. BROOKMAN: Nothing proprietary.
16 That is so broad in its application -- Explain it.

17 DR. JAKOBS: Well, I mean, there's a
18 motor part of it, but then there's also the
19 software.

12:07:32 20 MR. BROOKMAN: Uh-huh.

21 DR. JAKOBS: And we don't really program
22 the motor. We use the Regal-Beloit software, and
23 the input we put in is more related to our

1 application, and not really controlling the motor.

2 So, where I've had, I've had vendors
3 come from overseas and, you know, they say, "We can
4 sell you this motor really inexpensively. All you
12:07:57 5 have to do is design the control."

6 That was outside of our, our area of
7 expertise, to design the motor control. So, that's
8 a significant aspect of these brushless
9 permanent-magnet motors, is the control.

12:08:17 10 Did I explain that okay?

11 MR. BROOKMAN: Yeah, I'm -- Yeah, I'm,
12 I'm, I'm trying to -- I think it's --

13 Describe why you're asking this question
14 one more time, Sam.

12:08:30 15 MR. JASINSKI: The reason for asking
16 this question is to determine if there are
17 proprietary designs that, that enable a certain,
18 gain an efficiency that cannot be accomplished
19 using any other technology or any other similar
12:08:46 20 comparable design.

21 MR. BROOKMAN: And so far Diane has said
22 not that she knows of.

23 MR. JASINSKI: Basically, a technology

1 that has no competition.

2 MR. BROOKMAN: Karim.

3 DR. AMRANE: But, you mean it exist, but

4 we don't want one designed specially.

12:09:03 5 MR. JASINSKI: Exactly.

6 MR. BROOKMAN: Jim.

7 MR. VerSHAW: We, we could have one. We

8 have a housing design that's patented that we use

9 on air handlers, and that would be the type of

12:09:17 10 thing probably looking for here.

11 And that's readily available through the

12 chain of commerce.

13 MR. JASINSKI: Okay, thank you.

14 MR. BROOKMAN: Okay. Additional

12:09:24 15 comments on this, on Item 31 as you see listed

16 there?

17 (Whereupon, no response was had.)

18 MR. BROOKMAN: Okay. So, I think we're

19 looking to lunch.

12:09:34 20 Yeah. Shall we break for lunch?

21 MR. KHAN: Yeah.

22 MR. BROOKMAN: Yeah, let's do that.

23 We've really made progress with a -- We're pretty

1 much on, right on time; perhaps a little bit ahead
2 of schedule.

3 It's now 10 minutes after 12:00. It
4 takes just about an hour.

12:09:50 5 (Whereupon, remarks were made off the
6 Record, after which the following occurred:)

7 MR. BROOKMAN: We'll resume at 1:10 in
8 this room.

9 (Whereupon, at 12:10 p.m. ET, those
12:10:14 10 present took a brief recess and returned at 1:14
11 p.m. ET, after which the following occurred:)

12 MR. BROOKMAN: Okay, let's start. Okay,
13 let's, let's resume.

14 And first off, Mohammed KHAN has an
13:18:22 15 answer to an earlier question from this morning.

16 MR. KHAN: Yeah, Mohammed KHAN, DOE.

17 There was a question earlier regarding
18 the, I guess the scope of coverage of the recent
19 small-motors Rule, and I got some information
13:18:39 20 regarding that. And according to the information I
21 have, the motors that, that that includes are
22 capacitor start and CS/CR, capacitor
23 start/capacitor run, CS/CR, and polyphase motors.

1 DR. JAKOBS: Now, what were those?

2 MR. BROOKMAN: Those would be the ones
3 that are --

4 MR. KHAN: These are the ones that are
13:19:05 5 covered in the small-motors Rule.

6 MR. WAGNER: He was saying the, the
7 designation. Now, those would not be typically
8 used in furnaces of this nature.

9 This is Greg Wagner.

13:19:16 10 Those type of motors would not typically
11 be used in residential type of applications.

12 MR. KHAN: Mohammed KHAN, DOE.

13 Just for clarification, I want to make
14 sure that that's a statement; not a question to us.

13:19:29 15 MR. WAGNER: That's a statement. I'm
16 sorry.

17 MR. BROOKMAN: That's helpful. That
18 would test all of our knowledge of motor types.

19 MR. STEPHENS: Charlie Stephens.

13:19:38 20 MR. BROOKMAN: Charlie Stephens.

21 MR. STEPHENS: Yeah, Charlie Stephens.

22 I was the one that made the comment, but
23 at the time the topic wasn't the kind I was trying

1 to suggest that those motors would be regulated,
2 but that the evolution of those motors after the
3 Standard would likely have some cost and/or
4 efficiency impact on other motors that were
13:19:57 5 similar, based on my conversations with the, some
6 of the motor manufacturers during the motors
7 rulemaking.

8 So, they, they didn't say that they were
9 the same motors, but they did say that they tend to
13:20:08 10 do things the same in some ways, regardless of, you
11 know, whether it's covered or not.

12 MR. BROOKMAN: Okay. So then we're
13 going to proceed.

14 We are moving on where we left off,
13:20:18 15 which is Slide 52. Alex Lekov.

16 MARKUPS FOR PRODUCT PRICE DETERMINATION, ENERGY USE
17 ANALYSIS, LIFE-CYCLE COST, AND PAYBACK PERIOD
18 ANALYSIS:

19 DR. LEKOV: Alex Lekov, Lawrence
13:20:26 20 Berkeley National Laboratory.

21 So, finishing engineering analyses and
22 starting consumer impacts. So, for the life-cycle
23 cost analysis there are several components.

1 We'll start with mark-ups. So, what's
2 the purpose?

3 Determine consumer furnace fan prices
4 based on manufacturing costs. Characterize furnace
13:20:50 5 fan distribution channels and market segments.

6 The method DOE plans to apply: Estimate
7 the consumer prices by applying mark-ups consisting
8 of distribution channel mark-ups and sales tax to
9 manufacturer sales-price estimates.

13:21:11 10 Just to put this in front, the method is
11 very much the same as most you heard related to
12 previous rulemaking and meetings you attended. So,
13 the inputs for development of the mark-ups will be
14 based on financial statements for wholesalers who
13:21:35 15 will be using the most current available HARDI
16 Profit Survey Report, and for contractors who will
17 be using the, who'll be using the ACCA Financial
18 Analysis for the HVACR Contracting Industry.

19 In addition, DOE will use the U.S.
13:21:54 20 census data mentioned here. The mark-ups
21 themselves will be defined in two categories,
22 baseline and incremental mark-up.

23 And the baseline mark-ups relate price

1 to costs prior to a change in efficiency, and the
2 incremental mark-ups relate the incremental change
3 in consumer price to the incremental change in cost
4 of goods sold.

13:22:33 5 This slide shows the distribution
6 channels that DOE plans to assess. The upper part
7 relates to the replacement market; the lower part
8 to the new-construction market.

9 Basically we have furnace fan product
13:22:57 10 manufacturer, distributor, and mechanical
11 contractor. Similarly, for the new-construction
12 market, instead of mechanical contractor, looking
13 at the general contractor.

14 And with that, DOE requests comments on
13:23:16 15 the planned distribution paths; also some feedback,
16 as well as the feedback on the other mark-ups.

17 MR. BROOKMAN: So, you can see on the
18 preceding slides, 53 and 54, the content that DOE
19 would like comments on.

13:23:40 20 Bryan, you want to start? You gave me
21 that look.

22 MR. ROCKY: Sure. Bryan Rocky.

23 As a distribution channel for the

1 furnace or an air handler, no com-, no questions,
2 no discussions that need to be made. I think the
3 model is appropriate.

4 As distribution channel for furnace air
13:24:02 5 handler fan assembly, there are several things that
6 have to come up. And there's -- That can make a
7 huge difference to a cost to a consumer.

8 And that can be as -- Generally
9 speaking, a consumer is only going to purchase a
13:24:18 10 fan assembly when they have a failure and the unit
11 is out of warranty, generally speaking.

12 There are appliances, or, excuse me,
13 blower assemblies, fan assemblies that are sold in
14 our industry from a motor manufacturer as a
13:24:34 15 replacement or a fan kit, but that, relatively
16 speaking, is very low volume, versus the entire
17 product that's sold that uses furnace fans, either
18 air handlers or furnaces.

19 And so now you're talking about a
13:24:53 20 distribution channel that, if you're in a warranty
21 situation, doesn't matter what the cost is because
22 the manufacturer's going to replace it under
23 warranty. And if you're in a nonwarranty

1 situation, the homeowner has very little choice.

2 Because of the design parameters, as
3 we've already talked about, with motors, wheels,
4 blower assemblies structured to the particular

13:25:15 5 design of the equipment, you can't usually just go
6 get a generic assembly to be replaced or to be
7 bought to be used.

8 So, in those situations you're not going
9 to go to use, you know, to Lennox to buy any fan

13:25:34 10 assembly for a York furnace.

11 MR. BROOKMAN: There's another stop
12 between the distributor and the mechanical
13 contractor?

14 MR. ROCKY: It's -- You know, you're
13:25:44 15 looking at distribution channels. And if it's a
16 warranty replacement, it's to the manufacturer.

17 If it's a nonwarranty, it's still back
18 to the original manufacturer. And cost of that
19 component, it's up to what the market bears, not to
13:26:02 20 a relative measurement because it's more efficient
21 or less efficient.

22 It's: This is what has got to go into
23 that product. So, your distribution parameters are

1 slightly modified.

2 Your cost parameters are slightly
3 modified. You know, this becomes irrelevant in a
4 lot of applications.

13:26:20 5 MR. BROOKMAN: You go ahead, Molly,
6 please.

7 MS. TROMBLEY-McCANN: Molly
8 Trombley-McCann.

9 So, I just wanted to try and clarify.
13:26:26 10 Does that mean that essentially your fan breaks,
11 you go to a mechanical contractor and the
12 mechanical contractor goes directly back to the
13 manufacturer to get replacement parts?

14 MR. ROCKY: Yes.

13:26:38 15 MS. TROMBLEY-McCANN: Okay.

16 MR. ROCKY: I mean, you're going to -- A
17 homeowner isn't going to purchase this. You're
18 going to go to your contractor, to your -- The path
19 is correct, but there's no choice.

13:26:49 20 There's very limited -- I mean, I can't
21 go and, and for the most part get a complete fan
22 assembly. You can get a replacement motor that are
23 universal replacement motors.

1 You can buy wheels from different
2 manufacturers, and generally they're going to be
3 fairly close to the performance. But, we're
4 talking about the fan assembly, the entire
13:27:08 5 component: blower, motor, wheel, capacitors, the
6 whole package.

7 There aren't a lot of choices out there,
8 what's available. You go to the manufacturer; you
9 pay what they charge you.

13:27:18 10 MR. BROOKMAN: Alex.

11 DR. LEKOV: Just so -- So, to highlight
12 that, you emphasized -- And on the, in the
13 replacement market you emphasized the case when
14 basically the blower assembly will be replaced
13:27:34 15 only. But, it also includes the case when the
16 entire furnace product will be replaced.

17 So, as such, the furnace fan is, as part
18 of the product, will go through the, this
19 replacement channel.

13:27:53 20 MR. ROCKY: The -- Alex, the channel is
21 correct, but the impact on it is, is almost
22 nonsensical for a furnace fan assembly. People
23 don't replace furnace fans because it's a more

1 efficient furnace fan, with very, very few
2 exceptions, one being mobile-home add-on air
3 conditioning that wasn't part of the original
4 design being about the only application that I'm
13:28:18 5 aware of.

6 MR. BROOKMAN: Okay, thank you.

7 Please say your name.

8 MR. GEE: Talbot Gee, with HARDI.

9 I wanted to just explain on this, and
13:28:26 10 represent a distribution channel. I'd agree that
11 the channel itself doesn't change.

12 I think the finer point on it is the
13 mark-up analysis won't carry over like it would for
14 other products here because, for example, if a York
13:28:40 15 dealer, for example, is called in on a service call
16 for a Carrier system and the furnace assembly is,
17 needs to be replaced, that dealer may still be able
18 to do the replacement, but that -- And they may be
19 able to resource it from their traditional
13:28:58 20 distributor.

21 However, the distributor probably had to
22 go source that product from the original Carrier
23 and, and work it that way. There's not the sort of

1 negotiated price, and, like you would have on a
2 regular stocked product.

3 I think the channel is correct. I'd
4 point out that if you're talking about "general
13:29:15 5 contractors" meaning more like builders, they're
6 not going to be playing in this market.

7 This is an after-market replacement
8 mechanical contractor.

9 MR. BROOKMAN: Okay.
10 Jim.

11 MR. VerSHAW: Jim VerShaw.
12 If you get a failure on a replacement, I
13 mean, most, most furnace manufacturers don't allow
14 a different fan assembly to be put into their
13:29:41 15 furnace because we're not sure the safeties will
16 work. So, fundamentally, if you have got a PSC
17 motor, you can get a PSC motor replaced, and that's
18 pretty good.

19 But, if you have the other, you have to
13:29:54 20 get the one that the manufacturer designed and
21 programmed, because otherwise it's not going to
22 work the same. So, it's going to be -- It's not
23 quite straight-forward in that respect.

1 MR. BROOKMAN: Terry, go ahead.

2 MR. SMALL: I'd just like to point out
3 that, again, the product class can be important
4 here. As Bryan said, on mobile-home products, they
13:30:12 5 go through a completely different channel.

6 The furnaces come out of a furnace
7 factory like Bryan's with a heating blower in.
8 They're installed in a mobile-home factory that
9 builds the home.

13:30:26 10 They go out to the site, and if air
11 conditioning is added, there could very well be a
12 conversion blower kit that is coming from a
13 distributor, along with maybe an air-conditioning
14 coil and an outdoor air-conditioning unit.

13:30:43 15 So, just a point that I think the, the
16 distribution channel can be quite different,
17 depending on the product.

18 MR. BROOKMAN: Okay.

19 Diane.

13:30:52 20 DR. JAKOBS: I just wanted to say I
21 heard a complaint from, that distributors don't
22 always, because of the large number of motor
23 programs, they don't always stock all of the

1 possible programs. We might, like, over the years
2 probably have, like, 35 or something.

3 And then you'll have to have something
4 sent air freight if you want to replace your motor
13:31:19 5 for, you know, or wait a week or two. So, there's
6 a complaint that they're expensive.

7 But, also you have to take this motor,
8 you have to take, pay for freight, air freight to
9 get it replaced in a timely manner.

13:31:33 10 MR. BROOKMAN: Okay. Other comments on
11 these, these two slides?

12 Take a look at 53 and 54. You, you will
13 note that the Department also requested comment on
14 the mark-up slide, 53.

13:31:47 15 I guess if -- What would you say about
16 that having the page that is missing? Okay.

17 DR. LEKOV: So, the next components are
18 the energy use analysis. The purpose: To identify
19 the energy use of furnace fans in the field, and
13:32:16 20 the energy savings potential of energy-efficient
21 improvements.

22 So, here in four steps are outlined the
23 preliminary methods placed essentially on the

1 furnace case. They -- DOE plans to estimate the
2 household heating and/or cooling load using
3 adjusted heating/cooling equipment energy use for
4 RECS 2005; with the calculated heating/cooling load
13:32:49 5 will determine that heating/cooling equipment
6 operating hours.

7 The equipment operating hours means
8 furnace end-product operating to estimate furnace
9 fan operating hours at each active mode and with
13:33:08 10 the fan operating hours, the fan electricity
11 consumption will be determined for each considered
12 efficiency level.

13 MR. BROOKMAN: Yes, Diane.

14 DR. JAKOBS: I was wondering. To do
13:33:24 15 that, I would think you'd need to make some kind of
16 assumption about the ductwork, what kind of static.
17 And also, we've been selling ECM motors for many,
18 many years, so I'm kind of split in the
19 distribution of motors.

13:33:40 20 I look at the RECS 2005, and they talk
21 about heating and cooling loads, and square feet.
22 And I didn't see anything like that.

23 DR. LEKOV: Those components, the

1 analysis you mention will be applied. In fact, if
2 you look back in the 2007, the Rule, those were
3 part of it.

4 DR. JAKOBS: Oh, okay.

13:34:03 5 DR. LEKOV: We'll -- The DOE will apply
6 all those considerations.

7 DR. JAKOBS: Okay.

8 MR. BROOKMAN: Okay.

9 Jim.

13:34:12 10 MR. VerSHAW: Jim VerShaw.

11 Once again, I don't think you ought to
12 be looking at cooling as part of the energy you're
13 saving, because if you switched motors, you
14 switched furnaces, and therefore you'd probably go
13:34:26 15 to the, the Ratings Directory and find out the
16 rating of that furnace with ECM, because those are
17 usually rated because they're, they have a, they,
18 they give you a higher rating than you can with a
19 PSC motor.

13:34:40 20 So, again, I feel like you're, you're
21 double-counting on the cooling side. You just want
22 to focus on, on the heat.

23 MR. BROOKMAN: Okay.

1 Charlie Stephens.

2 MR. STEPHENS: I've -- Somebody can tell
3 me if I'm wrong, --

4 Charlie Stephens here.

13:34:59 5 -- but I think the, the way I understood
6 this is that you would have a diminished number of
7 combinations for cooling for a heat pump system,
8 say, or an air-conditioning system to choose from
9 if, if a certain number of the indoor units were
13:35:15 10 too low in efficiency to qualify under the furnace
11 fan Standard.

12 So, your choices as a replacement or as
13 a new-construction piece of a system would not
14 include combinations that had certain fans
13:35:29 15 associated with them. So, I think the savings
16 would probably show up there.

17 Cooling, certainly, for a heat pump,
18 because you, you can no longer select a system that
19 -- I mean, you can take your savings however you
13:35:45 20 want, but it, it changes the range of savings.

21 There's some interaction here that I --
22 And this is why I think people can correct me if
23 I'm wrong, but I don't think we've necessarily

1 established what the ratings would be for a heat
2 pump or a, or an air-conditioning system if we used
3 the actual performance of the air handler instead
4 of the default values in the ratings that are
13:36:09 5 currently used there.

6 MR. BROOKMAN: Jim.

7 MR. VerSHAW: The amount of power that
8 the air, air handler uses in a, an air conditioner
9 or, either heating or cooling mode, is included in
13:36:21 10 the SEER. So, if you, if you assume that you're
11 going to change a furnace fan, just put a furnace
12 fan efficiency standard is going to save
13 electricity in the furnace fan, then are you going
14 to increase the SEER requirements as a result?

13:36:35 15 Because you, you, we've got a minimum
16 SEER that you have, and I think that's, as sold,
17 meets that. So, the -- So, I think you, you'd be,
18 be double-counting if you start looking at cooling.

19 MR. BROOKMAN: Karim.

13:36:50 20 DR. AMRANE: Karim Amrane, AHRI.

21 I guess, according to Charlie, I mean,
22 for a heat pump and for, for an air conditioner
23 with a blower core it's not the default value that

1 you use to calculate the SEER. You use the actual
2 power of the, of the, of the fan.

3 So, so, it's not, it's not the default
4 value.

13:37:11 5 MR. BROOKMAN: Charlie?

6 MR. STEPHENS: Charlie Stephens.

7 No, I actually wasn't speaking about the
8 SEER rating. I go -- I was thinking about the
9 hours.

13:37:21 10 And if you were calculating the actual
11 energy use, like in a gas furnace, for instance,
12 you have an EAE that's based on defaults.

13 MR. BROOKMAN: Okay.

14 MR. STANONIK: National average.

13:37:33 15 MR. BROOKMAN: Okay. So, any additional
16 comments on this method that is described in Slide
17 57?

18 Yes, Cyril.

19 MR. FOWBLE: Cyril Fowble.

13:37:43 20 Only concern is similar to one that
21 we've raised previously in other rulemakings about
22 the, as -- I won't say "accuracy," but the, the
23 reasonableness of that, of the RECS 2005 data.

1 There's been a lot of programs, tax, tax credits in
2 2005, -six, -seven.

3 We've had the big ones in the last
4 couple of years with the significant dollars. I
13:38:06 5 think, you know, that data's not going to include
6 the shipments of high-efficiency blower systems of
7 furnaces or air-handling devices.

8 So, we talked about the RECS 2009 data,
9 whatever, but certainly a more recent version. Or
13:38:20 10 look at HRI shipments or something like that to
11 determine the increase to actually reduce the
12 amount of energy consumed today for furnace fans.

13 MR. BROOKMAN: Okay, thank you.

14 Greg.

13:38:30 15 MR. WAGNER: Greg Wagner.

16 There was discussion here that the
17 remaining hour's going to be assigned to the
18 continuous-run, continuous ventilation. If you do
19 have that, then I guess what's the point of standby
13:38:46 20 power?

21 And, and probably it was in the, in 7.2.
22 It's not on the slide, but it was under the
23 description of how the evaluation was going to be

1 undertaken; that there will be heating hours,
2 cooling hours, and the remaining would be
3 ventilation.

4 If you do that, then there's no time for
13:39:07 5 standby, I guess.

6 DR. LEKOV: And as I explained this
7 morning, DOE does not plan to assess the standby
8 power.

9 MR. WAGNER: Okay. So, the rest of it
13:39:17 10 will be in continuous run?

11 What portion --

12 DR. LEKOV: That's in --

13 MR. WAGNER: What portion of the
14 population does operate in continuous mode?

13:39:25 15 DR. LEKOV: DOE plans to determine this.

16 MR. WAGNER: So, that will be part of
17 the Rule, to identify the portion of that?

18 DR. LEKOV: Obviously, yes.

19 MR. BROOKMAN: Final comments?

13:39:36 20 (Whereupon, no response was had.)

21 DR. LEKOV: So, those are the DOE's
22 comments, requests for comments. So, one of the
23 comment was the planned approach for determining --

1 I believe we got some comments, and the other one
2 is:

3 Usually for this type of equipment DOE
4 also looks at potential rebound effect, and
13:40:12 5 wonders, in the case of furnace fan, whether such,
6 such thing as a rebounded effect should be
7 considered separately for this product, just to
8 remind that it's going to be applied for the
9 furnaces and for the central AC.

13:40:31 10 MR. BROOKMAN: Frank?

11 MR. STANONIK: Just a, a quick comment
12 on that. I mean, the, the, in the case of the
13 furnace, the rebound effect is theoretically driven
14 because the consumer wants to be more comfortable,
13:40:50 15 and so, since they have perceived that they're
16 using less energy, they turn up their thermostat to
17 be warmer.

18 I think the question that somehow the
19 consumer's going to react because their blower is
13:41:00 20 using less electricity and somehow be some rebound
21 effect is, it, there's no connection there. I
22 think in this particular analysis there isn't.

23 You know, the idea of rebound doesn't

1 fit.

2 MR. BROOKMAN: Diane.

3 DR. JAKOBS: I, I found a report from
4 Wisconsin, and it was April, 2009. But, but they
13:41:19 5 said that there was a rebound effect in respect
6 that people go from not having, using continuous
7 fan, to using continuous fan.

8 So, they were saying that the, if you
9 replace a PSE furnace with an ECM furnace, and you
13:41:38 10 switch it to continuous operation, you're entirely
11 negating the energy use, and energy use actually
12 increases.

13 DR. LEKOV: If this is --

14 DR. JAKOBS: So, if that's --

13:41:49 15 DR. LEKOV: Just a question. If this is
16 related, Wisconsin report relates to the entire fan
17 product, or to the fan itself?

18 DR. JAKOBS: They had -- They were just
19 monitoring furnaces with ECM motors.

13:41:57 20 MR. BROOKMAN: Right.

21 DR. LEKOV: I remember the earlier
22 version of the report, the, the 2003, and all the
23 assessments were related to the furnace fan as

1 opposed to the entire furnace. So, I wonder about
2 this.

3 DR. JAKOBS: Oh, I, I --

4 MR. WAGNER: Either way, it's part of
13:42:18 5 the furnace and its use, and the report was about
6 use of the furnace in, you know, people's homes,
7 and what they've done. And that gets back to the
8 question I asked a moment about, ago about
9 continuous run.

13:42:32 10 If you're considering them to be
11 continuous run, there won't be any rebound effect
12 because there's no more hours to be run in a year.
13 And so it's another -- One way or another, I guess,
14 I really need to have an understanding of what the
13:42:46 15 percentage of folks do use continuous-run versus
16 noncontinuous-run users, --

17 MR. BROOKMAN: Okay.

18 MR. WAGNER: -- because it's 2,000
19 hours, more or less, heating/cooling; 6,000 hours
13:43:00 20 continuous run outside of that, or --

21 (Whereupon, at 1:43 p.m. ET, Mr. Wagner
22 and Dr. Jakobs conferred, out of the hearing of
23 others and off the Record, after which the

1 following occurred:)

2 MR. BROOKMAN: Okay. Okay.

3 DR. LEKOV: Focus on the entire scope of
4 the life-cycle costs and payback period analysis.

13:43:14 5 So, here is a slide explaining the general
6 approach.

7 So, the purpose is to assess the next
8 life-cycle cost impact and the payback for the
9 consumers of residential furnace fans under the
13:43:27 10 considered efficiency levels. And the method
11 essentially is what it does is equals the cost to
12 install, plus the sum of operating cost was
13 discounted to the particular base year.

14 (Whereupon, at 1:43 p.m. ET, Msrs. Burt
13:43:40 15 and Bacchus conferred, out of the hearing of others
16 and off the Record, during which the following
17 occurred:)

18 DR. LEKOV: Analysis will model the
19 uncertainty and variable input using the Monte
13:43:49 20 Carlo approach and probability distribution, and
21 implemented in an MS Excel format combined to the
22 Crystal Ball software.

23 That's -- This slide shows the entire

1 flow of DOE's LCC analysis. So, the bottom -- The
2 top part is explaining the parameters that are
3 needed to determine the total install costs, and
4 the bottom part is related to the operations costs.

13:44:26 5 I'll very quickly say that yellow boxes
6 are inputs. The green boxes are intermediate
7 calculations, and the final rounds that are
8 reported in blue.

9 Some of the parameters I'll be
13:44:44 10 discussing in the next slides. Starting with
11 energy prices, as you see here, energy prices in
12 combination with energy consumptions, which has
13 been explained, are used to determine the annual
14 energy costs.

13:45:08 15 So, DOE will use the monthly energies
16 price from the most recent EIA data for each of the
17 census division to establish appropriate energy
18 prices for each sampled household.

19 The -- In addition to this, DOE will use
13:45:26 20 projections of national average residential energy
21 prices to forecast the future energy prices. And
22 usually it comes with the most current version of
23 the EIA's annual energy outlooks.

1 And, again, it does not differ from what
2 you know from previous meetings related to furnaces
3 and central AC. Another important component of the
4 life-cycle costs are the determination of the
13:46:07 5 discount rate.

6 The discount rates are used to determine
7 the present value of the lifetime operating
8 expenses. The way DOE determines the discount rate
9 is from the estimates of the fi-, finance cost to
13:46:25 10 purchase the products.

11 The main tool to do this is the Federal
12 Reserve Board's Survey of Consumer Finances.
13 That's a tri-annual survey.

14 DOE uses multiple versions, starting
13:46:43 15 from 1989, up to the most current one. I also say
16 this each workshop.

17 The costs were taken from over 200 data
18 points. Very solid.

19 Used by many organizations. And it's,
13:47:01 20 actually allows to determine the financial cost of
21 any debt incurred.

22 Also has the opportunity, cost of any
23 equity used. And with that, DOE arrives with the

1 real interest rates that are used in this
2 calculation.

3 MR. BROOKMAN: Yes, Jim.

4 MR. VerSHAW: Jim VerShaw.

13:47:36 5 I guess I'm having a bit of a problem
6 with the Monte Carlo approach on, on the life-cycle
7 costs and payback. Usually when you do a Monte
8 Carlo approach you're determining the effect of
9 variability in a, in a dimensional fit on, for, on
13:47:51 10 performance on something.

11 But, you're starting with, with
12 something you've guessed at, and through, through
13 analysis. And so I'm sure -- I'm trying to figure
14 out how, how you know the Monte Carlo approach is
13:48:03 15 verifying that you had the right numbers up front.

16 It seems like it's, it may not be worth
17 the effort on this, but, because it, it doesn't
18 really tell you whether or not you had your
19 initial, your initial estimates were in the right
13:48:16 20 range. It just tells you how much variability in
21 your, in your initial estimates does to what your
22 final answer is.

23 DR. LEKOV: Let me try to summarize,

1 essentially starting with basic sort of route. DOE
2 uses RECS, Residential Energy Consumption Survey,
3 which, --

4 MR. VerSHAW: Which, which, which --

13:48:41 5 DR. LEKOV: -- which provides household
6 characteristics and some characteristic of the HVAC
7 systems for representative number of households;
8 let's say roughly 3,000.

9 That three percent of million U.S.
13:49:01 10 household with this type of equipment.

11 MR. VerSHAW: Isn't, isn't RECS
12 fundamentally basically through States?

13 DR. LEKOV: Not true.

14 MR. VerSHAW: Umm.

13:49:08 15 DR. LEKOV: It's a statistical example.
16 So, starting from there, and as well as on other
17 multiple sources that usually explain how it is
18 this, there are all the parameters in the
19 calculation, or most of the parameters are
13:49:35 20 presented by probability distributions with, each
21 of them with specific references.

22 And from there, basically you derive
23 different cuts of the population impacts. So, the

1 answer to your question is the math that has been
2 applied to multiple products over the years.

3 It went through multiple reviews,
4 including high-level government reviews and third
13:50:17 5 parties. So, --

6 MR. VerSHAW: Okay.

7 DR. LEKOV: -- that's for now.

8 MR. VerSHAW: Okay.

9 MR. BROOKMAN: Okay.

13:50:26 10 MR. VerSHAW: The, the other problem I
11 have is on discount rates. And I don't see -- You
12 say you're going to calculate one, and usually they
13 come out low based upon the amount of credit the
14 people had, and if they needed to buy a new
13:50:43 15 furnace, if they had to put it on a credit card.

16 So, I think you need to look at that.

17 DR. LEKOV: So, there are two points to
18 bring. First, it's based on a real representative
19 example.

13:50:54 20 For example, the rates are coming higher
21 than they were the last six years. Also, the
22 second point to bring is those, the numbers you see
23 not for this, not developed for this product yet,

1 but usually -- Not usually.

2 They are real, so they don't account for
3 the inflation, so basically are much higher than
4 the numbers you, you see.

13:51:23 5 MR. VerSHAW: Umm.

6 DR. LEKOV: Very -- Another big part of
7 the LCC analysis are the installation, maintenance,
8 and repair. In the case of furnace fans, the DOE
9 does not plan to estimate installation costs

13:51:42 10 because they considered are part of the
11 manufacturer cost of a furnace.

12 And in terms of maintenance and repair,
13 DOE will evaluate how maintenance and repair costs
14 change with increased efficiency for furnace fans.

13:52:02 15 They are -- DOE plans to look at how it's made;
16 manufacturer literature, specialty consultants.

17 As for products, DOE will account for
18 regional differences in labor costs. And one
19 component that DOE plans to look at is to include

13:52:20 20 the installation of a replacement furnace fan --

21 (Whereupon, at 1:52 p.m. ET, Msrs. Burt
22 and Bacchus conferred, out of the hearing of others
23 and off the Record, during which the following

1 occurred:)

2 DR. LEKOV: -- and the appropriate
3 methods and data sources for assessing changes in
4 installation costs and repair for more efficient
13:52:35 5 furnaces.

6 MR. BROOKMAN: Bryan.

7 (Whereupon, at 1:52 p.m. ET, Dr. Amrane
8 and Mr. Stanonik conferred, out of the hearing of
9 others and off the Record, during which the

13:52:40 10 following occurred:)

11 MR. ROCKY: First, I think there is no
12 cost differences for furnace fan efficiencies.

13 It's a blower, a motor, and a wheel.

14 All you ever do with it is basically
13:52:52 15 clean the wheel as a maintenance aspect in the
16 field. We don't oil motors, for the most part,
17 anymore.

18 We don't do anything with it on. So,
19 maintenance costs are zero.

13:53:03 20 MR. BROOKMAN: And no differences,
21 difference between different types of motors?

22 MR. ROCKY: Doesn't matter. The motor
23 type, the blower type, the manufacturer type --

1 It's not a factor anymore.

2 Now, the repair costs, again, is a huge
3 different question, and I'll take it back to the
4 previous testimony, in warranty versus out of
13:53:23 5 warranty. And take the higher costs of a higher
6 efficiency ECM motor can go from double to triple
7 to four times the cost of the replacement of a PSC
8 motor.

9 It's the design of the whole assembly.
13:53:39 10 It's the programming of the motor.

11 It's all these other things that we've
12 talked about that impact the cost of a replacement
13 fan assembly out of warranty. That's what the
14 market bears.

13:53:50 15 It's not what the cost is. It's what
16 the contractor chooses to charge that homeowner.

17 We have nothing to do with that.

18 MR. BROOKMAN: Okay.

19 DR. LEKOV: A question?

13:54:02 20 MR. ROCKY: Yes, sir.

21 DR. LEKOV: If there is a case when
22 this, the consumer will decide, "Okay, replacing
23 this motor looks very expensive. Shall I replace

1 the furnace outright?"

2 MR. ROCKY: Yes, that actually can
3 happen with today's product. But, that has -- That
4 is now tied in generally with a replacement on an
13:54:28 5 efficiency basis for the furnace, or a system
6 replacement basis for a higher SEER, higher HSPF
7 unit.

8 It's, it's not going to be the same
9 situation as saying, "I have to spend \$600 for a
13:54:43 10 few fan assembly. Should I spend 1,200 or 2,000
11 for a new furnace?"

12 Homeowner, if he's going to get into
13 that situation, they're most likely to go to the
14 least-cost option. And they'll pay 650 for the
13:55:02 15 replacement fan assembly rather 2- or \$3,000 for a
16 new furnace.

17 MR. BROOKMAN: Okay. Okay, any other
18 comments on, on this slide?

19 (Whereupon, no response was had.)

13:55:14 20 MR. BROOKMAN: Okay.

21 DR. LEKOV: The next component you put
22 to LCC and the furnace lifetimes, DOE plans to use
23 information from various literature sources and

1 industry experts, and input from manufacturers and
2 other interested parties to determine a range for a
3 lifetime for these fans.

4 Comments?

13:55:40 5 MR. BROOKMAN: Lifetimes.

6 DR. JAKOBS: Numbers?

7 MR. ROCKY: This is Bryan Rocky.

8 In general, a furnace fan is going to
9 last the life of a furnace. So, using the same
13:55:55 10 standard number as used in other rulemakings for
11 lifetime of furnaces or any of those others would
12 seem appropriate.

13 However, I would add there's one caveat
14 to that. If you are in an area that the power grid
13:56:09 15 has severe fluctuations or is susceptible to
16 lightning strikes, it is known statement in our
17 industry that ECM motors, because of the complexity
18 of the controls, have a lesser expected life due to
19 variations in the power grid and lightning strikes
13:56:27 20 and other things, because of the things that are
21 there.

22 MR. BROOKMAN: Jim.

23 MR. VerSHAW: Yeah. I think the

1 approach is appropriate.

2 MR. BROOKMAN: Okay. Diane?

3 DR. JAKOBS: The only other thing I
4 could think of that the same restrictive ductwork
13:56:46 5 is bad for the life of the motors. So, generally
6 it's bearing life.

7 And so if it's oversized and it's
8 starting and stopping a lot, that's bad for the
9 bearings. If it's over-temperature it's bad for
13:57:03 10 the bearings and that will shorten the motor life.

11 MR. BROOKMAN: Okay. Okay.

12 DR. LEKOV: DOE will also develop an
13 energy efficiency base case so the, the developing
14 of the projected market share of products for
13:57:22 15 market efficiency under the base case will be
16 determined in this analysis, and DOE will use data
17 on the recent market trends in residential furnaces
18 and air-conditioner and impacts of the Energy Star
19 program and other policies that may impact demand
13:57:41 20 for more efficient furnace fans.

21 As some -- Well, just to enhance the
22 slide here, this morning was a pretty extensive
23 discussion of the increased penetration of ECM

1 design models over the last five, of the last two
2 years. Very different from what DOE did in 2007.

3 MR. BROOKMAN: So, comments on
4 appropriate distribution rates for residential
13:58:16 5 furnace fans in the absence of amended energy
6 conservation standards?

7 Yes, Greg.

8 MR. WAGNER: Well, I was just going to
9 say again, if you don't have a, a way to establish
13:58:27 10 what the base case is, I'm, I'm still -- We're
11 trying to establish what the test parameters are.
12 How do you do the distribution without
13 understanding the base case?

14 MR. BROOKMAN: Diane.

13:58:38 15 DR. JAKOBS: I found another -- There is
16 a place in Wisconsin, they were keeping track of
17 ECM furnaces --

18 (Whereupon, at 1:58 p.m. ET, Mr. Burt
19 left the room, after which the following occurred:)

13:58:46 20 DR. JAKOBS: -- and they, they said it
21 was 28 percent market share.

22 MR. BROOKMAN: Oh, okay. Good.

23 So do you have that data?

1 DR. JAKOBS: (Nodded no.)

2 MR. BROOKMAN: Okay.

3 Okay, other comments?

4 Charlie.

13:58:58 5 MR. STEPHENS: Charlie Stephens.

6 I'll just add that it's going to be
7 pretty variable, depending on where you go in the
8 country. Three years ago, or four years ago, in
9 Oregon, it was 83 percent variable-speed, 90s in

13:59:13 10 replacement, and 14 percent new construction.

11 And now it, it's about 80-some percent
12 in new construction as well. So, you're going to
13 find a huge range, I think, when you go out and
14 look.

13:59:26 15 And, and, and, and I believe it would be
16 a big help to the manufacturers to be, ultimately
17 to put some kind of cross-section of what's
18 happening. If the shippers are only shipping 40
19 percent, the data you add up is going to be 60.

13:59:43 20 So, at the very least I'd hope that the
21 manufacturers help with the cross-check to make
22 sure that what is arrived at sounds appropriate.

23 DR. LEKOV: Just to let you know that

1 DOE provides the opportunity to do this by census.
2 So, in case DOE retains information that indicates
3 the regional differences for the energy
4 distribution, those will be definitely considered.

14:00:12 5 MR. BROOKMAN: Okay.

6 DR. LEKOV: From impacts on the
7 consumers, they're going to switch to the national
8 impacts, starting with the shipment analysis that
9 will, I'll say, change components of the initial
14:00:31 10 impact analysis.

11 So, DOE plans to estimate the furnace
12 fan shipment in the base case and the all-standard
13 cases. The method will apply accounting
14 methodology to determine several market segments.

14:00:50 15 At this time DOE thinks about a
16 replacement in kind. It means replacement with the
17 same equipment type; new housing installations;
18 conversions from noncentral heating to central
19 heating; and then retrofitting into existing
14:01:09 20 furnaces and cooling products if the fan fails.

21 DOE intend to evaluate whether standards
22 that require more efficient furnace fans would have
23 an impact on the number of fans shipped. DOE can

1 also see the application of this parameters that
2 relate to changes in shipment quantities to changes
3 in the install costs for products.

4 MR. VerSHAW: Question.

14:01:36 5 MR. BROOKMAN: Jim.

6 MR. VerSHAW: Jim VerShaw.

7 When you say "fan retrofits into
8 existing furnaces," are you talking about just a
9 straight in-kind change-out, or are you talking
14:01:45 10 about changing it from one fan type to another, or
11 one fan efficiency to another one?

12 Because fundamentally I don't think any
13 furnace manufacturer would want a different motor
14 or different fan put in their furnace because of
14:02:00 15 all the safeties that are involved.

16 DR. LEKOV: The issue here is over the
17 analysis period may be needed to replace the
18 furnace before the, the entire period. All the
19 parameters are calculated at distrib-, as probably
14:02:20 20 distributions.

21 So, you have the lifetime of the entire
22 furnace product. You have a lifetime distribution
23 of the furnace fan.

1 So, the, this one, the replacement in
2 kind, it's essentially --

3 MR. VerSHAW: No, I was talking to the
4 fourth one down.

14:02:39 5 DR. LEKOV: That relates, the fourth one
6 is directly the replacement situation in case of
7 failure, like I was explaining, the replacement
8 slide.

9 That case, whatever is available, either
14:02:50 10 the same kind, PSC with PSC, or if the analysis
11 determined that the existing product that's allow
12 the switch, the switch will be considered.

13 MR. VerSHAW: There won't be many of
14 those.

14:03:10 15 MR. BROOKMAN: Greg.

16 MR. WAGNER: Yeah. I was going to say I
17 think that the concept of somebody building a fire
18 in your basement is what your furnace is, and
19 there's a lot of strict controls over those
14:03:22 20 products, including the safety features Jim was
21 just talking about.

22 So, there's not going to be a lot of
23 difference of rated changes occurring within

1 retrofits, for safety reasons.

2 DR. LEKOV: Do I understand it to the
3 answer is that DOE will investigate whether
4 products, kits exist for replacements, let's say,

14:03:43 5 from PSD to ESM? If not, we feel --

6 MR. BROOKMAN: Talbot Gee.

7 MR. GEE: Talbot Gee.

8 First of all, I apologize I have to
9 leave so I won't get to hear the scintillating head
14:03:59 10 to these arguments. But, I think this is the way I
11 look, I try to look at any of these rulemakings to
12 figure out how any of my members would implement,
13 market, or install, or lead to the installations of
14 whatever the outcomes.

14:04:16 15 I have to admit, I'm failing to
16 understand the value of this exercise. I
17 understand you're under Statute to do so, but you
18 know our members who are responsible for training
19 and educating most of their contractors really
14:04:33 20 focus on the whole program's reliance on AHRI
21 Directory.

22 And that would be what would determine
23 what replacements you would do in these failure

1 situations. And if you can't make the match, it's
2 probably because the system's so old it really
3 should be replaced in its entirety anyway.

4 So, it seems to me, just in my limited
14:04:52 5 technical knowledge, which is very limited, but let
6 me just say it seems to me that the AHRI rating
7 method for the matched systems kind of already
8 accomplishes what I think we're trying to do here
9 if you're trying to properly match system
14:05:07 10 installations.

11 So, that's my global perspective on
12 this. But, we welcome the opportunity to
13 participate and thank you.

14 So, ask.

14:05:16 15 (Whereupon, at 2:05 p.m. ET, Mr. Gee
16 left the room, after which the following occurred:)

17 MR. BROOKMAN: Okay.

18 DR. LEKOV: So, here are some more
19 details about how the shipments forecast will be
14:05:30 20 evaluated for. In case of replacement, DOE will
21 develop retirement functions from the lifetime
22 estimates and apply them to the existing products.

23 The existing stock of products that,

1 will be developed from historical shipments data.
2 In the case of new constructions, DOE will estimate
3 or forecast new-housing construction and saturation
4 rates of various furnace and cooling products types
14:05:57 5 in new housing.

6 In projecting the future housing
7 situation rate, DOE will consider expected trends
8 in builder and consumer preferences, including
9 competition among space heating and cooling
14:06:14 10 products. So, talking about equipment switching.

11 In the case of first-time owners, DOE
12 planned to derive a historical rate of product
13 adoption for the noncentrally heated market. Plans
14 to project future adoption rates by considering
14:06:32 15 historical trends as well as market situation
16 indicates that retrofits will estimate the shipment
17 from the lifetime distribution.

18 And there are a few sources listed at
19 the bottom.

14:06:59 20 With that, DOE seeks input on the
21 historical shipments data for furnace fans,
22 including the distribution of shipments by
23 efficiency.

1 DOE will welcome comments on the
2 methodology described to forecast shipments of
3 furnace fans.

4 And DOE welcomes comments on whether
14:07:18 5 energy conservation standards might affect
6 shipments of furnace fans.

7 DR. JAKOBS: I, I, I have a question.

8 MR. BROOKMAN: Diana. Diane. Pardon
9 me.

14:07:28 10 DR. JAKOBS: That's all right. The --
11 Are you talking about furnaces? I mean, or --

12 DR. LEKOV: Furnace fans.

13 DR. JAKOBS: Well, we don't really -- I
14 mean, we only ship furnace fans as a replacement,
14:07:41 15 so do you really want all this information just
16 about replacement for failed furnace fans, or are
17 you really talking about furnaces?

18 DR. LEKOV: You, you could structure
19 your comment even to the impact of whether improved
14:07:57 20 or proposed or considered improved efficiency of
21 the fans will impact the shipments of furnaces, the
22 furnace products. Let me use the term.

23 MR. BROOKMAN: Yeah. Okay.

1 Karim?

2 DR. AMRANE: Karim Amrane, AHRI. Again,

3 I don't think we want to recapture furnace fans

4 shipments, per se. But, of course, we have

14:08:28 5 shipment data for furnaces, so that's something

6 that is what I recalled with the Department.

7 But, as far as the replacement market,

8 I, I don't know where we could get the data.

9 MR. BROOKMAN: The, the, the replacement

14:08:41 10 fans, they still come from the manufacturers of

11 furnaces largely?

12 DR. AMRANE: Maybe. Maybe they do, but,

13 but as, at least as an industry, as AHRI, we don't

14 capture that data.

14:08:55 15 So, so we won't be able to share

16 anything with, with you, because we don't, we don't

17 have it.

18 MS. ARMSTRONG: Yeah.

19 MR. BROOKMAN: Ashley.

14:09:04 20 MS. ARMSTRONG: Yeah. I guess if you

21 don't have that type data as far as the actual

22 shipments, and just the, maybe furnace fan assembly

23 that goes into replacement applications only, if

1 you know the, if you have some estimate, or a good
2 idea based on your American experiences, maybe the
3 percentage of the market that might fix upon fail,
4 rather than replace the whole system as a whole,
14:09:28 5 that would also get to a similar effect.

6 Does that make sense?

7 MR. WAGNER: I know. But, that's
8 changing --

9 MS. ARMSTRONG: It's a cost thing, but
14:09:37 10 --

11 MR. BROOKMAN: Bryan's earlier comment
12 suggested the price is problematic.

13 MS. ARMSTRONG: I understand. I
14 understand.

14:09:46 15 MR. WAGNER: I was going to say -- This
16 is Greg Wagner.

17 One thing that's happened with SEER
18 implementation is more people are repairing than
19 replacing because of the higher cost of new
14:09:56 20 installation. So, I don't know.

21 MS. ARMSTRONG: Sure.

22 MR. WAGNER: I don't know. That's a
23 dynamic thing.

1 That's been changing dramatically over
2 the last few years with changes in legislation. I
3 don't know that there's going to be a single source
4 that will provide you with clarity on that data.

14:10:11 5 But, back to the replacement part of it,
6 they do put a lot of safety controls in these
7 devices to keep them from causing problems for the
8 homeowner, and so they are designed for the
9 application. And it is highly recommended that the
14:10:24 10 exact replacement part is the same as the one that
11 was in there, for safety reasons.

12 (Whereupon, Msrs. Burt and Bacchus
13 conferred, out of the hearing of others, during
14 which the following occurred:)

14:10:32 15 MR. BROOKMAN: Frank, did you --

16 MR. STANONIK: Frank Stanonik.

17 I was just going to pick up on that
18 point. Again, in terms of at least what I know,
19 past analysis, analyses, the, this particular
14:10:45 20 question of what might be the mix of shipments of
21 the replacement furnace fans, I really question if
22 it, it's going to be any value because in terms of
23 where it is being a replacement, it, it should be a

1 like for like.

2 So, it's not, it's not like a homeowner
3 is going to pull out a 70-percent AFUE furnace and
4 put in a 95- or 90- or whatever. And that, that
14:11:13 5 becomes a relevant piece of analysis.

6 In this little segment of trying to say,
7 "Well, what happened, what happens in terms of the
8 number of fans, furnace fans that get shipped as
9 repair parts?" I don't know that it matters.

14:11:27 10 MR. BROOKMAN: Is it possible to just
11 generally estimate?

12 MS. ARMSTRONG: Wait.

13 MR. BROOKMAN: Go ahead, Ashley. Go
14 ahead.

14:11:33 15 MS. ARMSTRONG: And Alex may be better
16 able to articulate this than I, but I guess I ask
17 you: Is it a fair assumption that the Department
18 looks at, once we have a test procedure, that the
19 Department looks at various efficiency levels, and
14:11:47 20 after effective date of the Standard, you know, if
21 we went to, something that was higher efficiency
22 than what the consumer already had, would that make
23 them replace the system as a whole because they

1 couldn't find a replacement that was exactly like
2 what they had previously?

3 Is that a fair assumption?

4 MR. WAGNER: They might not be able to
14:12:10 5 supply it because their controls, they're building a
6 fire in, in your basement.

7 MS. ARMSTRONG: So, in which case
8 they'll replace the system as a whole.

9 MR. BROOKMAN: Yes. Great.

14:12:19 10 DR. AMRANE: If that's true, then this
11 has to be accounted for in the analysis.

12 MS. ARMSTRONG: Okay.

13 MR. BROOKMAN: Okay, thank you.

14 That was Greg, followed by Karim.

14:12:25 15 Mohammed?

16 MR. KHAN: Mohammed KHAN, DOE.

17 I appreciate the many comments we've
18 heard already about the importance of trying to
19 maintain matching to ensure that whatever safety
14:12:39 20 systems are in place are going to be working as
21 they are intended. Maybe you can just elaborate on
22 that just a little bit so I have a better
23 understanding.

1 My understanding is that when we talk
2 about furnaces, you generally have some limit
3 temperature switches that basically control when
4 and, when, when the burner should turn off and
14:13:06 5 when, when it's okay for it to turn on.

6 If the temperature limit switch exceeds
7 X amount, burner goes on, blower stays on until the
8 temperature's reduced. Is there anything else
9 that, that we should know about in terms of safety
14:13:23 10 control?

11 MR. BROOKMAN: I'm seeing two different
12 reactions there, one, "No," and one, "Yes," from
13 the manufacturer.

14 MR. WAGNER: I'm not, I'm not --

14:13:29 15 MR. BROOKMAN: Greg.

16 MR. WAGNER: I'm saying yes, they do
17 have limit switches. And Jim is certainly more
18 versed in what those limit switches do than I am,
19 but in essence they make sure that it doesn't get
14:13:40 20 into an overheat condition.

21 So, they do cut off when it gets over
22 temperature.

23 MR. VerSHAW: That's all, all limit

1 switches do today is make sure it doesn't overheat.
2 The blowers are all, all electronically controlled
3 and after the flame has been sensed, there's a
4 delay time for the blower determined by the
14:14:05 5 manufacturer.

6 The blower comes on, and when the heat
7 has ended, then the blower goes off. And if
8 there's some kind of fault in there, for instance,
9 if it gets too hot, it turns off, the blowers keeps
14:14:17 10 them running until that recloses.

11 There's also rollout switches and
12 pressure switches and all kinds of things in there
13 that have different reactions. But, in normal
14 operation it's, it's, it senses that the flame is
14:14:29 15 running and then it delayed, there's a delayed
16 start.

17 And then when the flame goes out, it
18 goes off by itself. If the flame doesn't go off
19 for some reason the, the gate states open, then the
14:14:44 20 system keeps the blower running.

21 MR. BROOKMAN: I'd like to address Item
22 44. I think Ashley was addressing this, at least
23 in part.

1 What do you anticipate is going to
2 happen with shipment should Energy Conservation
3 Standards be put in place for furnace fans?

4 (Whereupon, at 2:15 p.m., Mr. Wagner and
14:14:57 5 Mr. VerShaw conferred, out of the hearing of others
6 and off the Record, during which the following
7 occurred:)

8 MR. BROOKMAN: Do you see it there, Item
9 44?

14:15:06 10 Yes, Jim.

11 MR. VerSHAW: This is Jim VerShaw again.

12 I think if you look back over the years
13 of what happened as higher efficiency Standards
14 were put in place, I think we're seeing increase
14:15:17 15 in, in repairs and a decrease in furnace or, or in
16 HVAC sales. I think SEER is a good indication of
17 looking at what shipments have been since 13 SEER
18 went in.

19 And you look at the parts revenue of the
14:15:32 20 various companies, that they've gone up. That I
21 think's a similar risk here.

22 If somebody's got an older furnace but
23 yet now the price has got even that much higher,

1 that the push for them to repair that and not
2 actually get a higher efficiency furnace could be
3 higher. And so we want, we want to make sure that
4 we don't get to a point where we ought to replace
14:15:51 5 the equipment when it ought to get replaced, and
6 just keep repairing because the cost of new gets
7 too high.

8 MR. BROOKMAN: Diane?

9 DR. JAKOBS: I was thinking that if
14:16:05 10 Energy Efficiency Standards on the AC side are
11 already moving furnaces in the direction of more
12 efficient fans because it's part of the calculation
13 for zero, and that's, that's where the advantage
14 is, so we're, we're already seeing this shift with
14:16:25 15 the rebates and, and, you know, going -- Some, some
16 of our equipment, we have a version in the PSE
17 blower to get 13 SEER.

18 We have the X-13 that brings you up to
19 14 SEER. You know.

14:16:38 20 So, so it's already being pushed in that
21 direction. I don't know, I don't know if this
22 would make any difference.

23 It, it's already kind of moving that

1 way.

2 MR. BROOKMAN: Umm.

3 Bryan, I thought you were going to
4 comment. Any thoughts on how Standards might,
14:16:55 5 might affect shipments?

6 MR. ROCKY: Yeah. Again, Bryan Rocky.

7 I, I'm agreeing with what Diane just
8 said. The driver from a system standpoint AC and
9 heat pump higher SEER, higher HSPN ratings is a
14:17:11 10 significant ten-times multiplier versus the impact
11 of just efficiency of a furnace fan.

12 The reason we're selling more ECM motors
13 and air handlers and furnaces is to meet the '15,
14 '16, '18 zero weatherization programs, tax credits,
14:17:30 15 all the things that the consumers can get money
16 back that offsets the cost of that product.

17 And there is -- Unless there is some
18 incentive for just a furnace fan, there's, this,
19 this part of it is going to be very insignificant
14:17:46 20 to the whole overall market impact.

21 MR. BROOKMAN: Okay, thank you.

22 DR. LEKOV: With that, going to a
23 national impact analysis. The purpose is to assess

1 aggregate impacts at the national level potential
2 energy conservation standards for each of the
3 product classes, and those are presented as net
4 present value of total consumer, consumer economic
14:18:12 5 impacts and the national savings.

6 DOE calculates the annual equipment
7 expenditures by multiplying the price per the unit
8 by the forecasted shipments. Have been explained.

9 The difference between base and standard
14:18:25 10 case gives the national energy bills savings and
11 increased expenditures. The difference each year
12 between energy bill savings and increased equipment
13 expenditures is the net savings or net cost, and
14 this is illustrated in a better way here.

14:18:45 15 So, there's -- This chart is for the
16 national energy savings, and there is a similar one
17 for the net present value. So, DOE determines the
18 shipments from the base case, the base case annual
19 energy consumption for the entire analysis period.

14:19:14 20 Does the same thing for each of the
21 standard cases, develops cumulative values, comes,
22 uses the site to source factor, and arrives at the
23 national energy savings. And this is what you're

1 seeing on the summary page of the DOE's
2 spreadsheet.

3 Similar fashion, the calculation of the
4 nets, net present value, essentially the dollar
14:19:43 5 value of those savings. It's determined for the
6 base case basically to operating costs, which
7 includes the energy cost of operating, savings, and
8 the maintenance installation cost is included in
9 this in both base case and standard case.

14:20:02 10 Separately the product cost is
11 determined. The base case and the standards case,
12 develop the total operating cost.

13 The total cost increase, a discount cost
14 is arrived at; arrived at the net present value of
14:20:22 15 the savings. So, this is just outline of the
16 methodology as used in every single rulemaking the
17 last years.

18 Next point relates to the standard case
19 efficiency distribution. DOE usually uses either
14:20:58 20 roll-up or shift scenarios for estimating the
21 impact of Standards and product efficiency
22 distribution.

23 Roll-up scenario essentially, here are

1 the basic. Assumes that the product efficiency in
2 the base case do not meet the standard level under
3 consideration would roll up to meet the new
4 Standards level, and the levels above the standard
14:21:20 5 level are not going to be affected.

6 In the shift scenario, DOE retains the
7 pattern of the base case efficiency distribution
8 but reorient the distribution at and above the new
9 minimum Energy Conservation Standard, which means
14:21:38 10 that essentially everything below the Standard is
11 distributed at the Standard and above.

12 And for this rule for the next case DOE
13 will evaluate whether one of these approaches is
14 more reasonable for furnace fan, or whether it, it
14:21:56 15 would be preferable to use both scenario as a
16 combination of those in the calculation of the
17 national impacts.

18 And DOE seeks comment on the appropriate
19 assumptions to use regarding long-run changes in
14:22:16 20 furnace fan energy efficiency independent of the
21 standards, and DOE seeks comment on, on the use of
22 roll-up and shift scenarios.

23 MR. BROOKMAN: What about roll-up and

1 shift?

2 Yeah, Diane.

3 Or, Frank first.

4 DR. JAKOBS: Frank first.

14:22:39 5 MR. BROOKMAN: Yeah.

6 MR. STANONIK: Well, this is -- It's a
7 bit of a strange circumstance, I mean, because in,
8 in, in terms of what we know today as far as
9 furnace fans, you either have the traditional motor
14:22:56 10 or you have the, the brushless magnet. I mean,
11 that's it.

12 I mean, those are the two things that
13 are the biggest factors in how much electric energy
14 your furnace fan uses. And so I'm -- Unless this
14:23:14 15 analysis or, or technology evolves and DOE finds
16 some other variations, if, if you're stuck with
17 basically the, the, the, let's call them the two
18 options, then the only thing that makes sense is
19 roll-up.

14:23:29 20 There is no shift. You know, if, if we
21 stay -- If this is kind of where we end up or where
22 things stay, then if there's a subsequent
23 Regulation, then it's only going to be a roll-up.

1 I mean, there isn't anything else. So,
2 I mean, you know, this is certainly the framework
3 DOE has used for a lot of analyses, but at least
4 in, in my experience this is the first time we're
14:23:51 5 trying to analyze the component and not the
6 finished product.

7 It's a little weird.

8 DR. JAKOBS: I just --

9 MR. BROOKMAN: Diane?

14:24:01 10 DR. JAKOBS: Sorry. The -- A couple
11 weeks ago one of the, the guys from the lab, he
12 came up and, and the gas utilities in our area,
13 they had a little brochure and they talked about
14 how electrical energy is really only 30-percent
14:24:19 15 efficient when you consider -- I mean, they were
16 talking about source efficiency versus site, you
17 know.

18 And if there was an awareness of that, I
19 think that it would become more important. People
14:24:34 20 seem to be more aware of energy efficiency, and if
21 they understood it maybe a little better -- But I
22 agree with, with Frank that it, it, it's a matter
23 of just rolling up.

1 It's a funny thing of, you know, you can
2 have a hundred-percent AUFÉ resistance for it, you
3 know.

4 MR. BROOKMAN: Okay. Other comments on
14:25:02 5 these two issue boxes?

6 DR. LEKOV: DOE also usually looks at
7 life-cycle costs of group impacts, and here is the
8 core of such analysis, to analyze the economic
9 impacts of Standards on consumers, including some
14:25:32 10 subgroups who may be disproportionately impacted
11 compared with the general population, such as
12 low-income or senior citizens usually.

13 (Whereupon, at 2:25 p.m. ET, Msrs. Burt
14 and Bacchus left the room, after which the
14:25:42 15 following occurred:)

16 DR. LEKOV: And the method is, basically
17 extends analysis in order to specifically examine
18 those defined subgroups, and uses input specific to
19 each of the considered consumer subgroups. So, any
14:26:01 20 comments on which, if any consumer subgroup,
21 subgroup should be considered for when developing
22 Standards for furnace fan?

23 MR. BROOKMAN: And you can see a couple

1 of them that are noted, low-income consumer, senior
2 citizens as possible examples.

3 Terry.

4 MR. SMALL: I hate to, to push the
14:26:31 5 manufactured housing thing too much, but, you know,
6 the, the, the stratum of people that are, that are
7 in the low-income, low-cost housing such as
8 manufactured housing have some special challenges
9 and they want efficient systems. They want
14:26:49 10 inexpensive operating costs.

11 They need it probably really more than
12 most. But sometimes the up-front cost of putting
13 in advanced systems, advanced motors, ECM motors
14 and all that, particularly tough on people, say,
14:27:07 15 that would live in, in a manufactured home.

16 And I don't know whether in the
17 procedure you do in your economic analysis maybe
18 you could consider that group as a subgroup in
19 terms of looking at the economics of, you know,
14:27:23 20 the, the, the rulemaking you're proceeding with.

21 MR. BROOKMAN: Okay.

22 DR. LEKOV: Okay. So, you correct me if
23 you want.

1 So, we are -- You are recommending for
2 the manufactured home to create a separate product,
3 --

4 MR. SMALL: Well, I think --

14:27:43 5 DR. LEKOV: -- separate evaluation of
6 the population types?

7 MR. SMALL: I think if you'll look at
8 the housing types, normally manufactured housing is
9 your least expensive per square foot housing in the
14:27:56 10 U.S., and so it tends to cater to people that, you
11 know, that, that can least afford housing. And so
12 in, in a manufactured home is a heater, a furnace,
13 maybe an air-conditioner.

14 So, a lot of times I think that the cost
14:28:16 15 of these things relative to somebody at that level
16 of housing is, is overlooked.

17 MR. BROOKMAN: Thank you.

18 Diane.

19 DR. LEKOV: Probably one sentence. RECS
14:28:29 20 actually provides the means of household income,
21 and also provides information whether the home is a
22 manufactured home.

23 So, this is --

1 MR. SMALL: This is the RECS, the RECS
2 data?

3 DR. LEKOV: Two-thousand-five. So, this
4 will allow to extract this information.

14:28:49 5 MR. SMALL: You know, and I've talked
6 about this product class. I think it's very
7 important here that just one size does not fit all.

8 You have some different product classes
9 that some of these product classes are aimed at a
14:29:01 10 different economic group, and the, the installation
11 costs are different. The distribution is
12 different.

13 Everything is different. Everything is
14 aimed at value and, and, you know, inexpensive
14:29:16 15 where possible.

16 And, you know, if the economics of that
17 aren't paid attention to, then this subgroup would
18 be effected.

19 (Whereupon, at 2:29 p.m. ET, Ms.
14:29:23 20 Armstrong and Mr. Stas conferred, out of the
21 hearing of others and off the Record, during which
22 the following occurred:)

23 MR. BROOKMAN: Bryan.

1 MR. ROCKY: Yeah, Bryan Rocky.

2 I would just add to that, to what Terry
3 said, because I'm really cautious going back to the
4 RECS data from 2005 or earlier, based on the
14:29:39 5 tremendous change in the housing market the last
6 few years with the, the bubbles, everything else
7 that have collapsed.

8 But, manufactured housing in particular
9 is a vastly different market today than it was even
14:29:53 10 in 2005, as far as new-home construction versus
11 replacement. Go back and look at the numbers that
12 were available from, like, Manufactured Housing
13 Institute.

14 Currently, 2010, there will only be
14:30:09 15 something like 42- or 45,000 new homes built in
16 North America, versus even five years ago it might
17 have been 120,000 homes. And it definitely drives
18 the economic point, as Terry was making, that in
19 that market segment they are not buying new
14:30:27 20 products.

21 They are replace -- Not replacing. They
22 are repairing.

23 And they are not replacing with higher

1 efficient product unless they absolutely have to.

2 MR. BROOKMAN: And did the manufactured
3 housing sector, does it pick up that difference, or
4 is that, do you not know?

14:30:42 5 MR. ROCKY: I'm sorry. As pick up the
6 difference, Doug, in what?

7 MR. BROOKMAN: The decline in housing
8 starts.

9 MR. ROCKY: The decline in housing
14:30:50 10 starts is, is -- They're not selling the product.

11 MR. BROOKMAN: Okay.

12 MR. ROCKY: People -- Home -- Homeowners
13 are not replacing mobile homes or manufactured
14 homes. They're repairing older products.

14:31:00 15 MR. BROOKMAN: I got you.

16 MR. ROCKY: And they're repairing older
17 equipment in those products.

18 MR. BROOKMAN: Okay, thank you.

19 MR. ROCKY: Even with tax credits and
14:31:08 20 everything else that are available.

21 MR. BROOKMAN: I've got you.

22 Go ahead, Terry.

23 MR. SMALL: Go ahead, Frank.

1 MR. STANONIK: No, no. I'll fish it
2 out.

3 MR. SMALL: Well, what I was going to
4 say, unfortunately I didn't come up to the furnace
14:31:23 5 NOPR, I guess a month or two ago, but I notice just
6 in looking back in the history of the, what is it,
7 the, the TSLs, I guess that a good example is
8 there's a proposal to maybe carry in the northern
9 region of the United States the minimum furnace
14:31:40 10 efficiency to 90 percent of condensing furnace.

11 And I'm assuming that if that is to be
12 the final rulemaking, that would mean that you
13 could be living in a \$10,000 mobile home that had
14 a, you know, a 20-year-old mobile home that had a,
14:31:59 15 a 20-year-old 75-percent AUFU furnace, and you'd be
16 forced to putting, installing a condensing furnace
17 which could end up costing you, you know, a-third
18 of the cost of the home, or the value of the home;
19 you know, two-, \$3,000, because you're going to
14:32:18 20 have to change the venting.

21 You've got to do something with the
22 condensate, which may have some little acidity in
23 it. And these people are, at this level, I think

1 it just isn't going to happen.

2 So, what are they going to do as an
3 alternative? Probably go out to WalMart and buy
4 some floor furnaces or, or portable furnaces or,
14:32:45 5 you know.

6 In other words, the country is going to
7 save nothing in terms of, of, of energy, and it may
8 even create some safety situations. So, I -- The
9 point I'm making is I think that something like
14:32:58 10 manufactured housing is its own product class and,
11 you know, somebody needs to carefully look at the
12 true installation cost, as Bryan said, of going
13 back.

14 People are not going to buy a new mobile
14:33:12 15 home if they have to buy a new furnace. I'm not
16 sure it's justified to make them buy the most
17 advanced technology to include this fan furnace
18 and, and ECM motor, et cetera.

19 MR. BROOKMAN: Eric Stas.

14:33:27 20 Thank you.

21 MR. STAS: Eric Stas, DOE.

22 Just try to clear up a little here.
23 While it's appropriate under EPCA to analyze the

1 different consumer subgroup impacts when we are
2 setting product classes, it's not based on, on
3 economics. It's based on the criteria in 6295 such
4 as that the product consumes a different type of
14:33:50 5 energy not consumed by other covered products
6 within the type or class, or has the capacity or
7 performance-related feature to distinguish the
8 product classes.

9 This, this type of thing with who the
14:34:03 10 consumer is, and their, their economic situation is
11 maybe considered in how to set the overall levels,
12 but not product classes based on that use basis.

13 MR. BROOKMAN: Charlie.

14 MR. STEPHENS: Charlie Stephens again.
14:34:19 15 I've got about 20 years of history
16 working with a mobile home/manufactured home
17 manufacturers out where we are, four states plus
18 California markets, but nobody buys furnaces
19 better, cheaper. Has anybody ever seen the Invoice
14:34:36 20 on a, on a furnace for a manufactured home?

21 (Whereupon, no response was had.)

22 MR. STEPHENS: I have. You'd be shocked
23 at how cheap they are.

1 Most of them come with electric
2 forced-air furnaces. Most of them do not have
3 fossil furnaces because most of them are rural and
4 all they have is electricity or, or propane.

14:34:53 5 Some of them do have propane furnaces,
6 that's true, but most of them do come with electric
7 forced-air furnaces. That's absolutely the
8 cheapest thing you can put in to heat it.

9 You can put a heat pump to some of them.
14:35:09 10 However, they are more like -- They actually meet
11 or exceed building codes.

12 They're two-by-sixes, 21R, 35R home.
13 You know, these are good homes.

14 They're still making quite a few of
14:35:21 15 them. They're not trailers.

16 They're a double-wide 1,300-square-foot
17 building that is quite energy efficient to start
18 with. HUD regulates those, and they're already a
19 separate class.

14:35:32 20 The furnaces in there, the mobile-home
21 furnaces are already a separate class and a
22 separately selected product under NAICA. So, they
23 probably would bear looking at as a separate class

1 here as well.

2 But, I -- Again, I think what we regard
3 where we are, low-income and seniors who are, who
4 live in manufactured homes are a subset of
14:35:54 5 low-income and seniors. So, they are large -- They
6 are significantly occupied by low-income and senior
7 people.

8 But, there are other people in those
9 categories up there that don't live in manufactured
14:36:05 10 homes, but I think those are appropriate categories
11 of consumer subgroups. Some of them live in
12 manufactured homes, and those may be considered a
13 separate class.

14 They are already a separate class for
14:36:21 15 regulation. So, I don't know how this rulemaking
16 will look at them, but if it's similar to the
17 furnace rulemaking, then they will be a separate
18 class.

19 MR. BROOKMAN: I see. Okay, thank you.

14:36:31 20 Additional comments?

21 (Whereupon, no response was had.)

22 MR. BROOKMAN: Okay.

23 DR. LEKOV: To Rob Carmichael.

1 MANUFACTURER IMPACT ANALYSIS:

2 MR. CARMICHAEL: Good afternoon. My
3 name's Rob Carmichael.

4 I'm with Navigant Consulting, and I'm
14:36:57 5 going to take us over the, the manufacturing impact
6 analysis and the methodology for that.

7 Just real briefly, the, the purpose of
8 the manufacturer impact analysis, or the MIA, is to
9 really cover three broad, broad topics.

14:37:10 10 (Whereupon, at 2:37 p.m., Mr. Wagner and
11 Dr. Jakobs conferred, out of the hearing of others
12 and off the Record, during which the following
13 occurred:)

14 MR. CARMICHAEL: The purpose is to
14:37:15 15 assess the impacts of new energy standards on
16 manufacturers of, of these products that, that,
17 that we're covering here. We do that both
18 qualitatively and quantitatively.

19 Second purpose is to identify and
14:37:28 20 estimate the impacts on any subgroups of
21 manufacturers that may be differently or, or more
22 adversely affected than the industry as a whole.

23 And then lastly -- I'll talk about this

1 a little bit later, but we're trying to look at the
2 cumulative regulatory burden. So, what other
3 Regulations are manufacturers of this, these
4 products subject to?

14:37:47 5 And we try to take into account the
6 consequences of those Regulations.

7 There are two -- Moving to, to
8 methodology, there are two main tools, primary
9 tools that DOE uses in conducting the MIA. The
14:37:59 10 first is the Government Regulatory Impact Model, or
11 the GRIM.

12 It's a (sic) industry cash flow model,
13 so what it does basically is project cash flows out
14 through the entire analysis period and discount
14:38:15 15 those back to the present value, both in the base
16 case and in the standards case, and come up with a,
17 a change or a (sic) impact to the industry.

18 The second major tool there are the
19 interviews that we, that we conduct with the
14:38:28 20 manufacturers themselves. We use these to refine
21 those inputs that are going into the cash-flow
22 model, and use those and, to identify and to
23 develop any subgroup analyses.

1 So, for instance, small-business
2 manufacturers, perhaps. And, and to address other
3 qualitative issues such as the impact on
4 competition in the marketplace, manufacturing
14:38:50 5 capacity, and employment.

6 And then obviously the key output of the
7 Manufacturing Impact Analysis is the change in
8 industry net present value. And then we'll also
9 come up with the change in, in net present value as
14:39:09 10 it relates to a particular subgroup that we, that
11 we choose to analyze, and then the employment
12 impacts and the impact on capacity that I mentioned
13 for some other more qualitative outputs that come
14 from this analysis.

14:39:21 15 So, down into, a little deeper into the
16 methodology, the MIA consists of three phases. In
17 the first phase we'll create a (sic) industry
18 profile, and this builds for market and technology
19 assessment, takes what we've learned here today
14:39:36 20 and, and what we've learned and, from your
21 comments, and, and tries to, to build a market
22 characterization of the what the manufacturers are
23 facing in the marketplace.

1 Then the next, the next stage, when we
2 move on to the Phase 2, is build just a straw man
3 GRIM. So we're going to take, like, the
4 engineering.

14:39:58 5 We'll take the manufacturing costs that
6 manufacturers are facing, as well as the shipment
7 analysis, take the annual shipments, and throw them
8 into the straw man GRIM to get a general
9 understanding of, of how, of what sort of impacts
14:40:13 10 the manufacturers will be facing.

11 And that helps us move on to that next
12 box there, develop the energy guide which we use to
13 guide, obviously, the interview with, with
14 manufacturers which begin in Phase 3. And so
14:40:27 15 we'll, we'll conduct those interviews and use those
16 to refine the, our initial analysis our straw man
17 GRIM and come up with more precise, more precise
18 inputs than some people may have outputs than from
19 the government model.

14:40:47 20 And then lastly, after those discussions
21 and further research using mostly publicly
22 available information, so, industry reports, SEC
23 10Ks, manufacturer Annual Reports, we'll be able to

1 we have listed are the Energy Conservation Standard
2 Rule on furnaces and boilers, and the Energy
3 Conservation Standards for central, CAC and, and
4 heat pumps.

14:42:33 5 DOE welcomes comment on any others that
6 DOE should consider.

7 MR. BROOKMAN: Karim.

8 DR. AMRANE: Karim Amrane, AHRI.

9 Well, there are several others that DOE
14:42:45 10 is currently doing, like the standby power
11 rulemaking on both the furnaces and, and central
12 AC, or the test procedure on central AC air
13 conditioners. And, yeah, so those are a few.

14 But, but, again, you need to look also
14:43:06 15 at what's going on at EPA; what's going on in
16 legislation. For example, like, they going to be
17 impact on industry not related to furnaces but
18 related to, for example, refrigerant that may
19 impact, that will impact manufacturers of furnaces.

14:43:24 20 MR. BROOKMAN: Thank you.

21 Diane?

22 DR. JAKOBS: Rheem as an individual
23 company. We make water heaters, too, so we're

1 affected by that.

2 Also there's emissions requirements in
3 California on furnaces. We were going to be
4 affected on that.

14:43:39 5 MR. BROOKMAN: Okay. Okay.

6 Bryan.

7 MR. ROCKY: Yeah, Bryan Rocky again.

8 You're talking about several things.

9 Since the manufacturers of most residential
14:43:47 10 furnaces, central air conditioners, also make
11 commercial products, there is a, a regulatory
12 burden of the addition of all the commercial
13 product Regulations that are coming onto this.

14 Karim said, you know, EPA. So, Energy
14:44:02 15 Star changes, has an impact on us.

16 The proposed Home Star legislation will
17 have an impact on us as builders. There are other
18 efforts in Canada that are continuing to go.

19 Refrigeration, refrigerants is an
14:44:20 20 obvious one of these two. The AC and heat pump
21 criteria changes will be the most impactful.

22 That will be the thing that will drive
23 an indoor site air handler or furnace will be more

1 than anything else. Low NOx emissions;
2 weatherization programs; utility requirements.

3 I mean, there's just so much going on.
4 Building Code changes like Title 24 in California
14:44:46 5 that are now spreading to other parts of the
6 country where it's not just the efficiency as we've
7 talked about in a test condition, but as verified
8 performance in the application itself will change,
9 could change how manufacturers design furnaces, air
14:45:02 10 handlers, air conditioners.

11 So, the, the accumulation of all this
12 makes it a really interesting time to be a
13 manufacturer.

14 MR. BROOKMAN: Karim.

14:45:12 15 DR. AMRANE: Karim Amrane, AHRI again.

16 Well, in the past, DOE has always asked
17 the question. DOE has always looked maybe how deep
18 that you look at the regulatory burden.

19 But, I'm, I'm, I'm here at DOE almost
14:45:27 20 every week now. So, there are rulemakings all the
21 time.

22 And that is just at the federal level.
23 They are also, you know, like Bryan mentioned, at

1 mostly as avoided capacity, utilities capacity,
2 like in gigawatts. And this is what DOE plans to
3 present.

4 MR. BROOKMAN: Comments on utilities
14:47:15 5 impact analysis? Anything additional to what Alex
6 has just described?

7 (Whereupon, no response was had.)

8 DR. LEKOV: There is another, I would
9 characterize standard type of analysis DOE does
14:47:28 10 which is employment impact. Just to bring here the
11 topic that's focused on indirect employment.

12 In fact, Rob just mentioned about the
13 direct employment factor which is on the
14 manufacturer. This is overall on the nation.

14:47:51 15 It -- Essentially it's look of a
16 potential of how the savings, the consumer will
17 have expenditures will be used for other equipment
18 and, and energy costs. And the method to be used
19 is standard methodology used in the different
14:48:15 20 branches of the federal government called ImSET
21 model.

22 And DOE seeks comment on this approach
23 of assessing potential employment impacts.

1 MR. BROOKMAN: Bryan.

2 MR. ROCKY: Yeah.

3 Alex, I think the, the process and the
4 approach is just fine. Unfortunately, the, the
14:48:36 5 direct impact of all this is we're talking of
6 something that is in the neighborhood of two to
7 four percent of the total energy usage of these
8 appliances, and as far as changing consumer use, or
9 impacts on the, a consumer, this will have almost
14:48:58 10 zero impact, this whole process, this whole study.

11 We're in a situation where reality is
12 for most homeowners these days they spend more
13 money on cell phone bills than they do on heating
14 and air conditioning in their homes. And if we're
14:49:12 15 talking about a change that might be a two- to
16 three-percent savings in total energy use by an
17 HVAC system, it's insignificant, versus additional
18 cell phone or plasma TVs are, or all these other
19 things impact the house.

14:49:28 20 Your methodology is fine.

21 MR. BROOKMAN: Okay.

22 MR. ROCKY: I think the results are
23 going to be very disappointing.

1 MR. BROOKMAN: Thank you.

2 Okay.

3 DR. LEKOV: Environmental impact: So,
4 DOE would report environmental impacts resulting
14:49:44 5 from standards, including changes in power plant
6 emissions and the way it's going to be done is very
7 similar to what just described for the utilities
8 analysis, basically comparing a base case versus a
9 standard case.

14:50:04 10 The result is an estimate of national
11 emission reduction of CO2 and NOx and mercury.
12 Important component of it, relatively new for
13 industry partners, is essentially the monetization
14 of these emissions, those that have been presented
14:50:31 15 during the several rulemakings this year.

16 In summary, for this particular product
17 DOE plans to use the most current social cost of
18 carbon values developed by interagency reviews.
19 This is -- The methodology and the values used by
14:50:48 20 DOE are developed outside of DOE.

21 So, those values will be used to assign
22 a, a monetary value, the green, potential green
23 card house gas emissions, including but not limited

1 split system. And, and, and you estimate the
2 energy consumption of those fans, but again, the,
3 the zero rating on the cooling side will account
4 for, for the energy transfer fan as well.

14:52:38 5 So, now we are going to account for the
6 CO2 emission that, that, that either the air
7 conditioners will emit or will contribute, and at
8 the same time it will double-, it will double-count
9 the, the CO2 emission that the fan itself is, is
14:52:52 10 accounting for.

11 So, I think DOE has to be very careful
12 here, because, as I said, you are mixing something
13 that is already accounted for in a SEER calculation
14 or HSPF contemplation with this, with this new
14:53:06 15 energy, you know, thing, energy efficiency standard
16 that you're trying to, to develop here.

17 So, I think you need to account to, to,
18 to, to make sure that you're not double-counting
19 here.

14:53:20 20 MR. BROOKMAN: Okay.

21 Any other comments, particularly on the,
22 what they list here as cost of carbon, for example?

23 (Whereupon, no response was had.)

1 MR. BROOKMAN: No additional comments on
2 that? Okay.

3 DR. LEKOV: And DOE also performs
4 regulatory impact analyses, which essentially
14:53:51 5 investigate the national impacts of nonregulatory
6 alternatives compared with mandatory efficiency
7 standards. And usually this is the least of the
8 policies that, nonregulatory alternatives that DOE
9 analyzes.

14:54:11 10 I'll read them. Consumer rebates,
11 consumer tax credits, manufacturer tax credits,
12 voluntary efficiency targets, earlier replacement,
13 and bulk government procurement.

14 Usually DOE develops a separate national
14:54:28 15 impact analysis spreadsheet model for these
16 policies, and estimate those based on existing
17 experience with such policies. And output is very
18 similar to the output from the national standard.

19 You'll see a saving from the policy, and
14:54:51 20 you'll see net present values. In the case of, of
21 furnace fans there are some incentives out there
22 that are driving the market to a large extent, so
23 this is here as appropriate place to assess the

1 history of those incentives and how they
2 potentially could be considered.

3 So, welcome comments on what the
4 existing Regulations or pending Regulations should
14:55:27 5 consider in its examination of cumulative -- Oh,
6 this is the correct one.

7 DR. AMRANE: We were only going to
8 answer it, it once.

9 DR. LEKOV: Or --

14:55:38 10 MR. BROOKMAN: They're still paying
11 attention, we've proven.

12 MR. ROCKY: This is Bryan Rocky.

13 I cannot overemphasize enough on the tax
14 credits on the product mix that our industry's had
14:55:50 15 for the last two years. And while ECM motors and
16 blower assemblies have been part of both
17 manufacturer rebate levels as well as tax credits
18 and utilities rebates, the vast majority of this is
19 being driven by the zero HSPF and AUFEE connection
14:56:13 20 as far as the tax credits for these rebates.

21 And depending upon -- Without speaking
22 for the rest of the manufacturers, depending on the
23 product category from 2008 to 2010, those

1 high-efficiency products for us might have grown
2 anywhere from 200 to 500 percent of the volume in
3 two, that we built in those products in 2008.

4 MR. BROOKMAN: Wow.

14:56:38 5 MR. ROCKY: That's a tremendous shift
6 for us as a manufacturer. It's been a great value
7 for the customers that have bought our products,
8 and it has changed our business model going
9 forward.

14:56:51 10 MR. BROOKMAN: Wow.

11 MR. ROCKY: It is, it is the reality of
12 it. And I think there will be a tremendous lag in
13 our industry from the consumers if we don't
14 continue as a nation to have more stimulus-type
14:57:04 15 packages and more consumer rebates and tax credits,
16 because our customers are getting used to now
17 having those available.

18 MR. BROOKMAN: Like the automobile
19 industry, for example.

14:57:14 20 Karim.

21 DR. AMRANE: Karim Amrane, AHRI.

22 Based on just what Bryan said, you don't
23 need the rulemaking at all. Stop it.

1 Tax incentives should be what we, what
2 the Government should do.

3 MR. ROCKY: Yeah. I wasn't really
4 actually trying to say that, but in the reality is
14:57:33 5 I would be all for a 95-percent AUFEE motor Standard
6 for the -- Because we would make a whole lot more
7 money and sell product that our customers would be
8 happier with in all these variations, and be more
9 comfortable with.

14:57:48 10 Now, the cost of doing that, most
11 homeowners will not enjoy that part of it. But, if
12 they get tax credits, if they get utilities
13 rebates, they get weatherization project money from
14 their state and local governments, hey, it's free.

14:58:04 15 I'll buy this stuff. But we're all
16 paying for that somehow.

17 MR. BROOKMAN: Yeah. Okay. Thank you.

18 Thank you, Alex.

19 NEXT STEPS AND CLOSING REMARKS FROM INTERESTED
14:58:12 20 PARTIES

21 Lets put up the, the final comment
22 slide. And while he's doing that, now is an
23 opportunity for anybody that wants to to make final

1 comments surrounding other issues that they wish to
2 raise, or questions.

3 Molly.

4 MS. TROMBLEY-McCANN: Molly

14:58:26 5 Trombley-McCann.

6 I actually have more of a process
7 question, so maybe, Mohammed, this might be to you.

8 But, in the slides it showed you going
9 directly from the framework to the number stage.

14:58:36 10 I'm wondering if, for the Standards rulemaking at
11 least, there's going to be preliminary technical
12 support documents released, and if you plan on
13 having any hearing time period for those documents.

14 MR. KHAN: No different from the other
14:58:53 15 analyses that we do in our rulemaking goes. There
16 would -- There will be technical support documents
17 and everything provided.

18 And, you know, after the NOPR's
19 published we'll also have another public Hearing.

14:59:04 20 MR. BROOKMAN: Yeah. Let me -- While
21 individuals in the room are formulating their
22 comments, let me hand out this evaluation form.

23 It takes about 30 seconds. The

1 Department reads them carefully.

2 They like to receive feedback on these
3 meetings, so, as I said, now is an opportunity for
4 anybody that wishes to do so to make additional

14:59:37 5 comments, summary comments.

6 Frank?

7 MR. STANONIK: Frank Stanonik with AHRI.

8 This particular rulemaking, I think it
9 is critically important that perspective be

14:59:56 10 constantly maintained on this issue. We're talking
11 about furnace fans.

12 We're talking a lot, as Bryan mentioned,
13 that from, from the worst to the best, at least as
14 measured by DOE test procedures, that it's only,

15:00:12 15 that consumption is anywhere between four percent
16 to something maybe a little less than two percent.

17 And, and we've also made some comments
18 that there's a potential to add a significant
19 testing burden if you get carried away with this.

15:00:27 20 And, and so I, I think, again, it, somehow DOE and,
21 and the, and their contractors need to keep this in
22 perspective as far as what they're regulating and
23 what it means to the overall picture of the, the,

1 let's say the overall consumption of the furnace,
2 or in the case of, as we've said with the, with the
3 heat pumps and air conditioners really shouldn't be
4 applied because it's already been accounted for.

15:00:58 5 And so I just think that, that that's
6 really critical in this situation.

7 MR. BROOKMAN: Okay, thank you.

8 Diane.

9 DR. JAKOBS: Just to add onto what Frank
15:01:07 10 just said, we all have airflow data, but it's
11 provided to our customers for their design of the,
12 the complete system. If, if it was going to be
13 data that had to be certified, typically for us, we
14 do one sample.

15:01:26 15 But, if it was going to be certified to
16 a certain confidence level, we would want two
17 samples, three samples. And that would be a big
18 burden to go back and, and take our existing stack
19 of, you know, our offering, and go back and get
15:01:44 20 additional airflow data.

21 MR. BROOKMAN: Okay.

22 Karim.

23 DR. AMRANE: Karim Amrane, AMRI again.

1 This is an excellent point that Diane's
2 bringing. You know, there is this new enforcement
3 of DOE.

4 DOE is now thinking of, for example,
15:02:01 5 mandating educational programs. If this -- When
6 this will be completed, manufacturers will have to
7 certify their ratings.

8 And that's going to be additional test
9 burden on manufacturers that DOE eventually will
15:02:15 10 have to, to assess. So, all this, we were talking
11 about rulemaking and rulemakings.

12 And we are complicated test procedures
13 involved in AC test procedures and everything else.
14 And that has an impact on the manufacturers.

15:02:29 15 So, I hope that when you do these
16 analyses, that you will account for all this,
17 because it will show the way this industry, the way
18 we are going probably is going to go bankrupt in
19 the next 20 years just on the burden what have the
15:02:44 20 Federal Government is putting on manufacturers to
21 test and to certify and to verify and everything
22 else.

23 MR. BROOKMAN: Okay, thank you.

1 Bryan.

2 MR. ROCKY: Yeah, Bryan Rocky.

3 Just as a last comment, I guess

4 complexity of certified data gets to be a real
15:02:58 5 interesting discussion that in the case where we
6 haven't had certified data before, and that always
7 brings a question, and I guess I would comment,
8 offer the last comment of appreciating the, the
9 opportunity to be here to, to give comments, and we
15:03:13 10 will be providing written comments as well.

11 But, the discussion with, with Charles,
12 among other things, the speculation I think from a
13 lot of groups is going to come out that this is not
14 going to be something that's just a laboratory
15:03:24 15 comparison; that this might read, lead to a (sic)
16 efficiency rating value that will directly
17 correlate to something consumers would be able to
18 use and say, "This is how much electricity my HVAC
19 system is going to use."

15:03:43 20 And that, that is not this direction. I
21 mean, it -- We're talking back to EPA
22 miles-per-gallon in standard situations.

23 I'm really concerned that where we're

1 going with this process, where DOE wants to take it
2 is not going to lead us to a realistic test method
3 or procedure that is good for comparing products
4 from one manufacturer, one application to another,
15:04:04 5 but rather leads us towards something that we're
6 not ready for yet, which is an applied energy
7 descriptor that accounts for the vast variations in
8 applications of homeowner styles and usage and
9 maintenance and all these other things we've talked
15:04:22 10 about.

11 MR. BROOKMAN: Okay, thanks.

12 Yes, Diane.

13 DR. JAKOBS: Well, the, the other side
14 of a taking into account all those things is to
15:04:32 15 ignore them, you know, and maybe just having a, a
16 standard rating point and a setup where you're
17 comparing the same thing across products, and, you
18 know, forget about trying to account for everything
19 that happens in the installation.

15:04:51 20 That, that might be really more
21 effective.

22 MR. BROOKMAN: Molly.

23 MR. TROMBLEY-McCANN: Molly

1 Trombley-McCann.

2 This is actually another question, but
3 I'm not as familiar with the case where there has
4 not been Standards previous. And so I'm wondering,
15:05:06 5 for something that hasn't had a test procedure
6 previous to this point, -- Our only new products
7 that are introduced to the market required to be
8 tested or are all products that are on the market.
9 -- do manufacturers have to go back and test them
15:05:21 10 manually?

11 MR. KHAN: Mohammed KHAN, DOE.

12 It would apply to products that were
13 manufactured after the compliance date.

14 DR. JAKOBS: Manufactured, not designed;
15:05:30 15 right?

16 MS. ARMSTRONG: Well, and she's got it
17 right.

18 MR. KHAN: Manufactured. Yeah

19 MS. ARMSTRONG: Yeah.

15:05:41 20 MR. BROOKMAN: Okay. So, then thanks
21 for these, this last round of comments.

22 From my perspective, I'll turn it back
23 to Mohammed KHAN. I really appreciate the level

1 and depth of the exchange.

2 I think the Department got a lot of
3 useful information. Thanks to all of you for that.

4 Mohammed.

15:05:57 5 MR. KHAN: Thanks, Doug.

6 Doug is right. We received a lot of
7 very useful information and comments here today,
8 and I want to thank you for that.

9 And appreciation is doubled because,
15:06:09 10 like I said at the onset this morning, this is the
11 first time the Department of Energy has embarked on
12 rulemaking for a, a product that, well, which is
13 basically, I guess, a sub-, sub-, subcomponent of
14 a, of a, of a current product that's covered
15:06:29 15 already.

16 So, it's important to, to get your
17 information up front, and thoughts and suggestions
18 on that. We covered a lot.

19 We talked about -- We've got the
15:06:42 20 responses to the questions that we raised in our
21 call-out boxes, and I think we also got some
22 information, or touched on some points that were
23 outside of the things that we are looking at.

1 And, for example, I think one of the
2 ones that came up that I remember right off the bat
3 was how long, or what the duration of the fan
4 motors are actually operating at. And I think
15:07:08 5 someone here earlier mentioned that in the case of
6 the newer homes that are being built, because
7 they're more tightly built, homeowners are using
8 these fans more liberally and making them, or
9 allowing them to run without any cooling or heating
15:07:25 10 function going on as well.

11 So, in providing us data and
12 information, you know, things that we talked about
13 in the call-out boxes in particular, we're looking
14 to get -- And if there's information that's also
15:07:39 15 relevant that aren't specifically addressed or
16 called out in the, in the presentation, that's also
17 going to be welcome.

18 And, again, just to make clear, comment
19 period closes July sixth. And these are the ways
15:07:54 20 that, that you can send them to us.

21 And again, thank you for your time
22 today.

23 MR. BROOKMAN: Safe travels.

1 (Whereupon, at 3:08 p.m. ET, the above
2 Hearing was concluded.)

3 The foregoing ASCII transcript
4 has been edited and was, at
5 the time of delivery, a
6 certifiable Transcript of the
7 proceedings, barring any
8 post-delivery edits.

9 CERTIFICATION

10 I, D. I. Bunn, a Registered
11 Professional Reporter, Certified Conference
12 Reporter, and Notary Public, do hereby certify that
13 the foregoing testimony was duly taken and reduced
14 to writing before me at the place and time therein
15 mentioned. I further certify that I am neither
16 related to any of the parties by blood or marriage,
17 nor do I have any interest in the outcome of the
18 above matter.

19 In witness whereof, I have hereunto set
20 my hand and affixed my official seal, at

21

22

23

1 Washington, D.C., USA, this 20th day of June, 2010.

2

E-signature: D. I. Bunn

3

Notary Public

4

5 My Commission expires January 5, 2012.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23