

UNITED STATES OF AMERICA

DEPARTMENT OF ENERGY

**PUBLIC MEETING ON TEST PROCEDURES FOR
PLUMBING PRODUCTS**

U.S. Department of Energy
1000 Independence Ave., SW
Washington, D.C. 20585
Room 8E-089 Review Center

Tuesday
July 24, 2012

Facilitator:

Doug Brookman
Public Solutions
Baltimore, MD

Participants Identified:

Stephanie Salmon
Plumbing Manufacturers International

Kristine Heine
Kohler Company

Ed Osann
Natural Resources Defense Council

Karen Hobbs
Natural Resources Defense Council

Joanna Mauer
Appliance Standards Awareness Project

Webinar Participants:

Shabbir Rawalpindiwala
Kohler Company

Shawn Martin
International Code Council

Daniel Gliberman
Sloane Valve Company

Heidi Havenstein
Energy Solutions

Larry Himmelbloud
Chicago

Len Swatkowski
Plumbing Manufacturers International

Mary Ann Dickinson
Alliance for Water Efficiency

Chris Menduza

Christina Haduc

Jeff Baldwin

Maryanna Nicole

Michael Woodford

Participants from DOE:

Lucas Adin

Ashley Armstrong

Laura Barhydt

Jennifer Tiedeman

Joshua Cocciardi

DOE Contractors Present:

Jennifer Williamson
Pacific Northwest National Laboratory

Kate McMordie
Pacific Northwest National Laboratory

Presenters

Lucas Adin

Jennifer Williamson

Kate McMordie

AGENDA

<u>ITEM</u>	<u>PAGE</u>
Welcome, Doug Brookman	5
Welcome for DOE, Mr. Adin	5
Introductions	6
Agenda Review, Doug Brookman	7
Opening Statements	11
Regulatory History, Mr. Adin	12
Scope, Mr. Adin	16
Rulemaking Overview, Mr. Adin	28
Proposed Changes in Test Procedures Ms. Williamson	20
Proposals Regarding Dual Flush Toilets, Commercial Prerinse Spray Valves, And Showerhead Flow Controls Ms. McMordie	31
Proposed Changes to Product Definitions Ms. McMordie	49
Proposals Regarding Basic Models and Statistical Sampling, Mr. Adin	58
NOPR Analysis, Ms. Williamson	69
Closing Remarks	70
Next Steps and Closing Remarks Mr. Adin and Mr. Brookman	74

P R O C E E D I N G S

1
2 MR. BROOKMAN: Okay, let's start. Good
3 morning everyone and welcome. This is the U.S.
4 Department of Energy's public meeting on Test
5 Procedures for Plumbing Products.

6 Today is Tuesday, July 24, 2012 here in the
7 Forrestal Building in Washington, D.C. My name is Doug
8 Brookman from Public Solutions in Baltimore. We're
9 going to start off with welcoming remarks from Lucas
10 Adin.

Welcoming Remarks

11
12 MR. ADIN: Can everyone hear me okay? Good
13 morning. I'm Lucas Adin, from the U.S. Department of
14 Energy in the building technologies program, and I
15 manage the plumbing products rulemakings for our
16 office. And I welcome you all here for this meeting.
17 We're glad you're able to attend and participate.
18 We're going to present some information about proposed
19 changes to our test procedures for these products and
20 a few other related items, so it's very useful for us
21 to have a chance to do that and also for us to be able
22 to receive information and comments from all of you.
23 So thank you for coming.

24 MR. BROOKMAN: Thank you. It's our
25 tradition to start with introductions while you're

1 working on advancing that. So I'll start over here to
2 my left and please say your name and organizational
3 affiliation. You can get used to pulling the mic
4 close to your face and turning it on and off. The
5 little illuminated green - yes, now it's on. Yes.

6 **Introductions**

7 MS. SALMON: Hi. Stephanie Salmon with the
8 Plumbing Manufacturers International.

9 MR. BROOKMAN: And we also need to get in
10 the habit of turning them off and we have less
11 feedback that way. Please, if you would.

12 MS. HEINE: Kristine Heine for Kohler
13 Company.

14 MR. BROOKMAN: Thank you.

15 MR. OSANN: Ed Osann with the Natural
16 Resources Defense Council.

17 MS. HOBBS: Karen Hobbs, Natural Resources
18 Defense Council.

19 MS. MAUER: Joanna Mauer, Appliance
20 Standards Awareness Project.

21 MS. TIEDEMAN: Jennifer Tiedeman, DOE,
22 Office of General Council.

23 MR. BROOKMAN: Thank you. Please. You can
24 just stand.

25 MS. WILLIAMSON: Jennifer Williamson,

1 Pacific Northwest National Laboratory.

2 MS. MCMORDIE: Kate McMordie, Pacific
3 Northwest National Laboratory.

4 MR. COCCIARDI: Josh Cocciardi, Department
5 of Energy.

6 MR. BROOKMAN: Thank you. And our web
7 master is sitting over there. Okay.

8 **Agenda Review**

9 MR. BROOKMAN: All of you received a packet
10 of information when you signed in this morning. I'm
11 going to go do a brief agenda review. Immediately
12 following this agenda review, there's an opportunity
13 for anybody that wishes to do so, to make opening
14 remarks, to make brief summary statements about issues
15 that are important to you.

16 Following that, we will move straight into
17 the presentation material. All of you received a
18 packet of information with these colorful PowerPoint
19 slides that will be the basis for the presentation.
20 Lucas Adin will start off talking about the regulatory
21 history and then the scope. Following that, a
22 rulemaking overview.

23 We'll take a break mid-morning, round about
24 10:30 or so, it's not listed on the agenda, but
25 somewhere in there, when we get there, that's when

1 we'll break. Following that we'll hear from Jennifer
2 Williamson, proposed changes to test procedures, and
3 then directly following that, proposals regarding dual
4 flush toilets, commercial prerinse spray valves,
5 showerhead flow controls. And then proposed changes
6 to product definitions. Following that, proposals
7 regarding basic models and statistical sampling.

8 Round about noonish, depending on the
9 timing, we'll take a lunch break if that's needed.
10 And then whenever we get there, we'll hear about the
11 NOPR analyses and then finally, at the end of the day,
12 whenever that is, whether that's noon or 1:30 or even
13 later, we'll talk about next steps and there'll be an
14 opportunity for anybody that wants to to make
15 additional remarks, closing remarks, additional issues
16 to be captured for the record.

17 Any of you who have been here before, some
18 of you have not, what have emerged as matters of
19 courtesy, if you would, please speak one at a time.
20 Please, say your name for the record each time you
21 speak.

22 If you can keep the focus here. Please turn
23 your cell phones on silent mode. Limit the sidebar
24 conversations. Please be concise and share the air
25 time. I'm going to be cueing individuals as best I

1 can to speak. I also wish to encourage follow on
2 comments. Sometimes that's useful for the Department
3 as they're reviewing the transcript of this meeting.

4 There will be a complete transcript of this
5 meeting available on the web. We have several
6 individuals joining us via the web. The Department
7 wishes to encourage web participation. If you are
8 joining us by the web, welcome. I would ask you here
9 at the outset to mute your phones. That will limit
10 the feedback we have here at this meeting room, and if
11 you wish to join the conversation, ask a question or
12 make a comment, please raise your hand in the software
13 and then we will find a place to insert you in the
14 meeting and you will be speaking live to everyone
15 who's in the room here in the Forrestal Building.

16 Let me see -

17 MR. OSANN: Doug?

18 MR. BROOKMAN: Yes, Ed.

19 MR. OSANN: Is there a list of names of
20 those that are participating by webinar?

21 MR. BROOKMAN: We - in fact, I was thinking
22 maybe we would ask - can you read the names of the
23 individuals participating, Marcus? We've done that
24 previously. Do you have a microphone over there?

25 WEBMASTER: On line we have Chris Menduza -

1 I apologize if I don't pronounce this correctly,
2 Christina Haduc, Daniel Glieberman, Heidi Havenstein,
3 Jeff Baldwin, Larry Himmelbloud, Len Swatkowski,
4 Maryanna Nicole. Maryann Dickenson, Michael Woodford,
5 and Shawn Martin (all spellings phonetical.)

6 MR. BROOKMAN: Thank you. And thanks, Ed,
7 that's a good catch. We want to have those
8 individuals noted. So I think that is the preliminary
9 stuff that I intended to cover. We're going to go
10 straight now to an opportunity for individuals to make
11 opening remarks, opening statements for the record.
12 And Stephanie, I see you've got notes in front of you.

13 MS. SALMON: I do and I'm happy to make some
14 opening comments, but I thought it would be more
15 helpful, you know, to hear from DOE first and then I'm
16 happy - we've already submitted our comments for the
17 record on the proposed changes, but it's up to you as
18 moderator here what you feel is best.

19 MR. BROOKMAN: I note as I'm looking over
20 there that you've got several pages of typed comments.

21 MS. SALMON: I wasn't going to read them
22 all.

23 MR. BROOKMAN: Okay.

24 MS. SALMON: Let me go ahead and just make
25 an ---

1 MR. BROOKMAN: You can summarize.

2 MS. SALMON: I can make an opening comment.

3 MR. BROOKMAN: That would be helpful.

4 MS. SALMON: I can add on later.

5 MR. BROOKMAN: Okay.

6 **Opening Remarks**

7 MS. SALMON: Again, this is Stephanie Salmon
8 with the Plumbing Manufacturers International. We
9 have submitted comments for the record in regards to
10 the Notice of Proposed Rulemaking. And overall, PMI
11 supports updating of the referenced American National
12 Standards in the document. However, we also support
13 the elimination of duplicate referencing to the
14 American National Standards in any modification of the
15 language in these standards that will create confusion
16 in the marketplace and unnecessary complexity to the
17 standards that have been drafted, edited, and approved
18 through a national consensus process.

19 So in our comments, we go through the
20 different sections that you're going to talk about,
21 one through eight, and made references to that, so I
22 would like to hold off until you sort of go through
23 that before, so we're not objecting strongly to
24 anything that was put in here, but there were a few
25 things that we had made suggestions to for changes.

1 course of making our final decisions about the items
2 that we're proposing in the NOPR.

3 As we go through the meeting, you're going
4 to see these issue boxes pop up from time to time.
5 These just capture items that we're looking for more
6 information about. I think all the ones that we have
7 in this particular presentation are requests for
8 comment on the NOPR itself, so those are also in the
9 NOPR document. We don't have any additional ones
10 today, but we did put them throughout the presentation
11 just to highlight where we're looking for comment.

12 So I'll start off with the content of the
13 presentation for today with a brief overview of the
14 regulatory history for these products. The first -
15 well, the beginning of the energy conservation program
16 that DOE administers actually started with the Energy
17 Policy and Conservation Act of 1975. So that
18 essentially formed the legal basis for the program
19 that we have today. The water conservation standards
20 themselves and the test procedures that DOE initially
21 used to enforce them were established through the
22 Energy Policy Act of 1992. And that initially used
23 the two ASME standards that you see up there, the
24 A112.18.1M 1989 version for faucets and showerheads,
25 and the ASME A112.19.6 1990 version for water closets

1 and urinals.

2 A few years after those initial regulations
3 took effect, ASME made amendments to those standards,
4 and in keeping with its statutory obligations, DOE
5 conducted a rulemaking to update its regulations
6 accordingly. And in 1998 that final rule was
7 published. It adopted the 1996 version of the
8 A112.18.1M procedure for faucets and showerheads, and
9 the 1995 version of A112.19.6 for water closets and
10 urinals. And as we note there, that rule did not
11 change the relevant water conservation standards.
12 They remain the same as the ones that were put in
13 place in 1992.

14 For commercial prerinse spray valves, those
15 came into DOE's regulatory sphere as part of the
16 Energy Policy Act of 2005, which established a
17 national water conservation standard for those
18 products and also established the test procedure for
19 those, which was ASTM F2324, and that was put into
20 DOE's regulatory code as part of a 2006 final rule.
21 Since that time, ASTM has reissued that standard
22 without any substantive changes. They basically just
23 reapproved it in 2009.

24 Since the last rulemakings that DOE
25 conducted in 1998 and 2006, this slide essentially

1 covers what DOE is doing today through its statutory
2 obligations. Essentially what the statute says in the
3 Energy Policy and Conservation Act -

4 MR. BROOKMAN: Hey, Lucas.

5 MR. ADIN: Yes.

6 MR. BROOKMAN: Put the microphone on your
7 tie and get it six inches from your mouth.

8 MR. ADIN: Oh, I'm sorry. Are you catching
9 what I'm saying?

10 MR. BROOKMAN: Yes, it's kind of a - and
11 speak up just a tad.

12 MR. ADIN: Is that better?

13 MR. BROOKMAN: Yes, better.

14 MR. ADIN: Okay. So the statute essentially
15 says that if DOE - excuse me, if ASME revises either
16 of the standards that DOE references for water
17 closets, urinals, showerheads or faucets, which are
18 captured in those two citations you see there, DOE has
19 to accordingly amend its regulations to reference the
20 newly amended ASME standards. Since that time, ASME
21 has adopted amended versions of both of those
22 standards. There was a 2011 version which was just
23 recently adopted for showerheads and faucets, and then
24 a 2008 version of the A112.19.2 procedure for water
25 closets and urinals which - the number did change

1 because it was a combining of two previous test
2 procedures, the A112.19.6 procedure and A112.19.2 were
3 combined to form the new A112.19.2, so it is the same
4 basic procedure, just updated.

5 There have been no substantive changes, as I
6 mentioned, for commercial prerinse spray valves, that
7 procedure, so DOE is proposing to retain the existing
8 procedure with no changes, but to reference the
9 reapproved versions, the 2009 version. So that
10 essentially covers the regulatory history.

11 **Scope**

12 I'm going to briefly cover the scope of this
13 rulemaking. Essentially, the purpose of this
14 rulemaking is to review the existing procedures and in
15 accordance with DOE's statutory obligations, to
16 determine if the ASME standards have been amended in a
17 way that is appropriate for DOE to adopt. So in doing
18 that we essentially conducted a comparison of the
19 existing ones that we reference and the newly amended
20 versions to insure that we understand all those
21 differences and we're incorporating something that
22 will accomplish the intent under EPCA for us to use
23 them as official uniform national procedures.

24 We did review the product definitions for
25 these products to insure that we're providing

1 necessary clarity in the scope of coverage. A few of
2 the definitions in particular were rather vague and
3 we've received a lot of questions in the past as to
4 how far they go in covering some of these products,
5 and the intent of those amendments is to try and clear
6 up those issues.

7 There's a design requirement for showerheads
8 involving a flow restrictor. This is actually a part
9 of the original A112.18.1M procedure which has just
10 been passed down through time. It hasn't actually
11 changed, we're just addressing a couple of items
12 there, and incorporating it into the standard in a
13 more specific way.

14 And then we covered a couple items regarding
15 basic model definitions and it's not mentioned here,
16 but it's a statistical sample for certifying products.

17 MR. BROOKMAN: I think we're having a -
18 we're getting feedback. For those of you who are
19 joining us via the web, we're getting feedback that
20 Lucas - that his lavalier mike is fading in and out
21 so we're going to try this podium-based mike to see if
22 that works better, and let's get that fairly close to
23 your face.

24 MR. ADIN: Okay. That better? Okay. For
25 the folks on the webinar, if there's anything in

1 particular that you missed that you'd like me to cover
2 again, just let me know, but we're going to go through
3 all these items in more detail throughout the
4 presentation, so hopefully we don't miss anything that
5 you were hoping to hear.

6 So the last item was just for regulatory
7 review. We have some statutory obligations to insure
8 that our rulemakings meet various statutory
9 requirements, things regarding small businesses and
10 things of that sort. So we did conduct analysis
11 accordingly, and we'll discuss those in more detail.
12 So that's essentially the overview.

13 **Rulemaking Overview**

14 The next item we have is getting into the
15 rulemaking itself. Just very quickly, the process for
16 conducting this rulemaking is actually relatively
17 simple, especially compared to a standards rulemaking
18 that some of you might be familiar with that has many
19 stages, a test procedure rulemaking essentially is
20 just two stages. We do a Notice of Proposed
21 Rulemaking which we published on May 30th. I'm sure
22 everyone in this group has seen it, and so this
23 meeting is essentially just to cover what we put in
24 the NOPR and to receive comments, and written comments
25 as noted here are also welcomed. They must be

1 submitted to DOE by August 13, 2012. And I also
2 always like to point out that it's actually midnight
3 on August 13th, so you have the full day that day to
4 get them in.

5 The NOPR itself has more details on how to
6 send them in, but you can send them in via e-mail, or
7 hard copy. Just be aware that if you send them in via
8 hard copy, we won't get them for at least two weeks
9 because they go through the whole mail sanitation
10 process.

11 MR. BROOKMAN: You're going to be at your
12 desk until midnight.

13 MR. ADIN: Yeah.

14 MR. BROOKMAN: Just thought I'd confirm
15 that. Okay. So.

16 MR. ADIN: So that's the basic overview.
17 Are there any questions at this point? Okay. So
18 we'll proceed from here with the substance of the
19 proposal. Our first presenter on that is Kate
20 McMordie. No, sorry, Jennifer Williamson. I knew I'd
21 get that backwards.

22 MR. BROOKMAN: Jennifer first. No questions
23 until now? How are we doing with everybody - they're
24 still with us on the web? Yep? Okay. So, get that
25 microphone fairly close to your face. Yeah, let's not

1 use the Lavalier because it was fading in and out.

2 **Proposed Changes in Test Procedures**

3 MS. WILLIAMSON: Hi everybody. I'm Jennifer
4 Williamson with Pacific Northwest National Laboratory
5 and I'm just going to go over the changes that we
6 identified between the currently referenced standards
7 and the standards that we're proposing to incorporate
8 by reference.

9 And we're going to start with faucets in the
10 A112.18.1. There is a typo on this slide on the next,
11 where it says no specification for test pressure
12 tolerance - that should say - oh, we got it changed.
13 So there isn't a typo.

14 MR. BROOKMAN: You're talking about the
15 first bullet there.

16 MS. WILLIAMSON: Yeah, in the printed
17 slides, it's different than what we have up here. For
18 faucets there was a tolerance of either plus or minus
19 one psi to the test pressure set up. The test
20 procedure temperatures were modified very slightly -
21 they went from four to 66 degrees C to five to 71
22 degrees C. And then there's a new requirement in the
23 2011 version that you have to use a container that's
24 large enough to hold the flow that you're expecting
25 over a one minute interval.

1 So, showerheads are covered in the same test
2 procedure and there are similar changes. The
3 tolerance is a plus or minus two psi. The
4 temperatures changed fairly significantly on this one,
5 from four to 66 degrees to 32 to 44, most likely
6 because there aren't very many people who are going to
7 be taking showers at -

8 MR. BROOKMAN: I'm just now getting it, so
9 would you back up one slide? You're comparing and
10 contrasting 1996 to 2011.

11 MS. WILLIAMSON: Correct.

12 MR. BROOKMAN: You were moving quickly and I
13 like that, but let's not move too quickly.

14 MS. WILLIAMSON: Okay. Sorry.

15 MR. BROOKMAN: So let's back up to the first
16 slide and give everyone a chance to look at the
17 proposed changes. You were doing a good job of
18 explaining.

19 MS. WILLIAMSON: Okay. Does anyone have any
20 questions on this one? Comments? No? Okay.

21 So we covered the test pressure and the test
22 procedure temperature. The showerhead has a unique
23 requirement that you're required to maintain the flow
24 for a minimum of one minute, but it also has the
25 requirement to have that container that can hold the

1 flow for that one minute.

2 So questions and comments on the showerheads
3 and faucets?

4 MR. OSANN: This is Ed Osann, NRDC. A
5 couple points regarding the showerhead test
6 procedures. The ASME - the latest ASME A112.18.1
7 allows for two possible approaches to testing these
8 fittings. I think the same is true for faucets as
9 well, either using a fluid meter or using the timed
10 volume method.

11 MS. WILLIAMSON: Correct.

12 MR. OSANN: And you noted some word changes
13 relating to the timed volume test procedure. I'm
14 wondering if DOE has reached any conclusions about the
15 relative efficacy of those two approaches, whether
16 they really are interchangeable, whether the timed
17 volume method may be potentially open to a wider range
18 of error. I make two observations about that. One is
19 that for showerheads that are to be tested at a
20 flowing pressure of 80 psi, which is really at the
21 high end of normal pressure for residential service.
22 Which means that it's coming out pretty hard. And I
23 would say more forceful flow than certainly the
24 average consumer experiences. So the potential is
25 there for splash and the test procedure does not seem

1 to be explicit, unless I've missed something, about
2 the positioning of the container, about determination
3 that all the flow is being captured, any notation of
4 splash or overage, and it's not hard to imagine that
5 there could be losses associated with that.

6 The other point is that the specification
7 also - the ASME standard also contains a limitation on
8 leakage from ball joints, and that's in 5.3.5, without
9 any separate test procedure for determining the rate
10 of leakage, or verifying whether leakage is present or
11 not. So presumably that's to be captured in the flow
12 rate test procedure. But it's quite possible,
13 depending on the orientation of the spray head, that
14 leakage from a ball joint would drop vertically while
15 the spray from the showerhead itself may be going in a
16 different direction and the receptacle being
17 positioned to capture the flow, not capturing the
18 leakage.

19 MR. BROOKMAN: Ed, are you suggesting that
20 the Department should change or expand what they've
21 written here to accommodate that information?

22 MR. OSANN: I'm suggesting that the
23 Department consider the relative efficacy of the two
24 approaches that are currently - that are authorized in
25 the ASME standard, and consider the possibility of not

1 carrying the timed volume method into the CFR.

2 MR. BROOKMAN: Okay. Thank you.

3 MS. WILLIAMSON: So now we're going to move
4 into the A112.19.6 1995 updated to A112.19.2 2008.

5 MR. BROOKMAN: Before you move on, Jennifer,
6 Shawn Martin has raised his hand, let's hear from
7 Shawn, presuming it's on this last issue. Yes.
8 Shawn, you're on.

9 MR. MARTIN: It is indeed.

10 MR. BROOKMAN: Please speak.

11 MR. MARTIN: Can you hear me?

12 MR. BROOKMAN: You're sounding good, keep
13 going.

14 MR. MARTIN: Okay. Very good. I just
15 wanted to just follow on Ed's comment, which was a
16 good one. The key for the timed volume, by the way,
17 is related to the overall size of the volume that's
18 collected. The more you collect, the more accurate it
19 becomes. That said, Ed alluded to an issue that has
20 existed with this for some time, and that is the
21 pressure. The 80 psi is not reflective of the
22 extremes of the showerhead. I can hear myself there,
23 so I'm trying to speak slowly. At the showerhead,
24 after having gone through the water meter, various
25 lengths of pipe, and the shower valve, it will have

1 reduced significantly, to the point that it could
2 easily be 30 psi or below. The ASME committee has not
3 made any move to correct this, despite the fact that
4 they know that it's excessively high, because it has
5 been in use for so long. My question or comment would
6 be that the DOE might wish to work with ASME to
7 correct this obviously excessive number.

8 MR. BROOKMAN: Okay. Thank you. Shawn, are
9 you - could you be more specific? Since you're
10 commenting, what would you suggest the Department do,
11 specifically?

12 MR. MARTIN: Well, there's an
13 acknowledgement by the ASME committee which I've
14 participated in for some time that the number is too
15 high, and in fact if you look at the test values for
16 shower valves, they've added an intermediate pressure
17 for testing in the latest version of the shower valves
18 specifications for temperature computation. My
19 recommendation would be that the DOE consider working
20 collaboratively with the ASME committee to examine the
21 possibility of revising that 80 psi number to
22 something more reflective of actual usage pressures.

23 MR. BROOKMAN: And those usage pressures
24 would be what?

25 MR. MARTIN: Conceivably far less, probably

1 somewhere in the neighborhood of 30 psi. It can range
2 anywhere from say in the low 20s upward to maybe 40 or
3 50. It depends on the supply pressure and that varies
4 significantly as you move across the country, and
5 depends significantly on the shower valve and the
6 plumbing system.

7 MR. BROOKMAN: Okay. Great. Thank you for
8 those detailed commends. Ed Osann.

9 MR. OSANN: Yeah, this is Ed Osann, just a
10 point in follow up. I just observe that the standard,
11 the statutory standard is expressed as a flow rate at
12 80 psi and that for showerheads with a fixed orifice
13 restrictor, there will be a relationship between flow
14 rate and psi so that if a lower test pressure were
15 used to validate compliance with the federal standard,
16 there would have to be some adjustment for the fact
17 that this product could flow at a higher flow rate and
18 perhaps a non-compliant flow rate, at a higher
19 pressure than it's being measured at. It's the
20 relationship between pressure, particularly flowing
21 pressure, and the flow rate that needs to be attended
22 to.

23 MR. BROOKMAN: When Shawn was speaking
24 earlier, Shawn I want you to get back on the
25 microphone and say your organizational affiliation so

1 we know who you're representing. Shawn, can you do
2 that for us?

3 MR. MARTIN: Of course, my apologies. My
4 name is Shawn Martin and I'm here on behalf of the
5 International Code Council.

6 MR. BROOKMAN: Okay. Thank you. So far the
7 webinar is working well, that's good news. Now we're
8 going to keep going.

9 MS. WILLIAMSON: Okay. So urinals and water
10 closets, again, the 1995 is what's currently in the
11 CFR. We're proposing to incorporate by reference
12 A112.19.2 2008, and again these are just the changes
13 from one to the other.

14 In 1995, there was a note on the setup
15 figure that indicated a filter was optional. That
16 filter is now required.

17 MR. BROOKMAN: Yes, pardon me. Ed Osann, go
18 ahead.

19 MR. OSANN: Ed Osann, sorry to interrupt. I
20 actually had another point on showerheads.

21 MR. BROOKMAN: Yes, please. We want to keep
22 this in sequence. Go ahead.

23 MR. OSANN: DOE observed in the text of the
24 NOPR that while the ASME standard has long had a -
25 made reference to the force required to remove a

1 restrictor -

2 MS. WILLIAMSON: We're going to get to that
3 a little bit later.

4 MR. OSANN: You're going to deal with that
5 separately?

6 MS. WILLIAMSON: Yes.

7 MR. BROOKMAN: Okay, so let's hold on that
8 for the moment. Okay. Okay.

9 MS. WILLIAMSON: So we've covered the
10 filter. The calibration requirement for the receiving
11 vessel used has changed from point one gallons to
12 point one seven gallons. This was part of the
13 harmonization with the Canadian Standards Association,
14 so that the increments would be in quarter of a liter.
15 And in the new standard, you have to use a timer to
16 verify that the actuator is not held for more than one
17 second and the increments of that timer have to be no
18 more than a tenth of a second.

19 MR. BROOKMAN: Hold on there. Another
20 person has raised his or her hand - I think it's a he
21 in this case, Shabbir Rawalpindiwala. Sorry if I've
22 butchered that. Shabbir, please speak.

23 MR. RAWALPINDIWALA: Yes, can you hear me?

24 MR. BROOKMAN: Yes, you're sounding good.

25 MR. RAWALPINDIWALA: Okay. I had a comment

1 regarding the showerhead.

2 MR. BROOKMAN: Okay. Go ahead.

3 MR. RAWALPINDIWALA: The 80 psi has been
4 there since when the DOE adopted the original
5 standard, and when you test the flow rate, they are
6 tested at different pressures, up to 80 psi, and after
7 a certain amount they reach a flat curve. As regards
8 to the ball joint, it is really well spelled out how
9 to test them, and I don't know for what reason Ed
10 Osann has problem that it is not adequate. These
11 standards just got revised and published in 2011. Ed
12 and other people had all the liberty to comment if
13 they had any problems and nobody - and I've not seen
14 him comment at all. Thank you.

15 MR. BROOKMAN: Thank you. We're trying to
16 get to the issues at hand here, and not the persons
17 involved, but maybe there is something additional to
18 be said on this point before we move on. Okay. So
19 we're going to move on. Thank you for your comment.

20 MS. WILLIAMSON: Is everyone okay with
21 these? So two more changes for urinals and water
22 closets. The first is for assemblies that have a
23 flushometer valve. The test pressures have changed.
24 A 50 and 15 psi are now 35 for a siphonic bowl and 50
25 and 35 are now 45 for a blowout bowl.

1 And finally, the rounding of the total flush
2 volume has now been changed to match the vessel
3 calibration. So are there any comments or questions
4 on urinals and water closets?

5 MR. BROOKMAN: You can see that the
6 Department has included a specific comment box here.
7 DOE requests comment on its proposal to incorporate by
8 reference ASME ANSI standard A112.19.2 2008 for water
9 closets, urinals, specifically the impact of changes
10 outlined.

11 MR. OSANN: Ed Osann.

12 MR. BROOKMAN: Yes, Ed Osann.

13 MR. OSANN: There's data in the literature
14 that indicates that while differences in static
15 pressure may have relatively little effect on the
16 flush volumes of valve type toilets, the differences
17 in flowing pressure can have substantial difference.
18 And I think DOE should take cognizance of that. We'll
19 provide some of that information for the record.

20 MS. WILLIAMSON: Thank you.

21 MR. BROOKMAN: Thank you. Okay. It seems
22 as though Shabbir has raised his hand again. Shabbir,
23 please speak and also say your organizational
24 affiliation, Shabbir.

25 MR. RAWALPINDIWALA: Yes, Shabbir

1 Rawalpindiwala, Kohler Company.

2 MR. BROOKMAN: Okay, Kohler, yes.

3 MR. RAWALPINDIWALA: If you are talking
4 about the measurements of the flush volume whether of
5 the urinal or the water closet, yes, the standard
6 gives the option of measuring it by the bucket and
7 weighing it, but however that is the archaic way of
8 doing it. Most of the laboratories, including ours,
9 and the test laboratories, measure it with the digital
10 flow meter.

11 MR. BROOKMAN: Okay.

12 MR. RAWALPINDIWALA: So I just wanted to
13 bring that out.

14 MR. BROOKMAN: Okay. Other comments in
15 response to item two as listed on the slide before we
16 move on.

17 MS. WILLIAMSON: I'm going to turn it over
18 to Kate.

19 **Proposals Regarding Dual Flush Toilets, Commercial**
20 **Prerinse Spray Valves, And Showerhead Flow Controls**

21 MS. MCMORDIE: Can you hear me okay? So I'm
22 Kate McMordie with PNNL as well. And so now we're
23 moving into some more of the details of the NOPR.
24 This slide is presenting information on dual flush
25 toilets. So, dual flush water closets were not around

1 during the 1995 version of the ASME standard, so DOE's
2 test procedure does not address dual flush toilets.
3 So DOE is proposing to include the requirements for
4 maximum flush mode for dual flush toilets to meet the
5 ASME standard, the 2008 standard. But because there
6 are new metrics that have been formulated around dual
7 flush toilets so that the manufacturers who are
8 producing these products can show that they have
9 reduced volume, DOE is recognizing the need for that.
10 So DOE is proposing the measurement of an average
11 representative water use for dual flush toilets, and
12 that would be to follow a similar metric to what Water
13 Sense has, and that is essentially a weighted average
14 of two reduced flush and one full flush, to show the
15 average representative water use for dual flush
16 toilets.

17 So DOE specifically - and I'm going to flip
18 back - I can go back to that slide, but I just wanted
19 to mention that item three in the NOPR, the comment is
20 specifically asking for information if this two to one
21 ratio is appropriate, and if it is representative of
22 the average water use for these products. So I'm
23 going to flip back just so you can see the more
24 technical points that are being made in the NOPR. Are
25 there any questions on this?

1 MR. BROOKMAN: Or comments?

2 MS. MCMORDIE: Yes, thank you.

3 MR. BROOKMAN: Joanna Mauer.

4 MS. MAUER: Joanna Mauer. I guess a
5 question. If DOE adopts this in the test procedure, a
6 representative average use for dual flush water
7 closets, does that mean that, for example, the Water
8 Sense Program would have to use that specific ratio
9 that would be adopted in the DOE test procedure, even
10 if, for example, new data became available that showed
11 that that ratio should be changed?

12 MS. MCMORDIE: I think I might let Lucas
13 answer that one.

14 MR. ADIN: This is Lucas Adin. That's
15 something that we might have to look into a little bit
16 more carefully. Water Sense is not covered under the
17 same legal provisions or the Memorandum of
18 Understanding such as Energy Star. So it's a bit of a
19 different arrangement. We'd have to look at that more
20 carefully. I can't answer that with certainty at this
21 time.

22 MR. BROOKMAN: Ed.

23 MR. OSANN: Ed Osann, NRDC. I would make
24 one important distinction here between the scope of
25 use of this usage factor that EPA is using - is

1 employing, and how you're intending to use it here.
2 The DOE standards under NAECA apply to all water
3 closets. The EPA Water Sense specification applies to
4 tank type toilets, which not exclusively, but
5 primarily are the product of choice in residential
6 settings. Valve type toilets are not covered by the
7 Water Sense specification and are used almost
8 exclusively in commercial type settings.

9 I think there is little data in the
10 literature about the usage factors for dual flush in a
11 commercial setting for a valve type toilet, and what
12 information there is suggests that the frequency of
13 the reduced flush is substantially more limited. So I
14 think DOE needs to take this into account before
15 simply applying this across the board for all products
16 that are covered by the DOE standard. Certainly more
17 data would be helpful, meaning more research would be
18 helpful, in both the residential and the commercial
19 usage of these products. And if DOE or its
20 contractors could participate in that, that would be
21 great.

22 MR. BROOKMAN: That was the obvious
23 question. Is there data out there? Is there data to
24 be obtained? Does it exist? Several individuals
25 shaking their heads. They don't know. Laura, do you

1 want to comment here?

2 LAURA: I just wanted to make sure I
3 understood. So the dual flush toilets in the
4 commercial setting, are they both tank type and the
5 flushometer or - I just want to make sure I understand
6 what -

7 MR. OSANN: Well, tank type toilets can be
8 installed in commercial settings. They can be
9 installed in both. They're predominant in the
10 residential sector, but they are certainly used in
11 some commercial applications. Valve type toilets are
12 used almost exclusively in commercial applications --

13 LAURA: And they're dual flush -

14 MR. OSANN: -- occasionally in some high
15 rise residential.

16 LAURA: They're dual flush commercial valve
17 toilets.

18 MR. OSANN: Yes.

19 LAURA: Okay.

20 MS. MCMORDIE: Typically diaphragm flush
21 valve dual flush toilets. There's one study if I
22 could comment on, a study that was done that's out on
23 the Alliance for Water Efficiency's website, that
24 looks at water use of dual flush toilets. So it is
25 not a DOE-commissioned study, but there is some data

1 on commercial setting for dual flush toilets. There's
2 also a study done by PNNL a while ago on dual flush
3 toilets when it first came out in the early 2000s in a
4 residential setting, and that actually is what set the
5 1.28 gallon per flush - was the result of that study.
6 So there is some data out there on this, but I just
7 wanted to mention it.

8 MR. BROOKMAN: Is there any additional data
9 gathering currently, or is what you have what you
10 have?

11 MS. MCMORDIE: Would you restate that?

12 MR. BROOKMAN: Is there any additional
13 research being done presently?

14 MS. MCMORDIE: Not that I know of.

15 MR. BROOKMAN: Okay. We have several -

16 MS. MCMORDIE: It could be, though. There
17 could be somebody on the webinar that might know.

18 MR. BROOKMAN: Well, two individuals have
19 raised their hands. We're going to hear from Shawn
20 Martin first and then from Daniel Glieberman. Shawn,
21 please proceed.

22 MR. MARTIN: Shawn Martin, International
23 Code Council. Daniel Glieberman is with Sloane Valve,
24 so he may be able to speak better to the availability
25 of data.

1 Two things I wanted to address. The first
2 was the fact that there are two aspects to be
3 considered when looking at these data and these
4 studies. And the one is the theoretical water
5 consumption which is based on the frequency of various
6 usage types. And the second pertains to behavioral.
7 And that's information because the awareness of the
8 individual on the proper usage of the equipment is
9 critical, and so I would urge that any data that's
10 reviewed not only with respect with what could be
11 done, but also through the lens of behavioral aspects
12 as to the knowledge of the individual in the proper
13 operation of the device.

14 The second point I wanted to make and wanted
15 to put on the record is the fact that there are now
16 available, another type of device, a subset, and that
17 is retrofit dual flush device, which allows an older
18 toilet that consumes - that is a single flush toilet,
19 to be retrofitted with a dual flush device. They're
20 marketed - several are marketed as being universal,
21 meaning it can be applied to many different
22 manufactured devices, and the DOE may wish to consider
23 whether any of these requirements should apply to that
24 circumstance.

25 MR. BROOKMAN: Okay, thank you. Daniel

1 Glieberman, you're next. Please say your
2 organizational affiliation.

3 MR. GLIEBERMAN: Thank you. I don't know if
4 you hear feedback or not.

5 MR. BROOKMAN: We can hear a little bit of
6 feedback, but you're coming through clear, so keep
7 going.

8 MR. GLIEBERMAN: Sloane Valve Company. I
9 want to reference first of all the DOE's statutory or
10 regulatory authority. My understanding and my comment
11 on this specific issue would be that 1992 was water
12 closets not to consume more than 1.6 GPF is really
13 what should be considered here, as PMI I think noted
14 and some other manufacturers may have noted. There's
15 really no need to develop a separate test procedure to
16 measure average representative water use of a dual
17 flush water closet, because the focus of this
18 rulemaking should insure that any water closet doesn't
19 exceed the maximum. I think there's been some really
20 good comments about data and the need for additional
21 data. As one manufacturer focused primarily in the
22 commercial sector, we would support additional data
23 gathering, but we don't think that it's relevant for
24 this rulemaking where water closets are intended to
25 make sure that they comply with the 1.6 maximum GPF.

1 This goes to other comment, including
2 Shawn's regarding behavioral aspects of these types of
3 fixtures. And I think that if, in fact, there is to
4 be a standard or a testing for the dual flush, it
5 should be, as another commentator mentioned, ... water
6 closet such as ASME, the National Standard Development
7 Process that insures that all stakeholders are
8 represented. Thank you.

9 MR. BROOKMAN: Thank you. We're going to
10 hear from Lucas Adin next, and then after Lucas, we're
11 going to hear from Heidi Havenstein and then back to
12 Shabbir. Lucas.

13 MR. ADIN: I just wanted to offer a brief
14 response to the last comment. This is really more of
15 a point of clarification. We have it on this slide
16 and it is discussed in the NOPR, but we might have
17 caused a little bit of confusion with this particular
18 topic. The intention with proposing the use of this
19 test method really doesn't have any bearing upon
20 measurement of the maximum flush volume. It is
21 correct that the 1.6 gallons per flush for water
22 closets is the statutory standard, and it will remain
23 the standard and the test method for verifying that
24 that standard is met will still be the existing A112 -
25 well, in this case we're proposing it to be the

1 A112.19.2 2008, essentially the same method as before.
2 So the value of water consumption that's reported to
3 DOE to insure that any given product, whether it's a
4 dual flush toilet or a conventional water closet meets
5 that standard will be the same. It's still the
6 maximum flush volume.

7 MR. BROOKMAN: Okay. You may - some
8 individuals may wish to raise their hand to follow on
9 with that comment, but Heidi, you're next. Please say
10 your organizational affiliation.

11 MS. HAVENSTEIN: This is Heidi Havenstein
12 from Energy Solutions and the California Investor-
13 Owned Utilities. And this is actually - I think Lucas
14 just may have clarified this, but the question was can
15 you clarify if you use the bridge method that the full
16 volume flush does not exceed 1.6 gallons per flush.
17 The alternative would be the average of two volume
18 flushes in a .. bowl per flush.

19 MR. ADIN: Yes, this is Lucas. I can
20 confirm that it will still be, for certification
21 purposes, it is still the maximum flush volume in the
22 full flush mode. The intent with proposing this
23 method - it will not be required if we adopt it, it is
24 really more of a means to permit manufacturers to make
25 representations of that average use, but it's not for

1 certification purposes.

2 MR. BROOKMAN: Okay. Thanks for the
3 question. Shabbir, you're next.

4 MR. RAWALPINDIWALA: I had the same comments
5 that Danny did, so thank you.

6 MR. BROOKMAN: Okay. Thank you. Okay, then
7 - yes, Ed Osann.

8 MR. OSANN: With regard to the utility of
9 incorporating a usage factor in for dual flush
10 toilets, it was noted at the outset that DOE is
11 conducting this rulemaking because it has a
12 responsibility for a periodic review of test
13 procedures. DOE also has a statutory responsibility
14 now for periodic review of standards, and if the
15 standard were subject to evaluation, a test method
16 that credited dual flush toilets with some additional
17 savings based upon the ratio of high volume to low
18 volume flushes, could be a foundation for such a
19 standard revision without having to reopen the test
20 procedure at that time. Is that a fair statement?

21 MR. ADIN: This is Lucas Adin. I think
22 that's something that we have to look at a little more
23 carefully. I mean we're certainly interested in
24 receiving comments, perspectives, on that issue and
25 any views on any impacts or benefits that might

1 provide. That's something that we need to look at
2 separately.

3 MR. BROOKMAN: Thank you. Additional
4 comments on these issues as you see them on slide 22
5 before we move on? Okay.

6 MS. MCMORDIE: So now we're moving to
7 prerinse spray valves. It has been mentioned now a
8 couple times by Lucas, so I'm just essentially
9 reiterating something that has already been stated
10 today, that the ASTM standard was reapproved in 2009
11 and DOE is proposing to incorporate by reference the
12 new test procedures for commercial prerinse spray
13 valves, or the new standard which has the same test
14 procedure. So the comments that are requested are on
15 the inclusion of this 2009 ASTM standard. Any
16 questions related to that? Okay.

17 Now we're moving to the design requirements.
18 Is there a question.

19 MS. SALMON: Uh, no. This is Stephanie
20 Salmon. I'm with Plumbing Manufacturers, that we
21 agree strongly with the adoption of the ASTM F2324
22 standard in its entirety without any edits or
23 modifications. Again, this was thousands of hours of
24 effort in review from manufacturers, government
25 agencies, and others here at the table who were all

1 interested parties in approving this. So any
2 deviation from that standard would create confusion in
3 the marketplace.

4 MR. BROOKMAN: Okay. Thank you for that
5 comment. Thank you. Ed Osann.

6 MR. OSANN: This is Ed Osann. The ASTM
7 standard is currently under revision, is it not?

8 MS. MCMORDIE: It's currently under
9 revision?

10 MR. BROOKMAN: Are you saying yes?

11 MS. MCMORDIE: I was asking my colleague.

12 MS. WILLIAMSON: (off mic) I believe it is
13 currently under revision, yes.

14 MR. BROOKMAN: Jennifer says she believes it
15 is under review.

16 MR. OSANN: I believe it's being balloted.
17 It's far along in the process, where there are
18 proposals being considered.

19 MR. BROOKMAN: Stephanie, yes?

20 MS. SALMON: Yes.

21 MR. BROOKMAN: Stephanie says yes. Keep
22 going.

23 MR. OSANN: And I understand that while part
24 of the revisions relate to a revised cleanability
25 test, there are also changes proposed in the flow rate

1 test as well. So DOE should be aware of the status of
2 the revisions of this test and consider the alignment
3 of the scheduling between the finalization of the ASTM
4 standard revision and the completion of this
5 rulemaking.

6 MR. BROOKMAN: Okay. Stephanie, do you wish
7 to comment here? No? No comment. Okay. Thanks for
8 that information.

9 MS. MCMORDIE: So now we're going to move to
10 the design requirements for showerheads. So DOE is
11 retaining - yes.

12 MR. BROOKMAN: Let me put you on hold there.
13 We have - Larry Himmelbloud has raised his hand and
14 perhaps it's on this subject, before we move on.
15 Larry, you're on.

16 MR. HIMMELBLOUD: Thank you. This is Larry
17 Himmelbloud from Chicago ... I could probably confirm
18 that the EPA Water Sense is working with ASME and ASTM
19 on a revision to the F2324 standard. Even the draft
20 that is being finalized ... so there's some more work to
21 be done to revise this standard, specifically ...
22 different ... test. Also, I believe that the federal
23 law only addresses the flow rate and not ...

24 MR. BROOKMAN: Okay. Thank you. Larry, the
25 last bit of your statement kind of got garbled here.

1 Could you restate that again, please, just the last
2 sentence.

3 MR. HIMMELBLOUD: I said I believe the
4 federal law only applies to flow rate and not
5 cleanability.

6 MS. MCMORDIE: That's correct.

7 MR. BROOKMAN: Okay. Thank you for that
8 clarification. So now we're going to move on. Kate.

9 MS. MCMORDIE: So DOE is retaining the
10 design requirement for showerheads which states that
11 showerhead - the flow control insert in the showerhead
12 has to be mechanically retained. And mechanically
13 retained means that with a force of 36 Newtons or
14 eight pounds or more is what's required to remove the
15 flow control insert. It's in a new section of the
16 2011 standard, the ASME standard. It's in 4.11.1 now.
17 The major unit of measure in the ASME standard is 36
18 Newtons, but DOE is proposing to maintain eight pounds
19 force as a primary unit, just to maintain consistency
20 with the current design requirements, so really no
21 changes there. The ASME standard has switched over to
22 SI units, but DOE is going to use eight pounds force.
23 They're essentially the same force.

24 DOE did a little investigation here to see
25 if there's a standard procedure for the removal of the

1 flow control insert, and there was not a standardized
2 approach that was found in the industry. And that is
3 because of the way that the manufacturers make these
4 products is that the flow control inserts are inserted
5 differently in different types of products. And so
6 therefore, the testing laboratory that does this test
7 has to be fairly creative at time to either do a
8 pushing or pulling or even a torque force on the flow
9 control insert to remove it. So there's really no
10 industry standard on that.

11 So DOE is requesting comments on the eight
12 pounds force required to remove the insert, and also
13 the test procedure that is used for that. So any
14 questions, comments on this? I think, Ed, you were
15 saying something earlier that you had a question on
16 this one.

17 MR. OSANN: Yeah, this is Ed Osann with
18 NRDC. I think this is a significant gap in the ASME
19 test procedure. While this requirement has been in
20 the standard for a long time, the lack of an effective
21 test procedure for certifying compliance has been
22 evident by the marketing of products that allow for,
23 and in fact promote, easy removal of the test
24 restrictor, the flow restrictor. I've seen products
25 in the marketplace at retail, where the outside of the

1 packaging promotes the ease of removal of the flow
2 restrictor for, quote, "cleaning" close quote. So
3 clearly some manufacturers have sought to gain
4 competitive advantage by the ease with which the
5 restrictor is removed. So this is a gap that really
6 should be filled in the test procedure.

7 MR. BROOKMAN: Okay. Thank you. I'm
8 looking over there to Marcus, are we doing okay?
9 Shabbir would like to comment. Shabbir, you're next.

10 MR. RAWALPINDIWALA: Yes, regarding the
11 retaining of the flow control, it has been left like
12 that to allow manufacturers various designs to
13 incorporate in the showerhead. If the whole test were
14 to be standardized, it will restrict innovation and
15 design. As regards to Ed's comment that the
16 manufacturers are showing on the carton in the retail
17 stores how to remove the restrictor, no reputable
18 manufacturers in the United States or from Europe are
19 doing that. There are a lot of overseas manufacturers
20 that are not reputable that operate from the garages,
21 and sell them, and there's no way of monitoring or
22 controlling them.

23 MR. BROOKMAN: Okay. Thank you. Other
24 comments on this subject. Ed Osann.

25 MR. OSANN: Yeah, this is Ed Osann. I think

1 the purpose of having a written test procedure is to
2 be able to facilitate verification, certification, and
3 enforcement if necessary.

4 MR. BROOKMAN: Okay. Shawn Martin's in the
5 queue.

6 MR. OSANN: Oh, and just one other point
7 with regard to limitations on manufacturers design,
8 creativity and flexibility, just as the ASME standard
9 has had - for some time has had alternate test
10 procedures for measuring the flow rate, it's certainly
11 conceivable that a test procedure regarding the force
12 -- to verify the force of removal of the restrictor
13 could have alternative approaches, depending upon the
14 nature of the installation of the restrictor itself.

15 MR. BROOKMAN: Thank you, Ed. Now we're
16 going to Shawn Martin. Shawn, you're up.

17 MR. MARTIN: This is Shawn Martin from ICC.
18 I think there may be some confusion on the point of
19 whether manufacturers provide information on removal
20 of these devices. There is an inherent conflict
21 between the need to retain the devices and also the
22 need to provide a means of repair. And it's very
23 common for manufacturers to provide exploded views of
24 their devices for the purposes of indicating part
25 numbers and repair parts and procedures. So we may

1 need to recognize that if we make it difficult or
2 impossible to remove these flow restrictors that the
3 devices - if the flow restrictor becomes clogged, will
4 become disposable in that circumstance, and that will
5 have cost implications for the marketplace. So again,
6 I'm not advocating for one position or another, but
7 just would call to your attention that repair issues
8 also come into play, even for manufacturers in home
9 garages.

10 MR. BROOKMAN: Okay. Thank you. Final
11 comments on this subject?

12

13 **Proposed Changes to Product Definitions**

14 MS. MCMORDIE: Great. So now we're moving
15 on to Definitions. So DOE is proposing to add some
16 new definitions that are in the ASME, the current ASME
17 standard for the 2011 - the 18.1 2011 and 19.2 2008.
18 And those are accessory, body spray, dual flush water
19 closet, and fitting.

20 These definitions are to provide more
21 clarity in DOE's coverage of the products, as well as
22 conforming with industry standards. I'm not going to
23 read them verbatim unless - would that be helpful? I
24 don't think they're needed to be read - everyone can
25 see them on the screen, and folks on the webinar, they

1 see this, right?

2 MR. BROOKMAN: That's correct.

3 MS. MCMORDIE: And then DOE is also
4 proposing to add a hand held shower definition as
5 well, and this is actually based on the basic
6 definition that's used by Water Sense.

7 MR. BROOKMAN: So let's just leave that
8 slide there for everyone to read for a moment, and
9 then we'll see if we have comments. Ed Osann.

10 MR. OSANN: The slide doesn't include the
11 definition of showerhead.

12 MS. MCMORDIE: Yeah, that'll be on the next
13 slide.

14 MR. OSANN: Okay.

15 MS. MCMORDIE: These are new definitions,
16 and showerhead is not a new definition, it's a
17 modified.

18 MR. BROOKMAN: Someone via the web has
19 raised his hand. Shawn Martin, you're next. Shawn?
20 Maybe you're still muted. Shawn, we can't hear you.

21 MR. MARTIN: My apologies. Shawn Martin,
22 ICC. Question for the speaker, Kate. Based on the
23 definitions I see here, it is not clear to me whether
24 a body spray should be considered a showerhead or not.
25 The hand held showerhead definitions indicate that the

1 hand held showerhead is a showerhead. The body spray
2 is more ambiguous. Is there any clarification that
3 could be provided regarding whether the DOE intends
4 that a body spray to be a type of showerhead?

5 MS. MCMORDIE: Yeah, that will be on the
6 next slide, Shawn. We're going to talk about that.

7 MR. BROOKMAN: Let's go to that now, since
8 that was also a question that Ed had, and we can
9 return to this slide as needed. So to showerheads,
10 then.

11 MS. MCMORDIE: Okay. So there is a
12 definition of showerhead that DOE has in the CFR, and
13 the NOPR is proposing - DOE is proposing to change the
14 showerhead definition that actually takes the current
15 ASME showerhead definition that was added to the 2011
16 version of the standard, but it's modified it to
17 provide some clarifications on DOE's coverage of their
18 product.

19 There's three basic things that have been
20 added to this definition to help provide this
21 clarification:

- 22 • That is that safety showers are not included in
23 the definition;
- 24 • And hand-held showers - and this is pointing to
25 Shawn's question - and body sprays are considered

1 a showerhead.

2 So DOE is asking for comments related to
3 that as well.

4 MR. BROOKMAN: Yes, please.

5 MR. ADIN: Yes, just to add one item to
6 that. We didn't put it in the slides here, but I had
7 received a question about it separately, just to
8 provide some contrast with the existing definitions,
9 since we are amending it, or proposing to amend it.
10 The existing definition for showerhead in the Code of
11 Federal Regulations says, "showerhead means any
12 showerhead, including a hand-held showerhead, except a
13 safety shower showerhead." So this definition is
14 being proposed as part of an effort to bring some more
15 clarity to the meaning of the term showerhead itself,
16 since the existing definition really does not do that.

17 MR. BROOKMAN: Okay. Ed.

18 MR. OSANN: Ed Osann. It was said that this
19 definition draws from the definition of showerhead in
20 the current ASME standard? I wonder if you could
21 crosswalk us to the -

22 MS. MCMORDIE: I have it here, do you want
23 me to read it?

24 MR. OSANN: Providing the - starting with
25 the citation - the paragraph citation.

1 MS. MCMORDIE: In the - it's in the
2 definition section of the standard which was actually
3 -- ASME did not publish that and it was just a
4 mistake, so I think they're - I apologize for not
5 knowing the exact answer, but they're in the process
6 of putting out an addendum on that.

7 MR. BROOKMAN: It simply was - it didn't
8 make it into the final -

9 MS. MCMORDIE: First version.

10 MR. BROOKMAN: First version publication.

11 MS. MCMORDIE: Yes, of 2011.

12 MR. BROOKMAN: It was perhaps an oversight?

13 MS. MCMORDIE: Yes, it was an oversight.

14 MR. OSANN: So, just for clarification, the
15 current version that you're citing to does not have a
16 definition for showerhead in it.

17 MS. MCMORDIE: It does. It does have it.
18 It will be included in an addendum. So it was - it
19 went through a committee process, the showerhead
20 definition was finalized, but it was - it wasn't
21 included in the final publication out of just an
22 error. So there is a final - ASME does have a final
23 version of the showerhead definition.

24 MR. OSANN: Has that been made available for
25 public comment?

1 MS. MCMORDIE: Yes, it went through a public
2 comment period.

3 MR. BROOKMAN: And so do you have it there?

4 MS. MCMORDIE: Yes, I can read it.

5 MR. BROOKMAN: Let's read it.

6 MS. MCMORDIE: "An accessory to a supply
7 fitting for spraying water onto a bather, typically
8 from an overhead position."

9 MR. BROOKMAN: And that is what version?

10 MS. MCMORDIE: The 2011.

11 MR. BROOKMAN: 2011, okay. Stephanie?

12 MS. SALMON: Can we go back to the previous
13 slide in regards to the hand-held shower. I just
14 wanted to make a comment that for Plumbing
15 Manufacturers International, rather than adopting the
16 definition of hand-held shower from the EPA Water
17 Sense specification for showerheads, PMI is requesting
18 that DOE adopt the proposed definition, "An accessory
19 to a supply fitting that can be held or fixed in place
20 of spraying water onto a bather, and which is
21 connected to a flexible hose," which is being
22 developed by ASME/CSA which is in the balloting
23 process right now. We do agree with adopting the
24 definition of accessory, but do not agree with the
25 proposed revision that would consider a body spray to

1 be a showerhead for the purposes of regulatory
2 coverage. A showerhead is an accessory, whereas a
3 body spray is not. When the definition was being
4 developed, it was noted that body sprays are not for
5 bathing purposes, but for therapeutic purposes, and
6 the definition reflects that. A body spray is not
7 easily added or removed by the user like a showerhead
8 that is mounted on the wall. And that is in our
9 written comments that we submitted for the record.

10 MR. BROOKMAN: Okay. Thank you for that.

11 MS. MCMORDIE: Any other questions?

12 MR. BROOKMAN: Yes, pardon me. We have two
13 individuals that have joined us via the web, and I had
14 to be reminded. Shawn Martin is first, and then
15 followed by Len Swatkowski.

16 MR. MARTIN: Shawn Martin from ICC. Thank
17 you for going back to the previous slide, Kate.
18 Revisiting my previous comment, in light of the
19 definition for showerhead that includes body sprays
20 and hand-held showerheads, I would recommend that the
21 body spray definition be revised to read in a manner
22 similar to that for hand-held showerheads where it
23 clearly indicates that body sprays are considered a
24 form of showerheads, where it would read "body spray
25 showerheads means a showerhead for spraying water."

1 I'd also like to express my support for the
2 revised definition which reflects the definition I
3 advocated for on the ASME committee but was not
4 ultimately reflected in the final version.

5 MR. BROOKMAN: Okay. Any of you that have
6 been involved in legislative matters will tell you,
7 things like definitions and the written work can get
8 complicated. So I just want to be very clear that
9 your comments here are very important. They're
10 captured on the record, but you really need to send in
11 written comments to the Department if you want to
12 affect these definitions. So please send in your
13 written comments, not to diminish your capacity to
14 speak now. Len Swatkowski, you're next. Please say
15 your organizational affiliation.

16 MR. SWATKOWSKI: This is Len Swatkowski from
17 Plumbing Manufacturers International. Stephanie
18 Salmon pretty much stated what our comments were, but
19 in deference to Mr. Martin's comments, I would note
20 that the development of American National Standards is
21 done with thousands of hours of effort and time, and
22 like you said, pouring over a single word can take
23 hours sometimes. It's not a unanimous decision. It's
24 a consensus standard and it goes through a public
25 review, so I would, you know, we have definitions for

1 all this and body spray is a therapeutic device. It
2 is not meant for showering. We've defined this and
3 discussed this within committee for years now, so I
4 would ask that as we move forward we give some
5 credibility to not only the standards as they sit
6 today, but moving forward, we would encourage all
7 government agencies and all interested parties to help
8 in the development of these standards, to make them as
9 accurate and as flexible as possible. Thank you.

10 MR. BROOKMAN: Thank you, Len. Now we're
11 going to hear from Shabbir.

12 MR. RAWALPINDIWALA: Just wanted to inform
13 everybody that the definition of showerhead has been
14 published and it was published as a supplement to the
15 existing standard, dated November 2011.

16 MR. BROOKMAN: Okay. Thank you. So we have
17 had good comment on these different definitions
18 proposed to be added to 10 CFR 430.2. Additional
19 comments on these proposed definitions and
20 modifications? Do you have any additional question
21 you want to pose or are you all set?

22 MS. MCMORDIE: I'm all set.

23 MR. BROOKMAN: Okay. Let's keep going,
24 then. Ed Osann, before we proceed.

25 MR. OSANN: Yeah, Ed Osann with NRDC. I'd

1 like to enter into the record that we support the
2 incorporation of body spray into the definition of
3 showerhead and coverage of body sprays under the
4 standard.

5 MR. BROOKMAN: Okay. Thank you. We're
6 going to move on then to basic models definition.
7 We're at a point now where in this general time frame
8 we could take a break, but we're very close to the
9 finish line, so you tell me whether we're due for a
10 break or whether we should just keep going for the
11 next half hour or so.

12 MR. ADIN: I'm comfortable with moving on,
13 if it's acceptable to the group.

14 MR. BROOKMAN: Yes, I think I'm casting my
15 eyes around the room, everyone seems inclined to keep
16 going.

17 **Proposals Regarding Basic Models and**
18 **Statistical Sampling**

19 MR. ADIN: Okay. Great. So we'll press
20 forward here. The next item that we're going to
21 discuss is basic models, and as we note here, DOE is
22 not actually proposing to make any changes to the
23 existing definitions of a basic model of any of the
24 products, and for anyone participating today who is
25 not generally aware of what that means, the basic

1 model definitions essentially just cover what DOE
2 considers as a basic model for the purposes of
3 certification. So individual models are all subject
4 to the standard, but they only have to be certified
5 individually if they differ in a way that affects
6 their water consumption from a design standpoint. So
7 products that differ in superficial features like
8 color, or other esthetic characteristics are not -
9 they can all be considered the same basic model. The
10 definition itself is more clear about what that means,
11 but that's essentially the gist of it.

12 So for these products, we're not actually
13 proposing to change any of those definitions, but we
14 have received questions from manufacturers about how
15 to appropriately group individual models as basic
16 models in the water closet and urinal categories for
17 the purposes of certification. And the reason this
18 came up is because water closets and urinals can be
19 assembled as pairings of the porcelain or ceramic
20 fixture and a flushing device. So in the case of a
21 gravity water closet, it would be the bowl and the
22 tank and flushing mechanism. For urinals and flush
23 meter type devices, it's the bowl and the flushometer
24 device. And sometimes there'll be a bowl from one
25 manufacturer and a flushing device from another, or

1 something like that. So the purpose here was to
2 provide - and we explain this in much greater detail
3 in the proposed rule, but just to ensure that those
4 things can be reported as certain pairings and grouped
5 together that way for purposes of certification.

6 So hopefully the proposed rule itself is
7 clear enough about that, but we're certainly
8 interested in any comments that any of the
9 participants or others have about that particular
10 aspect, about what DOE accepts for certification
11 purposes on those products.

12 So I don't know if there's anything people
13 have questions about or comments on right now, but
14 written comments, obviously, are welcome.

15 MR. BROOKMAN: Ed.

16 MR. OSANN: Ed Osann with NRDC. Reviewing
17 the text of the NOPR on this subject, it was really
18 unclear as to how DOE expects the pairing process to
19 be worked in practice for the valve/bowl combination.
20 There's language in here indicating that the
21 manufacturer - for the water closet bowl and the
22 urinal - I'm reading from 317 - page 31748 of the
23 Federal Register notice, the center column - "and
24 that it could not be paired with a flushing device or
25 tank that would provide a higher flush volume and

1 still function properly." It's as though DOE expects
2 that a valve that would operate with say, a volume
3 that was 20 percent above the standard, would somehow,
4 when combined with a bowl which has no moving parts,
5 would somehow prevent that bowl from functioning
6 properly.

7 MR. ADIN: Well, I can say -

8 MR. OSANN: It's not clear what functioning
9 properly means here.

10 MR. ADIN: Right. I understand, the point's
11 well taken. I mean that's something that we can try
12 and explain more carefully in the final rule.

13 Certainly if there are others who have points about
14 that or information about how that aspect bears upon
15 this issue, I mean, obviously, we're interested in
16 that and we'll consider it.

17 The intention really was to try and get to a
18 point where manufacturers are able to certify a
19 product as - representing in their certification that
20 the maximum water consumption that product is designed
21 to consume. So if it could physically be paired with
22 another flushing device which provided a higher volume
23 but caused it to overflow, or not function at all as
24 designed, that's sort of our general understanding of
25 the framework within which this would work. But if

1 that's flawed or if it simply won't work for the
2 purposes of accurately capturing the true maximum
3 water consumption of a product, we'd certainly be
4 interested in knowing what those factors are, or what
5 things we should consider in adequately explaining
6 that to certifying organizations or to manufacturers
7 for the purposes of covering this issue.

8 MR. OSANN: Well, we will provide some
9 comment on that for the record along the lines that we
10 have here today. A follow up question. It is also
11 not clear whether a valve alone is a basic model. New
12 valves are provided in commerce, shipped without
13 bowls, perhaps for replacement parts, perhaps to be
14 married up on a job site with a bowl.

15 MR. ADIN: Right. It's a good point. I
16 don't know that that's something that we adequately
17 evaluated in the NOPR. At least we didn't discuss it
18 in detail. I mean, the general approach as proposed
19 treats the basic model as the combination of those two
20 items, the bowl and the flushing device, whether it's
21 a flushometer or a tank or whatever it is. But if we
22 need to evaluate that more carefully and consider
23 those replacement devices or something to that effect,
24 that's something that we'll certainly look at more
25 carefully.

1 MR. BROOKMAN: Daniel Glieberman has
2 requested a chance to speak. Daniel, you're next.

3 MR. GLIEBERMAN: Thank you. Hopefully
4 there's not a lot of reverberation. But again, Daniel
5 Glieberman, Sloan Valve. I think Ed's comment was
6 instructive. I would also go back, however, to my
7 comments previously, when the dual flush conversation
8 was mentioned, my understanding is that DOE's
9 regulatory authority here is to establish and certify
10 water closets that use no more than 1.6 gallons per
11 flush, and urinals that use no more than 1.0 gallon
12 per flush. So this conversation in the NOPR on page
13 31748 regarding theoretical examples of water closets,
14 and I guess it could also be applied to urinals that
15 go lower than that requirement is very informative,
16 but I'm not sure that it's within DOE's actual
17 regulatory authority. Because manufacturers are going
18 to certify that their products do not exceed the 1.6
19 and the 1.0 respectively.

20 I think it's also instructive to look at
21 what Water Sense has done with flushing urinals, where
22 they do require manufacturers to provide testing for
23 lower than the 1.0 per the Water Sense specification.
24 That's a voluntary program. It's not required, and I
25 would suggest that this discussion of a basic model

1 also leans more towards the voluntary rather than the
2 actual requirement is under DOE's purview. Thank you.

3 MR. BROOKMAN: Thank you. Joanna.

4 MS. MAUER: Joanna Mauer. Just a couple of
5 clarification questions. So certification
6 responsibility would lie with the manufacturer of the
7 bowl and regardless of whether they're pairing a valve
8 that they manufacture or a valve that another
9 manufacturer produces. And on the other hand, if
10 you're a manufacturer that's just producing valves,
11 you would have no certification responsibility to DOE.
12 Is that fair to say?

13 MR. ADIN: I think that's something that we
14 might have to look at a little bit more carefully.
15 Our - I mean in the most general sense, obviously, the
16 statutes and our existing regulations cover water
17 closets, so that doesn't offer much of a clue about
18 whether the valve is a covered product and thus has to
19 be certified. But I understand that there is
20 confusion about that and I understand why. So I think
21 that's something that we just have to look at more
22 carefully. And, you know, to the extent that there
23 are particular views from anyone in this group,
24 manufacturers or otherwise, about the appropriate way
25 to do that or how the market supplies these products,

1 all those things are helpful to us in considering that
2 aspect.

3 MR. BROOKMAN: Ed?

4 MR. OSANN: Ed Osann. In the Federal
5 Register notice, DOE just makes the clear point that
6 water consumption of a given model of bowl for a water
7 closet or urinal can be directly affected by the
8 specific flushometer valve or tank type flushing
9 device that's paired with the bowl. So it seems that
10 it's really incumbent upon DOE to find a way to verify
11 that products that are shipped to commerce can - will
12 reliably meet the standard, given what you have found
13 about the variability of the flush volumes based upon
14 the pairing.

15 MR. ADIN: Right. So I should probably
16 reiterate perhaps a little bit more succinctly, but
17 what's in the proposed rule is a reflection of DOE's
18 best understanding of how these products function, of
19 how the market is organized and that sort of thing.
20 So it's entirely possible that we have a flawed
21 understanding or reasoning that is not fully
22 reflective of how things are - how things actually
23 work from a technical perspective, or as far as how
24 products are actually paired.

25 So if there are certain aspects that we need

1 to consider that we haven't, and this proposal in the
2 eyes of anyone in this group reflects a gap in
3 coverage or in some way may not completely account for
4 any of these variabilities, then again, that's
5 something, of course, that we'll consider. And we
6 welcome any more specific comments about it.

7 MR. BROOKMAN: Okay. Other perhaps final
8 comments on basic model definition? Okay.

9 MR. ADIN: So the next item we have is on
10 the statistical sampling and rounding requirements,
11 and these address the numbers that are reported to DOE
12 for the purposes of certifying a given basic model of
13 any of the products that we're discussing today.

14 So just as a general overview, products are
15 tested using the DOE test procedure as individual
16 products and manufacturers have to test at least two
17 of each basic model as part of their statistical
18 sample in order to come up with a number that's
19 representative of the average water use for that
20 product. And there's a mathematical statistical plan
21 for each individual product in the regulations. Those
22 have been around for quite a while. We're not
23 proposing to change them. Of course we're interested
24 in any comments about the appropriateness of those
25 statistical methods, the confidence intervals, all

1 those sorts of things. Are they still reflective of
2 the accuracy of the test or the range of variability
3 that you get when you test these products? Any of
4 those things are of interest to us. But as I said, we
5 are not proposing to change them now.

6 And then we also added some specific
7 rounding requirements for the final value of water
8 consumption that's reported for each product. The
9 reason we did that is because the test procedure
10 itself does have some rounding requirements but then
11 of course you put all these - the individual models
12 you tested, that value you put through this
13 statistical sampling calculation, whether it's just an
14 average or a confidence interval, and then that gives
15 you another number. So we want to make sure that that
16 number is rounded appropriately when it's reported to
17 DOE. So those are in the proposed rule, and we
18 welcome any comments about those.

19 MR. BROOKMAN: You can see the details
20 listed there in comment box number eight. No
21 questions or comments? Okay.

22 MR. OSANN: Ed Osann, one question. For -
23 when a manufacturer has a valve/bowl combination and
24 is testing different pairings, do these requirements
25 apply to the testing of each pair?

1 MR. ADIN: So that depends somewhat upon how
2 the manufacturer chooses to group those pairings as a
3 basic model. If they're all grouped together as a
4 single basic model, then these requirements apply to
5 the pair that they tested as a representation of the
6 water consumption of that basic model. If they choose
7 to report them individually, then they would have to
8 apply these sampling procedures to each pair that they
9 test and report.

10 MR. BROOKMAN: Shabbir has raised his hand.
11 Shabbir, you're next.

12 MR. RAWALPINDIWALA: No, I meant to lower
13 the hand.

14 MR. BROOKMAN: Okay.

15 MR. RAWALPINDIWALA: Lowered it. It was not
16 raised.

17 MR. BROOKMAN: Sorry, we misinterpreted your
18 signal.

19 MR. RAWALPINDIWALA: My thing shows red.

20 MR. BROOKMAN: Okay. So then any additional
21 comments on statistical sampling and rounding
22 requirements?

23

24

NOPR Analyses

25 MR. ADIN: So our next item is just an

1 overview of the NOPR analysis, and Jennifer Williamson
2 will be discussing this part.

3 MS. WILLIAMSON: So one of the reviews
4 required by the Small Business Administration is to
5 look at whether or not the changes proposed in the
6 test procedure are going to impact a substantial
7 number of small entities from a cost standpoint. So
8 we did an analysis and identified two of the NAICS
9 codes that could possibly manufacture these products:
10 the fixture fitting and trim, and then the china
11 manufacturing. And you can see here that for the
12 fixture fitting and trim manufacturing, it's 500
13 employees or less to be considered a small business,
14 and for the china, it's 750 or less.

15 Using publicly available information, trade
16 associations, Dunn and Bradstreet reports, product
17 databases, and manufacturer websites, we identified a
18 total of 83 businesses that were considered - that
19 fell into these categories that actually manufactured
20 the products that are being covered in the rulemaking.
21 And of those, 48 were considered to be small
22 businesses, which is 58 percent. And even though 58
23 percent is a significant number, based on the changes,
24 that DOE has determined that there aren't enough
25 alterations to the testing procedure to have a cost

1 impact.

2 So DOE is proposing to certify that there
3 are no substantial impacts to a significant number of
4 small businesses. And we'll take questions or
5 comments.

6 MR. BROOKMAN: No additional comments or
7 questions? Okay.

8 MS. WILLIAMSON: I think Lucas is going to
9 finish us up.

10 MR. BROOKMAN: So that takes us then to the
11 concluding slide and as I promised at the outset,
12 there is yet another opportunity for anyone to make
13 closing remarks, raise issues that haven't been raised
14 fully so far. Stephanie.

15 MS. SALMON: Oh, I just wanted to thank
16 everyone at DOE for doing this today. It was very
17 helpful. I know that PMI will go back and be able to
18 expand on some of the things that we've already
19 commented on and help clarify, so thank you very much
20 for doing this today.

21 MR. BROOKMAN: Thank you. Ed Osann.

22 **Closing Remarks**

23 MR. OSANN: Ed Osann with NRDC. A couple
24 points that didn't - that we wanted to make that
25 wasn't quite sure where they fit in during the flow of

1 the presentation.

2 One has to do with regard to the fixtures,
3 field adjustability. The Water Sense specification
4 provides for the testing of field adjustability with a
5 separate set of maximum flush volumes with the
6 components set at their maximum. It's - we think it's
7 a good idea to test field adjustability, but we don't
8 see that DOE is really authorized to provide for a
9 procedure that will allow the product to perform above
10 the maximum flush volume specified in the standard.
11 So this is an area that I think could use some
12 attention at this point in the test procedure,
13 particularly as you consider the elements that are in
14 the Water Sense specification, or that support the
15 Water Sense specification. And as those elements are
16 also being considered by ASME for potential
17 incorporation into the next version of this standard.

18 Another issue that hasn't come up has to do
19 with phantom flushes or superfluous flushes that
20 result from sensor operation that is, you'd have to
21 say, faulty. And there is no current test procedure
22 either adopted by DOE or Water Sense, or ASME,
23 regarding the accuracy of sensor operation. The
24 effect of that is to allow for substantial excess
25 usage per user experience you might say, and this is

1 not just an ancient history. There are plenty of
2 instances of relatively new products that perform in
3 this way. There's also literature indicating that, in
4 before and after comparisons of facilities that have
5 had sensors installed, that water consumption in water
6 closets has gone up like 50 percent. So this is a gap
7 in the current test procedure, that we think DOE ought
8 to consider addressing.

9 And one way of considering some of these
10 issues - and leakage is another issue that's been well
11 known for a long time in the industry, both
12 manufacturers and also the utility industry, that a
13 lot of toilets leak for a variety of reasons. There
14 is a leakage test that ASME has adopted in ASME
15 A112.19.5-2011, flush valves and spuds for water
16 closets, urinals and tanks - has a leakage procedure
17 that DOE could consider incorporating by reference as
18 well.

19 This leads to kind of a larger question of
20 how the standard is expressed and whether a test
21 procedure could be developed that would perhaps be
22 based on annual water use with some assumed usage
23 factor that would capture losses between the
24 intentional user-activated flushing events, somewhat
25 analogous to an annual requirement for dishwasher

1 that's based upon a DOE assumed numbers of annual
2 dishwashing events, and the tested results of power
3 consumption that take place between those purposeful
4 user activated events. The same with clothes washers.

5 And as DOE has responded to the directive
6 with regard to power losses, there's really an
7 analogous area of concern regarding the water
8 consumption that is above and beyond the specific
9 user-activated event. And this might be an
10 appropriate time for DOE to consider whether a test
11 procedure could be framed up that could capture more
12 fully the water consumption of these products, which
13 is really what it's all about.

14 We'll provide some additional
15 recommendations along those lines for the record.

16 MR. BROOKMAN: Additional comments as we
17 move towards closure? Shabbir, your comments please.

18 MR. RAWALPINDIWALA: Yes, Shabbir
19 Rawalpindiwala, Kohler Company. The ASME/CSA
20 harmonization committee and subsequently the
21 respective technical committees, as recent as last
22 week of the ASME, they sanctioned the incorporation of
23 the EPA Water Sense water closet specification into
24 the standard, so that will be balloted, and hopefully
25 when the new edition of the 19.2 standard will be

1 published in 2013, it will have the requirements of
2 EPA Water Sense which will include the maximum
3 capacity of the water closet tank, and the
4 adjustability also.

5 As regards to the leakage, the 19.5 standard
6 which is for trim, had that since about close to ten
7 years ago, the leakage rate where the flapper has to
8 meet the chemical requirement resistance test, which
9 has considerably almost stopped the leakage of the
10 water closets due to the faulty or deteriorated
11 flappers. Thank you.

12 MR. BROOKMAN: Thank you. That's it. Okay,
13 then, back to Lucas.

14 **Next Steps and Closing Remarks**

15 MR. ADIN: Thank you all for your comments
16 and participation today, we greatly appreciate it.
17 This is all very helpful to us as we move forward
18 towards finalizing an approach for these products and
19 the test methods. So we of course encourage you to
20 submit written comments and include as much detail as
21 you're able about your views, and any other data or
22 analyses that might help us adopt an appropriate final
23 approach for these products.

24 There's some information here about how to
25 submit the comments. This is also in the NOPR notice

1 itself. And some points of contact and places to find
2 information about them. So that's about it, unless
3 there are any other -

4 MR. BROOKMAN: I would make one more
5 comment. For those of you that are not familiar with
6 the Forrestal Building, we didn't take a break so I
7 didn't say this. You must wear this visible, these
8 name badges, while you're walking around the Forrestal
9 building. There are rest rooms on both ends of the
10 hall if you'd like to head in that direction now, and
11 if you're going to hang around here for lunch, then
12 there is a Subway shop on the ground floor and there's
13 a big cafeteria about 100 yards in that direction. Go
14 down to the ground floor and go that way if you're not
15 leaving.

16 So I'll just echo Lucas' thoughts and say
17 thank you. We had a very productive meeting. Thanks
18 for your participation, and safe travels.

19 MR. ADIN: And thanks to all the web
20 participants for you participation as well.

21 MR. BROOKMAN: That as well.

22 (Whereupon, at 11:00 a.m., the meeting in the
23 above captioned matter was adjourned.)

24

25

1

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings
before:

U.S. DEPARTMENT OF ENERGY

In the Matter of:

**PUBLIC MEETING ON TEST PROCEDURES FOR
PLUMBING PRODUCTS**

Were held as herein appears and that this is the
original transcript thereof for the file of the
Department, Commission, Board, Administrative Law Judge
or the Agency.

Further, I am neither counsel for or related to any
party to the above proceedings.

Wendy Greene

Official Reporter

Dated: July 27, 2012